

1

2 ISSUES CONFERENCE VOLUME 10

3

4 In the Matter of the Applications of

5 CROSSROADS VENTURES, LLC

6

7 for the Belleayre Project at Catskill Park  
8 for permits to construct and operate pursuant to  
9 the Environmental Conservation Law

8

9 Margaretville Fire House  
10 Margaretville, New York  
11 June 25, 2004

11 B E F O R E :

12 HON. RICHARD WISSLER,  
13 Administrative Law Judge

14 A P P E A R A N C E S :

15 WHITEMAN, OSTERMAN & HANNA, LLP.  
16 Attorneys for Applicant,  
17 CROSSROADS VENTURES, LLC  
18 One Commerce Plaza  
19 Albany, New York 12260

18 BY: DANIEL RUZOW, ESQ., of Counsel  
19 BY: TERRESA M. BAKNER, ESQ., of Counsel

20

21 NEW YORK STATE DEPARTMENT  
22 of Environmental Conservation  
23 Region 3  
24 21 South Putt Corners Road  
25 New Paltz, New York 12561

24 BY: CAROL BACKMAN KREBS, ESQ., of Counsel  
25 Assistant Regional Attorney

25 BY: VINCENT ALTIERI, ESQ., of Counsel  
Regional Attorney

□

1

2

3

4 LAW OFFICE OF MARC S. GERSTMAN

5 Attorneys for CATSKILL COALITION,  
ROBINSON SQUARE  
313 Hamilton Street  
6 Albany, New York 12210

7 BY: MARC S. GERSTMAN, ESQ., of Counsel  
8  
9

10 NEW YORK CITY LAW DEPARTMENT  
OFFICE OF CORPORATION COUNSEL  
11 100 Church Street  
New York, New York 10007-2601  
12 BY: HILARY MELTZER, ESQ., of Counsel  
BY: DANIEL GREENE, ESQ., of Counsel  
13  
14

15 YOUNG, SOMMER...LLC  
Attorneys for THE COALITION  
16 OF WATERSHED TOWNS  
DELAWARE COUNTY,  
17 TOWN OF MIDDLETOWN,  
TOWN OF SHANDAKEN  
18 Executive Woods - 5 Palisades Drive  
Albany, New York 12205  
19 BY: KEVIN M. YOUNG, ESQ., of Counsel  
20  
21  
22  
23  
24  
25

□

2313

1

2

TABLE OF CONTENTS

3

4

DEC  
PRESENTERS

PAGE

5

6

PAT FERRACANE

2350

7

WILLIAM MIRABILE

2398

8

SHAYNE MITCHELL, P.E.

2421

9

10		
11	DEP PRESENTER	
12	CHARLES CUTIETTA-OLSON	2451
13		
14		
15	CPC PRESENTERS	
16	RICHARD SCHAEDELE	2460
17	JOSEPH HABIB	2484, 2532
18		
19		
20	APPLICANT'S PRESENTERS	
21	DAVID CARR	2318
22	DEAN LONG	2323
23	SAMUEL W. GOWAN, Ph.D.	2516
24	STEVE TRADER	2517
25	MARY BETH BIANCONI	2518

□

			2314
1	APPLICANT'S EXHIBITS		
2			
3	48	PROPOSED DRAINAGE HOLES 12 & 13	2317
4			
5	49	LETTER DATED 3/23/04 FROM US EPA TO ALEXANDER CIESLUK, JR.	2317
6			
7	50A	EASTERN BIG INDIAN PROPERTY BIRD SURVEY POINTS AND TRANSECT LOCATIONS	2318
8			
9	50B	"WESTERN WILD ACRES PROPERTY BIRD SURVEY POINTS AND TRANSECT LOCATIONS	2318
10			
11	51A	"APPLICATION FOR PUBLIC WATER SUPPLY PERMIT - BIG INDIAN PLATEAU"	2485
12			
13	51B	"CONCEPTUAL DESIGN REPORT - BIG INDIAN PLATEAU WATER SUPPLY,	2485
14			

6-25-04z

15 TREATMENT AND  
16 DISTRIBUTION"  
17 51C "APPLICATION FOR PUBLIC 2485  
18 WATER SUPPLY PERMIT -  
19 WILDACRES RESORT"  
20 51D "CONCEPTUAL DESIGN 2486  
21 REPORT - THE WILDACRES  
22 RESORT AND HIGHMOUNT  
23 GOLF CLUB/HIGHMOUNT  
24 ESTATES WATER SUPPLY  
25 TREATMENT AND  
DISTRIBUTION

52 RESUME OF GARY T. KERZIC 2516

53 RESUME OF MAY BETH 2516  
BIANCONI

2315

1 54 RESUME OF SAMUEL W. 2516  
GOWAN

2 55 RESUME OF MICHAEL D. 2516  
3 PALLESCHI, C.P.G.

4 56 WATER SUPPLY PERMIT WSA 2523  
5 #10,181

6  
7 CITY  
8 EXHIBIT

9 27 LETTER FROM THE CITY OF 2450  
10 NEW YORK DEP DATED  
11 9/22/00

12 WATERSHED  
13 COMMUNITIES  
14 EXHIBITS

15 4 "PROPOSED PHASE II 2457  
16 PHOSPHORUS TMDL  
17 CALCULATIONS FOR ASHOKAN  
18 RESERVOIR MARCH 1999

19 5 PROPOSED PHASE II 2457  
20 PHOSPHORUS TMDL  
CALCULATIONS FOR  
PEPACTON RESERVOIR MARCH  
1999

21  
22  
23  
24  
25  
  
1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

CPC  
EXHIBITS

59	RESUME OF JOSEPH A. HABIB	2457
60	"TABLE 1A SPRING AND STREAM FLOW MEASUREMENTS (GPM)	2457
60A	"TABLE 1A 2000-2001 MONTHLY SPRING AND STREAM FLOW MEASUREMENTS GALLONS PER MINUTES	2507
61	"8 1/2 BY 11 PHOTO "R" WELL PUMPING TEST AREA	2458
62	8 1/2 BY 11 PHOTO "PINE HILL WATER SUPPLY AREA"	2458
63	8 1/2 BY 11 "FLEISCHMANN'S WATER SUPPLY AREA"	2458
64	PINE HILL WATER DISTRICT COALITION LETTER DATED 4/23/04	2482

2316

1 (JUNE 25, 2004)

2 (9:37 A.M.)

3

P R O C E E D I N G S

4

ALJ WISSLER: If we can reconvene.

5

when last we left, we were talking about

6

stormwater issues.

7

MR. RUZOW: And we still are, your

8

Honor.

9

MS. BAKNER: We have some exhibits to

10

introduce now just here at the beginning, if

11

we could do that. This is 48, Proposed

12

Drainage Holes 12 & 13 dated 6/17/04 for

13

wildacres.

14

(PROPOSED DRAINAGE HOLES 12 & 13

15

RECEIVED AND MARKED AS APPLICANT'S EXHIBIT NO.

16

48, THIS DATE.)

17

MS. BAKNER: The entire March 23rd,

18

2004 letter to Alec Ciesluk at DEC from Walter

19

Mugdan at EPA.

20

ALJ WISSLER: Applicant's 49.

21

(LETTER DATED 3/23/04 FROM US EPA TO

22

ALEXANDER CIESLUK, JR. RECEIVED AND MARKED AS

23

APPLICANT'S EXHIBIT NO. 49, THIS DATE.)

24

MS. BAKNER: And, your Honor, we have

25

two exhibits, these are the GPS locations of  
(STORMWATER ISSUE)

□

1

the bird survey, and it's entitled, "Lawler,

2

Matusky & Skelly Eastern Property Bird Survey

3

Points and Transect Locations."

4

MR. RUZOW: Your Honor, may I suggest,

5

can we label them 50A and B; A would be Big

6 Indian, and B would be wildacres?

7 ALJ WISSLER: Sure.

8 ("EASTERN BIG INDIAN PROPERTY BIRD  
9 SURVEY POINTS AND TRANSECT LOCATIONS" RECEIVED  
10 AND MARKED AS APPLICANT'S EXHIBIT NO. 50A,  
11 THIS DATE.)

12 ("WESTERN WILD ACRES PROPERTY BIRD  
13 SURVEY POINTS AND TRANSECT LOCATIONS" RECEIVED  
14 AND MARKED AS APPLICANT'S EXHIBIT NO. 50B,  
15 THIS DATE.)

16 ALJ WISSLER: Applicant's 50A and B.

17 MS. BAKNER: Your Honor, we have a few  
18 minor issues to cover here this morning.

19 Dave Carr, could you please go over  
20 for us Exhibit 48, Applicant's Exhibit 48.

21 MR. CARR: What Exhibit 48 is is a  
22 HydroCAD drawing, a Water Quality Volume  
23 calculation, and HydroCAD runs for the 1-year,  
24 the 10-year, the 25- and the 100-year storm  
25 for a small portion of wildacres that was  
(STORMWATER ISSUE)

□

1 missed in our original -- original design. <sup>2319</sup> It  
2 was picked up by DEP, one of their consultants  
3 in an EA comment letter, and basically what it  
4 is, it's on the westernmost portion of the  
5 property associated with Hole 12, and it is a  
6 small area, under four acres, and we have --  
7 we will attach this to the overall HydroCAD  
8 design.

9 Basically, what we have designed here  
10 is a basin that will capture and hold all

11 storm events associated with that small area.

12 ALJ WISSLER: This is operational?

13 MR. CARR: Operational. And obviously  
14 it would have to be to a construction level  
15 design. I'm not sure exactly what phase, but  
16 it would be part of these phased SWPPP plans  
17 also for construction.

18 So the second page is a water Quality  
19 Volume Calculation, and beyond that are the  
20 HydroCAD runs that are found in Appendix 9A.  
21 They're similar to the ones that are found in  
22 Appendix 9A.

23 ALJ WISSLER: Coordinate for me the  
24 calculations that you have -- there's a 3.88  
25 acres?

(STORMWATER ISSUE)

2320

1 MR. CARR: Correct.

2 ALJ WISSLER: Where is that?

3 MR. CARR: That is this area. That is  
4 Subcatchment 1. (Indicating)

5 ALJ WISSLER: It's just that?

6 MR. CARR: Just that. Everything else  
7 is already included in 9A. It was just this  
8 piece west of this line that was missed.

9 ALJ WISSLER: Are the retention basins  
10 here?

11 MR. CARR: Right here. (Indicating)

12 ALJ WISSLER: That's one.

13 MR. CARR: One. It's such a small  
14 area.

15 ALJ WISSLER: The southern end of that  
16 subcatchment, is that -- it isn't there?



17 MR. CARR: It's on the larger  
18 drawing, but it just comes in and ties in. As  
19 I stated yesterday, basically it includes all  
20 of the impacted area, so you wouldn't go  
21 beyond that.

22 ALJ WISSLER: Again, this is for --  
23 that detention pond is for the 10-year storm?

24 MR. CARR: All the way up to 100, the  
25 100-year storm. The 8-inch rainfall. The  
(STORMWATER ISSUE)

2321

1 10-inch only is associated with  
2 construction -- I'm sorry, the 10-year storm  
3 is the design storm utilized for the  
4 construction, the temporary basins for  
5 construction.

6 All the storms, as I mentioned  
7 yesterday, for operations have to be sized to  
8 deal with the water quality volume. The 1,  
9 the 10, the 25 and the 100. The full range of  
10 storms.

11 ALJ WISSLER: And the 25 because it's  
12 the local requirement?

13 MR. CARR: Correct. Thank you.

14 ALJ WISSLER: Thank you.

15 MS. BAKNER: Dave, do you intend to  
16 submit any other enhanced plans? Let me go  
17 through a list, and you can let me know if we  
18 covered it. It would be enhanced plans for  
19 the employee parking lot along -- near to  
20 Lasher Road along Route 28, the enhanced  
21 drawings for the Giggle Hollow bridge

22 crossing.

23 MR. CARR: Crossing.

24 MS. BAKNER: These are all stormwater  
25 pollution drawings for operation for the main  
(STORMWATER ISSUE)

2322

1 access road off of Friendship Road?

2 MR. CARR: Right at the entrance,  
3 correct.

4 MS. BAKNER: There were a number of  
5 outlet structures you're going to provide  
6 enhanced drawings on. Can you say which ponds  
7 those ponds are associated with and where?

8 MR. CARR: DEC has expressed a concern  
9 to us over some of the outlet designs for  
10 stormwater basins that are located on the edge  
11 of steep slopes, and those pond numbers on the  
12 Big Indian Plateau are Ponds 25, 36, 37 and  
13 38; and at Belleayre Highlands, Ponds 8, 13,  
14 15, 16, 17 and 21. Our intention is to go  
15 back and reevaluate the outlet design and  
16 enhance them to address their concerns.

17 MS. BAKNER: And this provides an  
18 additional level of detail that wasn't  
19 provided previously?

20 MR. CARR: Correct.

21 ALJ WISSELER: When do we anticipate  
22 that will be done?

23 MS. BAKNER: Two weeks, your Honor.  
24 We can distribute them to all the parties  
25 before we get back together.  
(STORMWATER ISSUE)

2323

1 ALJ WISSELER: Please.  
Page 10

2 MS. BAKNER: There was a question  
3 raised regarding the identification of seeps  
4 and groundwater discharge points or springs on  
5 the site, and I just wanted to let your Honor  
6 know that Steve Trader will be addressing that  
7 as part of groundwater and surface water.  
8 Plus, in terms of stormwater protections that  
9 will be put in place if a spring or a seep or  
10 a groundwater discharge point is uncovered  
11 unexpectedly during construction is covered at  
12 page 15 of 44 of the Stormwater Pollution  
13 Prevention Plan, and can be found in  
14 Appendix 11 of the Draft Environmental Impact  
15 Statement.

16 The additional question that your  
17 Honor had in relation to Dr. Pitt's question  
18 about whether the ponds were designed for cold  
19 water conditions, somehow we forgot to address  
20 that yesterday.

21 Dean, if you could quick briefly do  
22 that.

23 MR. LONG: Yes. In Appendix 10A,  
24 Section 5, page 14. It's a section called,  
25 "Winter Stormwater Management." It describes  
(STORMWATER ISSUE)

2324

1 the sizing of the stormwater ponds in  
2 accordance with the DEC Design Manual,  
3 October 2001. We meet the design  
4 requirements. The other discussions that were  
5 held that Dr. Pitt mentioned, and et cetera,  
6 would probably fall more appropriate into the

7 current detailing of the individual pond  
8 outlet structure. There is a conceptual  
9 design of the outlet structure, but the fine  
10 tuning of that design to optimize winter  
11 operations as well as -- to optimize winter  
12 operations would be a final construction  
13 detail.

14 Also, while we're in this section,  
15 yesterday there was some discussion of the  
16 maintenance procedures for stormwater basins.  
17 Yesterday I had said that it's in Appendix 11.  
18 Appendix 11 has some of the maintenance  
19 procedures, but also in Appendix 10 is a  
20 letter to Pat Ferracane dated May 15, 2003.  
21 It's right behind the yellow page. Anyhow,  
22 this -- the letter was entitled, "Operational  
23 Phase Stormwater Management Plan," and in here  
24 describes some of the maintenance --  
25 maintenance and management plans, maintenance  
(STORMWATER ISSUE)

2325

1 procedures for the stormwater basins.

2 MR. RUZOW: Dean, yesterday we spoke  
3 about the WinSLAMM model and reviewed  
4 Dr. Pitt's offer of proof. In the DEIS, there  
5 was a figure, two figures that were included.  
6 would you show it to us in terms of the land  
7 uses within these reservoir basins?

8 MR. LONG: Yes. The first figure I'm  
9 going to reference is Figure 2-8 in the DEIS.  
10 This is the Ashokan Reservoir Watershed Land  
11 Use from DEP 1999. This is data directly from  
12 DEP, and this is all in hectares.

13 MR. RUZOW: Describe what a hectare  
14 is.

15 MR. LONG: A unit of land measurement,  
16 it's basically 2.47 acres is equal to one  
17 hectare. What this chart shows for the  
18 Ashokan Reservoir are the various land uses as  
19 inventoried by DEP and their acreages as it  
20 existed in 1999, which should be relatively  
21 representative.

22 The important point here is what's  
23 going to happen in the pre- and  
24 post-development phases here. As of 1999,  
25 there's 73 hectares of urbanized land in the  
(STORMWATER ISSUE)

1 Ashokan Reservoir Basin. With the development<sup>2326</sup>  
2 of Big Indian, there would be a 21-hectare  
3 increase, relatively large proportionally as  
4 far as it goes to the 73; but correspondingly,  
5 and equally importantly, what ends up being  
6 the net change is that out of the 52,380  
7 hectares of deciduous lands, that would be  
8 only correspondingly decreased by 139 hectares  
9 by the development of Big Indian.

10 So again, and this is a whole part  
11 of -- as we began examining and considering  
12 our relative impacts, we have very limited  
13 land use changes here, and therefore  
14 correspondingly we have always been expecting  
15 relatively small additional nutrient loadings  
16 as well as stormwater loadings.

17 ALJ WISSLER: Let me understand this.

18 with respect to -- urban is now 73 hectares --  
19 as of the time of that survey?

20 MR. LONG: As of the time of that  
21 survey, right.

22 ALJ WISSLER: And this project  
23 would --

24 MR. LONG: Add 21 hectares.

25 ALJ WISSLER: Just the Big Indian?  
(STORMWATER ISSUE)

1 MR. RUZOW: Your Honor, it goes to the <sup>2327</sup>  
2 impervious surface category of development as  
3 opposed to grass with the golf courses.

4 ALJ WISSLER: I understand. The  
5 deciduous --

6 MR. LONG: The deciduous would  
7 decrease by 139 out of the 52,380.

8 ALJ WISSLER: Okay.

9 MR. LONG: The second chart is  
10 Figure 3-9, "Pepacton Reservoir Watershed Land  
11 Use." This one isn't labeled as '99, but I  
12 believe we were using that particular series  
13 of watershed reports. Same thing but, of  
14 course, the Pepacton Watershed system is a  
15 little larger. Anyhow, urban land as it  
16 exists out there currently contemporaneously  
17 is 66 hectares, and that would change to --  
18 that would be increased by 13 hectares with  
19 the construction of the Wildacres Resort.  
20 Correspondingly, there's 59,440 hectares would  
21 decrease by 97 hectares with the conversion of  
22 the deciduous forest into the resort,  
23 including the conversion of the turf, et

24 cetera.

25 ALJ WISSLER: Decrease by how much?  
(STORMWATER ISSUE)

2328

1 MR. LONG: 97 hectares.

2 ALJ WISSLER: Picking up on what  
3 Mr. Ruzow said, when I see urban on your  
4 chart, I should read impervious surface?

5 MR. LONG: Yes, that's the way we  
6 always interpret it, because it is going to be  
7 a mix of development, impervious buildings  
8 structures, et cetera. So it's all the  
9 urbanized land uses.

10 ALJ WISSLER: At the proposed sites,  
11 there are none other than deciduous forest?  
12 Is that why that number is --

13 MR. LONG: Most of it is pretty much  
14 dominated by deciduous.

15 MR. RUZOW: Your Honor, this also goes  
16 to the issue of the appropriateness of the  
17 winSLAMM model. In looking at and hearing  
18 from Dr. Pitt as to its development, how it  
19 was developed, and why in urban settings,  
20 tested in various urban cities, and this is a  
21 remarkably different area, and this  
22 information reflects that. We don't believe,  
23 we don't have the updated, the 2003 reports,  
24 but our best guess is that the relative  
25 percentage of this have not changed very much.  
(STORMWATER ISSUE)

2329

1 The urban may have increased -- the extent of  
2 development that has occurred in the Ashokan

3 and Pepacton Basin is quite small over the  
4 last several years.

5 If I understand what DEP said, at  
6 least with respect to commercial development,  
7 some 200 permits have been issued since the  
8 watershed reg.'s were issued, and I may have  
9 understood this wrong -- and if that's just  
10 the west of Hudson watershed, and it wasn't  
11 clear to me whether it was east and west --  
12 you have a million acres in the west of Hudson  
13 watershed, 35 towns, five counties comprising  
14 that area, 1600 square miles. That's not a  
15 large amount of development over the course of  
16 seven years. And the level of development  
17 that we have seen, we have even heard about,  
18 is still quite small. This development, no  
19 question about it, is large; but again, in the  
20 context of what is here, it is not  
21 significant.

22 Your Honor, I want to touch upon just  
23 a few more things. The stormwater program, as  
24 it has developed over the last several years,  
25 and it is of relatively recent vintage in  
(STORMWATER ISSUE)

□

1 terms of the heightened regulatory concern for<sup>2330</sup>  
2 stormwater quality. Stormwater quantity, on  
3 the other hand, has been a part of project  
4 design for decades. And most towns -- and I  
5 believe your Honor was a mayor of a village at  
6 one point in time -- there's always been, at  
7 least for the last 30 or 40 years, drainage  
8 controls that focus on quantity, particularly



9 in flood-prone areas, looking at avoiding  
10 impacts of new development, et cetera.

11 It's obviously been heightened further  
12 with the current regulatory regime in 1993  
13 when the first Phase 1, EPA Phase 1 Stormwater  
14 Reg.'s became applicable in New York in the  
15 New York program, and again in 2002 for  
16 Phase 2. However, the approach that was  
17 adopted in these Phase 1 and Phase 2 programs,  
18 is one that relies on design professionals  
19 when a project is being proposed, whether it's  
20 public or private project, using their best  
21 judgment and applying tools, guidance  
22 documents, the manuals, and reaching a  
23 judgment on what the best design is, taking  
24 into account the objectives of minimizing  
25 impacts and increases in both quantity and  
(STORMWATER ISSUE)

□

2331

1 quality, keeping them to the extent  
2 practicable, at pre-development levels. And  
3 we submit that that was done here.

4 The approach uses limited regulatory  
5 oversight. I don't want to draw a distinction  
6 to the wastewater program, for example. It  
7 requires design professionals to prepare plans  
8 prior to construction and to submit for  
9 potential regulatory review of those plans.  
10 Whether or not the agencies review or comment  
11 on the plans or affirmatively approve them,  
12 which is what is contemplated in this case,  
13 the responsibility for assuring compliance for

14 runoff quality with <sup>6-25-04z</sup> -- I believe the turbidity  
15 standard, no visible contrast to the point of  
16 discharge -- remains on the Applicant, and  
17 indeed reliance on those design professionals.  
18 That never shifts. That's always the  
19 responsibility. It's a continuing  
20 responsibility, your Honor.

21 The only standard that is set is that  
22 standard. It's different than design standard  
23 if you were building a power plant and you had  
24 to meet a certain NAAQS, and there was  
25 approved technology, there are accepted  
(STORMWATER ISSUE)

2332

1 models, required models to use, required  
2 monitoring prior to the application that you  
3 would accomplish. There's a lot more that's  
4 associated with that.

5 Similarly, in the context of design of  
6 wastewater treatment plants, there is now  
7 almost 40 years of experience, regulatory  
8 experience of required -- heightened over the  
9 last several years and now in the New York  
10 City watershed even greater level of  
11 requirement -- where certain approved designs  
12 are required to be applied. And you have  
13 predictable effluent limits that are regularly  
14 monitored and maintained and have to be  
15 complied with. It's a different regulatory  
16 mechanism from a policy point of view.

17 It may be in 10 or 20 years, we may  
18 see a different stormwater management regime  
19 once the learning has evolved, both in terms

20 of the modeling in terms of predicability, as  
21 well as in terms of permit requirements, and  
22 how you adopt that program. But today, it's a  
23 different program. It's one that relies on  
24 professional judgment exercised by the  
25 Applicants with review by the agencies, taking  
(STORMWATER ISSUE)

1 the knowledge they have gleaned and they have<sup>2333</sup>  
2 gained to assure that those standards are  
3 capable of being met. We believe the  
4 Department SPEDES permit accomplishes that  
5 goal.

6 Another element of what's going on  
7 here, and the unusual nature of this  
8 application's review in the proceedings before  
9 you is, and we've talked about this before, is  
10 the relative status of the plans, where we are  
11 in terms of looking at the plans. I want to  
12 draw an analogy to the site planning process  
13 at a local government level. In most towns,  
14 you have a preliminary site plan review. You  
15 may even have a concept plan review that  
16 starts a process of review by a planning  
17 board. You then have a preliminary site plan  
18 review, similarly analogous to subdivisions,  
19 preliminary subdivision review. It is at that  
20 stage that SEQRA is typically, and required to  
21 be applied. It doesn't apply to the final  
22 stage. It's required to be applied as early  
23 as possible in the planning process, where you  
24 are making judgments about what should happen

25 next, et cetera.

(STORMWATER ISSUE)

2334

1 we believe that the plans that we have  
 2 prepared, and in particular, the heightened  
 3 plans for the Phase 2 sections, are analogous  
 4 to a preliminary site plan application. We  
 5 use the term "design development plans." It's  
 6 more than concept, but it's enough to give you  
 7 a sense of -- and be able to predict what the  
 8 impacts will be and whether you can control  
 9 the water's quantity and quality.

10 It is then followed in the local  
 11 planning process by a set of final design --  
 12 final plats, final site plan applications,  
 13 which is then reviewed by the regulatory  
 14 agency. You can't get a building permit until  
 15 those final site plans are assigned by the  
 16 chairman of the planning board. So there is  
 17 another opportunity for review. DEC has done  
 18 that, in the context they built in that  
 19 additional opportunity, not for simply signing  
 20 off, but for affirmative review of our  
 21 SWPPP's.

22 Not to confuse you. Let's go back to  
 23 the normal planning board process. Once you  
 24 have a final site plan, it's at that point  
 25 that the SWPPP's are actually prepared at the  
 (STORMWATER ISSUE)

2335

1 local government level. And you don't get the  
 2 building permit and the right to go ahead --  
 3 typically there may be excavation permits at a  
 4 local level -- until everybody is signed off

5 on that series of plans. That's when you can  
6 start construction. That's the point at which  
7 you can, in effect, have bid out the project.  
8 You may get some preliminary ideas of bid  
9 details, but that's when you're preparing your  
10 plans for actual construction.

11 So we're way up in the process. We're  
12 doing what SEQRA asks, which is as early as  
13 possible in this planning process, we are  
14 looking at -- we have learned a great deal  
15 from DEP in their comments. We heard today,  
16 and we submitted another plan that picked  
17 up -- you know, you missed this tiny corner  
18 over here.

19 We heard from DEC as well. There's  
20 lots of things that will be incredibly helpful  
21 in the design development of both the project  
22 and these plans because we are doing it  
23 iterably. We have not simply moved ahead and  
24 said: This is it, and we're ready to start  
25 construction. We understand there's a lot  
(STORMWATER ISSUE)

□

1 more to go on. We still have to go, as we've  
2 said, the site plan review at the local level,  
3 which will begin to change things.

4 So we think that where there are  
5 substantive issues to be adjudicated, and what  
6 is significant, the concerns being expressed,  
7 while they're legitimate concerns, their  
8 context has to be viewed appropriately.  
9 They're not lost on us. This is the desire to

2336

10 bring in on a construction level -- we've  
11 talked about 100-whatever, plus or minus acres  
12 of sod in the context of a response to  
13 concerns over -- it might take too long, the  
14 growing season may be too short to open up  
15 larger areas of land in order to stabilize,  
16 permanently stabilize -- is a response to  
17 this.

18 This is not -- in the vast majority of  
19 projects, no one suggests those kinds of  
20 additional controls. Indeed, I'm almost  
21 positive that neither DEC, nor DEP in this  
22 watershed has had the opportunity for an  
23 Applicant to review a project where an  
24 Applicant is proposing those kind of measures.

25 So some of the concerns that they have  
(STORMWATER ISSUE)

2337

1 experienced and the problems they may have  
2 experienced in other projects, albeit smaller  
3 projects, are not necessarily -- you don't  
4 jump to the conclusion that they're likely to  
5 be visited here, yet we value their input  
6 relative to what their experience has been;  
7 but at the end of the day, it is the design  
8 professionals by the Applicant that bear the  
9 responsibility and the Applicant's  
10 responsibility to assure that ultimate  
11 compliance.

12 With respect to WinSLAMM, I want to  
13 just draw one other further analogy, and I'm  
14 struggling with the right series of analogies,  
15 but we made them up before -- but it really is

16 a square peg in a round hole problem. It was  
17 not designed for a rural watershed and the  
18 kind of vast forested areas that are here and  
19 the nature of the land uses here. We've  
20 talked about -- well, you could tweak the golf  
21 course components and parameters to try to  
22 make it fit, but it clearly was not designed  
23 for that. You can make a square peg fit in a  
24 round hole by whittling around the edges, but  
25 it requires a great deal of work, and you lose  
(STORMWATER ISSUE)

□

1 the value of the square peg. It no longer <sup>2338</sup>  
2 performs the square peg function, whatever  
3 that might be, it performs a different  
4 function now. And we think that you lose --  
5 and when we have heard, both from Mr. Long, we  
6 have heard from -- even the experts on these  
7 various models -- these are tools, they're not  
8 definitive answers. They're simply tools to  
9 help you guide to make a regulatory decision,  
10 and that's their whole purpose. They can  
11 be -- in crafting and trying to hone the  
12 tools, sharpen the knife, you can dull the  
13 blade.

14 We heard the garbage in, garbage out.  
15 It may not be useful to you, but the use of  
16 those models at the end of the day, you have  
17 to make a judgment as to whether or not they  
18 may advance knowledge and discussion here, and  
19 that the juice is worth the squeeze. We don't  
20 think so, your Honor. Not with respect to

21 winSLAMM.

22           There are other models and other  
23 methodologies for doing this analysis which  
24 provides the same range of information. Maybe  
25 winSLAMM can be tailored down the line; but in  
(STORMWATER ISSUE)

2339

1           our judgment, it's not an Applicant's  
2 responsibility to try to make a model that is  
3 not, number one, a requirement to be  
4 applied -- this is not an air quality  
5 evaluation of a power plant where there are  
6 approved models you have to use.

7           This is not even a situation where in  
8 some of the water quality analyses, there are  
9 particular models, off-the-shelf models that  
10 are routinely used or required to be used for  
11 assessing things. This is not the case. This  
12 was a good suggestion by DEP at an early stage  
13 of the project, and presumably its experience  
14 in using the model.

15           This may have been the first winSLAMM  
16 model used on a project that the Department  
17 had ever experienced. And it isn't that  
18 anybody was, in effect, necessarily evil or  
19 wrong for having suggested it, it's just that  
20 it doesn't work, and it doesn't belong in its  
21 use.

22           So from a judgment point of view that  
23 your Honor and Commissioner Crotty have to  
24 make, we just don't think at the end of the  
25 day that it adds and is significant in what it  
(STORMWATER ISSUE)



1 might or might not add to this project. It  
2 doesn't affect, at the end of the day, the  
3 criteria, the conditions of the permit in any  
4 definitive way, and that is the test for  
5 determining what is a substantive and  
6 significant issue.

7 We just don't believe that it bears --  
8 we appreciate the proposed testimony by  
9 Dr. Pitt and others. I'm sure we'll hear from  
10 DEP in terms of a further response -- but at  
11 the end of the day, you have to stand back and  
12 say: what is this advancing? And we get very  
13 close up in examining -- oh, could you have  
14 adjusted this or that parameter; but again,  
15 you have to be able to stand back and say: At  
16 the end of the day, how much did it tell us?  
17 Shorah did that in her analysis, and she  
18 expressed that commentary in responding. We  
19 looked at it, we tested a few things, we  
20 looked at other models to see if it was within  
21 the range, and it was in the ballpark. And at  
22 the end of the day, that's important.

23 One last thing that I want to talk  
24 about is with respect to the significance of  
25 the phosphorus issue. Phosphorus is a --  
(STORMWATER ISSUE)

1 clearly a nutrient of importance in the New  
2 York City Watershed. Our relative  
3 contribution to that phosphorus issue is  
4 insignificant. It's in the number of zeros  
5 decimal point percentages no matter what we

6 discharge.

7 I want to draw an analogy. We have  
8 heard nothing so far about the consequences of  
9 the discharge of phosphorus from the  
10 wastewater treatment plants which are using  
11 tertiary treatment technology from any party.  
12 There's a reason for that. I go back to the  
13 regulatory history again. There has been a  
14 long history of technology for wastewater  
15 treatment, and New York City and the New York  
16 City watershed regs ratcheted up -- and Kevin  
17 Young spoke to this the other day -- ratcheted  
18 up the requirements so that the best you can  
19 do, the best available technology is now being  
20 employed to reduce that to the minimum amount  
21 possible, and we're employing those  
22 technologies. And we're getting,  
23 respectively, I think 60 kilograms per year  
24 from Big Indian, and 78 from wildacres.  
25 That's the numbers.

(STORMWATER ISSUE)

1 Our projections, and whether we're <sup>2342</sup>  
2 this range -- using the winSLAMM model, we're  
3 around, I believe, 48 and 22 kilograms  
4 respectively for Big Indian and wildacres in  
5 the EIS. Those were the numbers we had run.  
6 Whether those numbers are -- I think Kevin  
7 Young suggested this the other day -- whether  
8 those numbers are doubled or tripled, when you  
9 look at the context of that total contribution  
10 to this watershed -- and the Shandaken  
11 Tunnel's relative contribution -- and that's

12 not to pick on the Shandaken Tunnel -- it just  
13 gives you a measure of what in relative terms  
14 that contribution -- by bringing the water in  
15 from Schoharie and then now measuring it and  
16 giving you a number in the balance of total  
17 phosphorus in the Ashokan Basin, it gives you  
18 a perspective to understand how significant it  
19 is.

20 while we will do our best and continue  
21 to do our best to minimize the amount of  
22 phosphorus through our design and through the  
23 basins and through, as Joe correctly observed,  
24 Joe Damrath observed, in the development of  
25 design, throughout the process as you're  
(STORMWATER ISSUE)

2343

1 getting to the final design for both  
2 construction as well as in the basins, and the  
3 enhanced plans that we're looking at as well  
4 for removal purposes, at the end of the day,  
5 it's not significant. Not that the issue  
6 isn't important, but it's not significant as  
7 applied to this project's contribution to the  
8 environment. We will meet our regulatory  
9 obligations.

10 One last thing I want to suggest is  
11 that -- we've talked about the designs for the  
12 SWPPP. In the discussions, we have not  
13 designed the final SWPPP's. We are some  
14 distance from that. We will use that  
15 information that we have so far, and we have  
16 gleaned in this proceeding so far, we will

17 develop those SWPPP's, we will -- in the way  
18 in which DEC SPEDES's permit requires, we are  
19 doing it in phases. And in the context of the  
20 submission, and the way Kevin described that  
21 process, we're only doing small phases.  
22 Anything we learn in doing the first phase,  
23 the first subphase, that either it needs  
24 refinement, will have to be changed before the  
25 next subphase gets approved in terms of the  
(STORMWATER ISSUE)

2344

1 final.

2 we will have to go through and work  
3 with DEP to develop those same sets of plans  
4 for their review. And again, Mr. Damrath  
5 suggested, and he is absolutely right, you  
6 don't stop there, you submit a plan and you're  
7 done. That's not the way the program works.  
8 And at the end of the day, we have this  
9 continuing responsibility to do -- this  
10 happens in lots of projects everyday. The  
11 only difference here is this project is a  
12 large one, but we have broken it up into small  
13 projects, and that is the intelligence of the  
14 phasing that we have talked about so that it  
15 can be accomplished and managed over the  
16 course of time.

17 we didn't talk about specifically, but  
18 I know it's mentioned in the EIS, we had  
19 earlier -- and Scott Clark mentioned this -- a  
20 golf course could be built in a year or two if  
21 you didn't care about these issues, if you  
22 didn't concern yourself with those controls.

23 we extended the years for building the golf  
24 course and the number of seasons to  
25 specifically address the concern of how much  
(STORMWATER ISSUE)

2345

1 land was going to be opened up at any one  
2 time. It's not like we're doing something  
3 that is so generous, it's just that the  
4 pragmatic response in light of the  
5 circumstances and the area being affected  
6 required our design professionals to tell the  
7 golf course architects and the investors, no,  
8 we can't build it on this original schedule,  
9 because in our professional judgment you need  
10 more time to manage the areas on site. And  
11 it's that exercise of professional judgment,  
12 your Honor, that is being employed, and the  
13 whole regulatory program for the Phase 2 and  
14 Phase 1 programs relies on it. And we don't  
15 throw that out because it's a big project and  
16 there is concern, appropriate concern  
17 expressed about how you're going to do it and  
18 all the rest. The regulatory agencies don't  
19 give up their rights; they have those rights  
20 and responsibilities, and we have to work with  
21 them in that context.

22 we are reserving, obviously, to  
23 respond to a number of the issues that Teresa  
24 said. There are a couple other things that --  
25 this is based on what we have heard so far  
(STORMWATER ISSUE)

2346

1 that we would like to be able to respond to

2 further -- one is that Joe Damrath had  
3 mentioned a particular soil lobe area he was  
4 concerned about on-site and what the status  
5 is, do we need that identified, and we want  
6 the opportunity to respond to that.

7 we heard the chitosan concerns.  
8 There's some additional information that we  
9 believe we should be able to provide on that.  
10 Dean Long's presentation yesterday about the  
11 total phosphorus loads and his methodology  
12 was -- in terms of trying to address and  
13 respond to the concerns first voiced by  
14 Dr. Pitt in terms of the methodology and how  
15 else you might measure or predict -- we have  
16 just shared that, obviously, with the parties.  
17 The Department is clearly going to need an  
18 opportunity to review that. We may need to  
19 supplement some of those calculations and  
20 details, and we want to be able to do that.

21 Also, with respect to the HydroCAD  
22 model, we had another witness we could not get  
23 here given the timing of things to talk about  
24 our approach to it. We may end up doing that  
25 by a written submission, but I want to reserve  
(STORMWATER ISSUE)

1 the opportunity to do that depending upon how<sup>2347</sup>  
2 our schedule on continuing stormwater goes.

3 Lastly, several of the witnesses  
4 invoked the comments of Dr. Charlie Silver and  
5 Jim Tierney's comments, which was an exhibit  
6 that was offered. We had not prepared to  
7 respond to the Tierney and Silver comments,

8 and we would like an opportunity to review  
9 those again and see whether some further  
10 response is required. And I think that's my  
11 list. Thank you.

12 MR. GERSTMAN: If I could take just a  
13 moment. We don't have a witness here today,  
14 but we do have a response to Mr. Ruzow's  
15 evaluation on what the project sponsor's  
16 obligations are under SEQRA. We've said this  
17 is an issue that's appropriate for briefing,  
18 and we expect we will have that opportunity.

19 There have been some fundamental  
20 mischaracterizations of Dr. Pitt's testimony.  
21 Since we have reserved the right to come back  
22 with comments from Dr. Pitt, and I am told he  
23 will do that -- we will provide objective  
24 information, and we can look at the testimony.  
25 His testimony speaks for itself in terms of  
(STORMWATER ISSUE)

□  
1 the appropriateness of the use of the winSLAMM<sup>2348</sup>  
2 model. He indicated that, in fact, with  
3 adjustments made on local conditions using  
4 local parameters, the winSLAMM model, although  
5 not originally designed for this purpose,  
6 could appropriately be used. And I think his  
7 testimony will speak for itself on that score.

8 Mr. Ruzow spent a tremendous amount of  
9 time trying to -- suggesting that the need for  
10 evaluation of the environmental impacts of  
11 this project doesn't need to take place at  
12 this time. We think this is a fundamental

13 mischaracterization of the obligations that  
14 the project sponsor and DEC have under SEQRA  
15 in order to ensure that those impacts are  
16 properly and fully evaluated using objective  
17 mechanisms to understand what the implications  
18 are for this very sensitive location and very  
19 sensitive environmental area.

20 Again, that's an issue that we will  
21 brief, but I think it's important to put on  
22 the record right now, since Mr. Ruzow felt  
23 compelled to try and lay out the groundwork  
24 for not addressing this under SEQRA, to fully  
25 understand where we are in this process, and I  
(STORMWATER ISSUE)

2349

1 know you do, Judge.

2 Is the juice worth the squeeze? well,  
3 what Mr. Ruzow has done is to try and make  
4 lemonade from the lemons that have been placed  
5 before your Honor concerning the inappropriate  
6 use of these models. And I could come up with  
7 some other analogies but -- so I think we need  
8 to take a hard look at the project now. I  
9 don't think deferring the evaluation of the  
10 stormwater impacts until some later point down  
11 the road, suggesting that the Commissioner's  
12 responsibility for reviewing this project can  
13 be equated to a planning board reviewing a  
14 small project, which may not have the same  
15 types of implications for the environmental  
16 setting that it's in. We will provide that  
17 through briefing and through response by  
18 Dr. Pitt. Thank you.



19 ALJ WISSLER: Ms. Krebs.

20 MS. KREBS: Thank you, your Honor. We  
21 have three staff members who will be speaking  
22 this morning concerning the SWPPP and SPEDES  
23 permits. In general, we'll have Pat Ferracane  
24 speaking to the SWPPP and his review of the  
25 SWPPP, and then Bill Mirabile and Shayne  
(STORMWATER ISSUE)

2350

1 Mitchell, our Division of Water staff,  
2 speaking to the SPEDES permit.

3 I would like to start with  
4 Mr. Ferracane. Mr. Ferracane, can you briefly  
5 describe where you work and how long you have  
6 worked there.

7 MR. FERRACANE: I'm with the New York  
8 State Department of Environmental  
9 Conservation's Division of water located in  
10 the Region 3 area in the Tarrytown suboffice.  
11 I've been employed by the Department in the  
12 Division of Water in Region 3 since 1984. My  
13 primary responsibility since 1993 has been the  
14 implementation of the SPEDES general permits  
15 for stormwater discharges, both from  
16 construction and industrial activity.

17 MS. KREBS: Thank you. Turning to the  
18 SWPPP for this project, I understand you have  
19 a few comments you would like to make.

20 MR. FERRACANE: I think to begin with,  
21 we should elaborate on why we chose to pursue  
22 the regulatory control of this project through  
23 the individual SPEDES permit process rather

24 than rely on the general stormwater permit for  
25 construction activity which normally a project  
(STORMWATER ISSUE)

1 that's regulated by our -- would be eligible<sup>2351</sup>  
2 for coverage under.

3           Instead, we chose to pursue this with  
4 an individual permit. The reasoning why is at  
5 the time that the project was originally  
6 proposed to us, we are operating under our  
7 first general permit, GP-9306, which we knew  
8 was about to be replaced within the next year  
9 or so with GP-0201.

10           GP-0201 had, what we considered to be,  
11 a far better set of design standards for  
12 post-development stormwater management. We  
13 felt that we could, even under the existing  
14 general permit, require the Applicant to use  
15 those newer standards which had already been  
16 developed at the time we made this decision,  
17 but yet they were not required elements of the  
18 permit we are currently operating under. We  
19 could have just required the Applicant to use  
20 those standards, but we felt that we needed a  
21 more definitive means of associating the  
22 better standards with this project. And one  
23 of the reasons we chose the individual permit  
24 was to allow us to use standards which our  
25 current general permit did not reference.  
(STORMWATER ISSUE)

1           Other issues that led us to believe<sup>2352</sup>  
2 that the individual permit was the better  
3 regulatory mechanism is the magnitude of the

4 project. The general permits are designed or  
5 specifically the general permit for stormwater  
6 discharges from construction activity was  
7 crafted to be applied to projects of a similar  
8 type. This particular project has multiple  
9 types of activities occurring with it. You  
10 have golf course construction, residential  
11 construction, resort construction. You also  
12 have intermittent industrial activities that  
13 will occur throughout the development of the  
14 project, rock crushing operations, possibly  
15 concrete mixing operations, which is not at  
16 this time clear to me whether that's part of  
17 it. But if it is, our individual permit  
18 allows us to also regulate those activities  
19 rather than a multitude of general permits or  
20 some individual permits.

21 ALJ WISSLER: Pat, if I understand it,  
22 you're saying even though GP-0201 has been  
23 adopted and gives you clear standards with  
24 respect to operational stormwater controls and  
25 so forth, you still would have had an  
(STORMWATER ISSUE)

2353

1 individual permit here?

2 MR. FERRACANE: Well, when we made the  
3 decision to pursue this with the individual  
4 permit, the GP-02 was not in effect yet; but  
5 if it had been, yes, we would still pursue  
6 this with an individual permit because of the  
7 multitude of different types of activities  
8 with similar pollutants that were occurring on

9 the site, but also because of the magnitude  
 10 and the duration of the project. They are  
 11 optimistically, maybe, presenting this as an  
 12 eight-year project. That will exceed beyond  
 13 the life of our current permit. We don't know  
 14 what the next generation of our general permit  
 15 will also require. This permit allows us the  
 16 flexibility to modify our requirements as we  
 17 progress through the process, the development  
 18 process, if we get to that point.

19 Magnitude again, the duration of the  
 20 project were other significant issues. I want  
 21 to elaborate on what the individual permits  
 22 regulate. There are two; one for Big Indian,  
 23 one for wildacres. The Big Indian permit  
 24 regulates -- actually both permits, Big Indian  
 25 and wildacres -- regulate the sanitary  
 (STORMWATER ISSUE)

□

1 wastewater discharges, regulate the stormwater<sup>2354</sup>  
 2 discharges from the construction activities  
 3 and regulate the post-development stormwater  
 4 discharges from the completed project.

5 There are some subtle differences,  
 6 there's some significant differences between  
 7 the two which Bill will elaborate on later;  
 8 but both permits regulate stormwater  
 9 discharges as individual permits during and  
 10 after construction in addition to the sanitary  
 11 wastewater discharges.

12 Another significant issue that -- not  
 13 to suggest that this is an issue -- but a  
 14 significant matter that has come up is our

15 allowance of the exceedance of the five-acre  
16 disturbance limit. Before I move on to that,  
17 I need to clarify that the individual permit  
18 also references significant -- a significant  
19 number of items that are in our general permit  
20 as well, particularly those that relate to  
21 your use of design standards but also -- there  
22 are a number of things that were part of the  
23 general permit that are by reference  
24 incorporated into the individual permit; some  
25 notable measures or regulatory issues that we  
(STORMWATER ISSUE)

2355

1 did not want to relinquish through an  
2 individual permit, so it's notably being our  
3 stop work authority, which exists in GP-0201,  
4 we don't have clearly under an individual  
5 permit, and we did not have under GP-9306.

6 Getting back to the 25-acre  
7 disturbance limit that we have authorized --  
8 not yet, we have not officially authorized  
9 that. That's still subject to future  
10 discussions if we get to that point, but we  
11 have agreed that to allow them -- or at least  
12 to evaluate to develop this project --  
13 pursuing more than five acres of disturbance  
14 at a time. We established a maximum cap of  
15 25 acres in each project, each watershed area  
16 or each project area, both Big Indian and  
17 wildacres.

18 The reasons for doing so relate  
19 primarily to the technical and economic

20 feasibility of constructing the project that  
21 the Applicant feels that they can live with.  
22 what we have not definitively determined as  
23 yet is whether those -- the technical and  
24 economic feasibility of building it also will  
25 equate to environmental feasibility of doing  
(STORMWATER ISSUE)

2356

1 that on this project.

2 we do have opinions on that at this  
3 time, and we'll get to that later, but that is  
4 part of the evaluation process is that they  
5 propose the 25-acre disturbance limit based on  
6 their technical ability to build what they're  
7 proposing to build, and we agree that it is  
8 not practical or technically feasible, it may  
9 not be, to build a golf course in such small  
10 increments as five acres at a time.

11 ALJ WISSLER: You're using the word  
12 "technical," but do you mean economic?

13 MR. FERRACANE: Technically is the  
14 ability to actually construct what they're  
15 proposing to construct in these small  
16 increments. Technical issues might be  
17 referring to the balancing of cut and fill, or  
18 on an unrelated issue, the ability to build a  
19 large warehouse project that's 20 acres.  
20 Technically you cannot build that five acres  
21 at a time. Economically is an issue that we  
22 don't particularly look at but we do have to  
23 consider, is can they build this project in  
24 small increments over time and make it a  
25 feasible project for their own economic

2357

1 reasons. I think we would have to consider  
2 that as a reason for justifying why we would  
3 allow it, but it's not part of our  
4 environmental evaluation. We still have to  
5 agree that environmentally it's feasible that  
6 they can do this.

7 ALJ WISSLER: I got it.

8 MR. FERRACANE: One more item that  
9 related to our decision to use an individual  
10 permit is given the nature of the  
11 settleability of the soils on the project  
12 areas, we have required them to use a  
13 flocculent to aid in the settling in the  
14 sediment basins and a control discharge. We  
15 had done this under the general permit  
16 previously, but it was just another instance  
17 or reason to pursue the individual permit.

18 In exceeding the five-acre limit, we  
19 do require the Applicant to demonstrate the  
20 reasoning why. Typically the reasoning why  
21 relates to their own technical and economic  
22 reasons. Our evaluation of it will -- or our  
23 ultimate authorization of it relies more on  
24 the environmental control measures. We look  
25 for the enhanced erosion and sediment control  
(STORMWATER ISSUE)

2358

1 measures.

2 what is an enhanced erosion and  
3 sediment control measures? what is it that  
4 goes beyond what our general permit and our

5 standards typically rely on? The most  
6 significant one is the practice of  
7 stabilization, emphasis on erosion control,  
8 maintaining within practicality that which is  
9 necessary to construct, maintaining existing  
10 cover, but the ability to establish temporary  
11 cover on an as-needed or almost daily basis if  
12 necessary.

13 Some vague examples, which do not  
14 particularly apply to this project as yet  
15 because we have not gotten into that detail  
16 with this as yet, might be that prior to a  
17 forecasted rain event of a half an inch or  
18 more, that they stabilize the site at the end  
19 of the workday temporarily. It would require  
20 them to have equipment and materials to  
21 perform that stabilization on a regular basis  
22 as directed by the qualified inspector that  
23 they have referenced in the past that our  
24 permits do require, that they retain this  
25 qualified inspector. Qualified inspector has  
(STORMWATER ISSUE)

□

1 direct oversight of the way the construction <sup>2359</sup>  
2 progresses.

3 In addition to that, we will have our  
4 own regulatory oversight of this project. So  
5 we will not rely exclusively on their  
6 qualified inspector. That's one example of  
7 enhanced erosion and sediment control. It's  
8 stabilization that goes beyond the time frames  
9 that our general permit currently allow.

10 A specific example in this case is the  
Page 40



11 sizing of the basins, which I'll get into, the  
12 temporary sediment basins --

13 ALJ WISSLER: Pat, let me just stop  
14 you right there. The regs generally say now,  
15 you can disturb five acres, and at the end of  
16 the day, you control that; right?

17 MR. FERRACANE: Explain that.

18 ALJ WISSLER: I'm just repeating what  
19 you said with respect to --

20 MR. FERRACANE: Currently our general  
21 permit limits the amount of disturbance to no  
22 more than five acres at a time. You're  
23 allowed to have five acres open, provided you  
24 have the adequate sediment control measures  
25 that go along with general standards. Before  
(STORMWATER ISSUE)

1 you progress to the next five acres, you have<sup>2360</sup>  
2 to have that previous five acres stabilized.

3 ALJ WISSLER: You made some comment  
4 that you'll have inspectors on-site and at the  
5 end of the workday, whatever sediment controls  
6 that need to be in place that day at the end  
7 of that workday will be -- did I understand  
8 you correct?

9 MR. FERRACANE: Yes. The qualified  
10 inspector is a component of our General  
11 Permit-0201, and this element is incorporated  
12 into our individual permit as well for these  
13 two projects. At the direction of the  
14 qualified inspector -- this is the person  
15 whose sole responsibility is to monitor the

16 project areas for the Applicant. The  
17 developer has to hire this person as any other  
18 project does currently functioning under  
19 GP-0201. If that qualified inspector or that  
20 erosion and sediment control inspector  
21 determines that today we need to stabilize the  
22 site at the end of the workday, for, say, a  
23 forecasted rain event or significant  
24 forecasted rain event, then that is one of  
25 those enhanced erosion control measures that  
(STORMWATER ISSUE)

2361

1 they would have to implement. In accordance  
2 with our general permit, there's no reference  
3 to that type of consistent or constant  
4 stabilization effort. We're looking at an  
5 enhanced erosion control plan that will  
6 function for at least temporary stabilization  
7 on an almost daily basis.

8 ALJ WISSLER: Okay.

9 MR. FERRACANE: This type of approach,  
10 the 25-acre disturbance, this is not the first  
11 project we have applied that to. There have  
12 been two, that I can think of, other golf  
13 course projects within the past year, or two  
14 or three years even, that we have applied that  
15 same disturbance limit to. It seems to be the  
16 common number that allows the golf course to  
17 be built in a reasonable amount of time that  
18 can be still managed. Those two projects  
19 where they were both golf courses and involved  
20 extensive disturbances, and one of the two had  
21 topography, not nearly what these two projects

22 have, but similar issues with slope or  
23 construction activity on slope.

24 ALJ WISSLER: When you say not nearly  
25 the topography, what do you mean?  
(STORMWATER ISSUE)

2362

1 MR. FERRACANE: The severity of the  
2 slopes. There were severe slopes in portions  
3 of this one project, but not nearly as they  
4 are on -- at least the Big Indian project.  
5 The second project did not have the topography  
6 of the slope severity that this one or Big  
7 Indian or the other golf course that I  
8 mentioned had, but it did have soil  
9 settleability problems, the clay soils that  
10 have been referenced.

11 we've had good success with one of the  
12 projects, and the other was a marginal effort.

13 ALJ WISSLER: Which is which?

14 MR. FERRACANE: Specifically?

15 ALJ WISSLER: I mean you had  
16 difficulty with one?

17 MR. FERRACANE: Yes, the one that we  
18 had the difficulty with exhibited the soils  
19 which are not adequately identified in the  
20 preliminary process, exhibited soils that had  
21 poor settleability characteristics, so there  
22 was not a consistent and not a severe  
23 discharge of turbid stormwater from the site,  
24 but there was discharges of turbid stormwater  
25 from the site due primarily to the  
(STORMWATER ISSUE)

2363

1 characteristics of the soil that they were  
2 working in -- in certain areas of the project.  
3 They weren't consistent throughout the project  
4 area.

5 ALJ WISSLER: Any similarities between  
6 the soils at that site and the soils in this  
7 project?

8 MR. FERRACANE: Only in that they both  
9 contain the colloidal clay which has been  
10 mentioned, the finer particles which do not  
11 respond well to conventional sediment control  
12 measures.

13 ALJ WISSLER: So when you spoke about  
14 the settlement problems in the other project,  
15 it's because of the same kind of clay that's  
16 present here?

17 MR. FERRACANE: Exactly the same, no,  
18 not nearly to the percentage that exists here.  
19 They exhibited some level of clay percent.

20 ALJ WISSLER: We're talking about the  
21 same type of clay; is that what we're talking  
22 about?

23 MR. FERRACANE: Yes. It's the size of  
24 the particle that's relevant. The smaller the  
25 particle, the less settleability it has in a  
(STORMWATER ISSUE)

2364

1 pond.

2 MR. GERSTMAN: Judge, with your  
3 permission, if you deem this appropriate, I  
4 would request that you ask the names of the  
5 two projects that we're talking about.

6 ALJ WISSLER: They're a public record;  
Page 44

7 right?

8 MR. FERRACANE: Yes.

9 ALJ WISSLER: What are they?

10 MR. FERRACANE: Do you want me to  
11 distinguish between the successful and the  
12 marginal?

13 ALJ WISSLER: Sure.

14 MR. FERRACANE: The successful project  
15 was the Peekskill Hollow Brook Golf Club,  
16 which the name may change. This is what we  
17 knew it as during the design and construction  
18 phase. Currently it may be operating under a  
19 different name. It was in the Town of  
20 Cortlandt in Westchester County. It was  
21 bisected by the Peekskill Hollow Brook.  
22 Peekskill Hollow Brook is the water supply  
23 source for the City of Peekskill. One side of  
24 the project was fairly level, and at one time  
25 had been an active sand and gravel operation  
(STORMWATER ISSUE)

1 previously disturbed. The other side of the<sup>2365</sup>  
2 project was constructed on fairly steep  
3 slopes. That project, as far as I know, is  
4 completed. We have had no reported problems  
5 associated with that.

6 Again, the Peekskill Hollow Brook is  
7 the water source for the City of Peekskill.  
8 City of Peekskill has always been very keen on  
9 observing impacts to their system. Their  
10 system is not an unfiltered system, it is a  
11 filtered water supply, but when they have

12 problems with significant sediment loads that  
13 overwhelm their filtering system, they have to  
14 shut off their water supply and go to an  
15 alternative source, and that has been a  
16 significant cost to them. So we hear from  
17 them when there's a problem. And minor  
18 concerns during the initial start of the  
19 project, but overall no reported problems, and  
20 our limited site visits did not indicate  
21 significant problems during the construction  
22 process.

23 The second project was constructed by  
24 Westchester County, partially in the New York  
25 City watershed, partially -- mostly out of the  
(STORMWATER ISSUE)

1 New York City watershed, and I believe it was <sup>2366</sup>  
2 the Town of Ossining, also in Westchester  
3 County. This one was also designed to comply  
4 with the 25-acre disturbance.

5 ALJ WISSLER: Do you know the name of  
6 the project?

7 MR. FERRACANE: I think today it's  
8 called Indian Hills. I forget the actual  
9 design and construction name that it went by,  
10 but I think today it's Indian Hills. But it  
11 was one built by Westchester County actually,  
12 just completed last fall, and just opened this  
13 past spring. That one, again there were soil  
14 concerns, soil issues. They were not flagged  
15 as problematic soils. They were marginally, a  
16 marginal amount of clay -- marginal meaning  
17 marginal on the threatening level. In other

18 words, we generally use 20 percent clay. This  
19 is not a standard that is written down  
20 anywhere. It's a flag that we look at.

21 Generally, we will use 20 percent clay  
22 as the point where we have a concern with the  
23 settleability of the soil. This was not  
24 immediately evident. There were only certain  
25 sections of the project where this type of  
(STORMWATER ISSUE)

2367

1 soil turned up, and it did present some  
2 limited settleability problems and discharges  
3 of turbid water off site.

4 ALJ WISSLER: You characterized one  
5 project as being successful and one as not  
6 being successful; which is which?

7 MR. FERRACANE: Marginally successful.  
8 Neither project resulted in an enforcement  
9 action.

10 ALJ WISSLER: which was which?

11 MR. FERRACANE: The Peekskill Hollow  
12 Brook project was the one that was successful  
13 in that we knew of no water quality violations  
14 associated with the project. The westchester  
15 County Golf Club, I consider to be the  
16 marginally successful one because we were  
17 aware of some water quality issues associated  
18 with stormwater discharges from the site.

19 ALJ WISSLER: The Peekskill site, does  
20 that have topography slopes that are greater  
21 than the westchester one?

22 MR. FERRACANE: Yes, but they did not

23 have the soils problems. In fact, much of the  
24 area of the site was a former sand and gravel  
25 facility, which indicates there was  
(STORMWATER ISSUE)

□

1 significant permeability, and that was a very <sup>2368</sup>  
2 positive factor in the design and the  
3 construction of the project. And in the areas  
4 of the sand and gravel, we allowed them for  
5 the former sand and gravel area -- in one  
6 limited instance, we allowed them to exceed  
7 the 25-acre, to go up to -- I think it was  
8 31 acres. The 25 acres, plus or minus up to  
9 five or 10 acres. Some portions of the  
10 project may have been 15 acres of disturbance,  
11 and other portions of the project may have  
12 been up to 30 acres. We did not hold that as  
13 a hardened rule.

14 ALJ WISSLER: Okay.

15 MR. FERRACANE: Back to that 5- and  
16 25-acre issue. In addition to the potential  
17 for the discharge of sediment from the site,  
18 we have found that this is a manageable size  
19 of a project that can be reasonably expected  
20 to comply with all of the requirements that we  
21 establish for the projects. So not only is it  
22 the potential for discharges of sediment from  
23 the site, which a larger project would  
24 certainly have, we also have to consider the  
25 manageability, the contractor's ability to  
(STORMWATER ISSUE)

□

1 implement the plan; implement, maintain and <sup>2369</sup>  
2 modify as necessary to prevent contravention



3 of water quality standards.

4 Another aspect of this project is the  
5 sizing of the temporary sediment basins which  
6 has been subject to a great deal of discussion  
7 over the past couple of days. The temporary  
8 sediment basins that have been proposed on the  
9 project do not conform with any of the  
10 standards that we have in our Erosion and  
11 Sediment Control Manual, the blue book, or as  
12 it's been referred to consistently here as the  
13 blue book. It goes, in our opinion, beyond  
14 that.

15 They were not designed to act as  
16 passive systems, meaning stormwater comes in  
17 and flows out over a period of time. They  
18 were designed to contain a storm event, a  
19 specific storm event. They were designed to  
20 contain all storm events up to and including a  
21 10-year, 24-hour storm event. They were  
22 required to size that based on bare soil  
23 conditions which would produce the most amount  
24 of runoff, and assume additionally that all  
25 rainfall was runoff. Allow nothing for  
(STORMWATER ISSUE)

□

2370

1 infiltration -- no loss of water due to  
2 infiltration into the soils. We required them  
3 to assume all rainfall was runoff. If the  
4 rainfall for the 10-year event was six inches,  
5 six inches is what they had to account for in  
6 the basin for the contributing watershed.

7 The temporary sediment basins are part

8 of what we consider to be a -- or what needs  
 9 to be a comprehensive implementation of a  
 10 multiple series of measures. A single  
 11 practice, whether it's on this project or any  
 12 project, a single practice that is relied on  
 13 as the sole sediment control or erosion  
 14 control measure will fail; regardless of how  
 15 well it's designed, constructed or maintained,  
 16 it will fail. There needs to be comprehensive  
 17 implementation of multiple practices.  
 18 Multiple practices include site stabilization  
 19 measures, interior measures, measures that  
 20 will limit the larger particles from moving  
 21 into the sediment basin. Limit the amount of  
 22 sediment that you have to deal with at a point  
 23 source by controlling it at its source, by  
 24 containing it at its source. And you do that  
 25 through either temporary barriers or temporary  
 (STORMWATER ISSUE)

□

2371

1 stabilization measures.

2 The primary purpose of the sediment  
 3 basin in general is to collect and treat that  
 4 runoff which contains suspended solids that  
 5 could not be adequately contained by those  
 6 other measures that are part of the  
 7 comprehensive implementation.

8 So the sediment load that goes into  
 9 the basin should be limited to only those  
 10 types of soils or a portion of the soil site,  
 11 not certainly all of them. Some of that soil  
 12 should be retained within the construction  
 13 area without impacting the basin. The basin

14 in this particular case is designed to treat  
15 fine particles, particles that will not settle  
16 out or be filtered out on their own with  
17 conventional practices. That's where the  
18 requirement to introduce the flocculent or the  
19 coagulant into the process. The process  
20 involves, again, the containment of all storm  
21 events up to a 10-year storm, which would, in  
22 most instances but certainly not all, allow  
23 for a containment of a storm event without  
24 discharge, with untreated discharge, untreated  
25 by treating with the chemical flocculent.  
(STORMWATER ISSUE)

□

1 The process as described in the DEIS,<sup>2372</sup>  
2 and which we have agreed to as yet -- to date,  
3 what we have agreed to is that the basins will  
4 fill up with water, at the end of the storm  
5 event, the chemical will be applied and then  
6 dewatered after the chemical has the  
7 opportunity to react and the particles have  
8 adequately settled in the basin.

9 The discharge of water from the basin,  
10 they're required to monitor that on a  
11 continuous basis. They have proposed the use  
12 of a turbidity meter, which we don't object  
13 to, but we will not allow them to rely on.  
14 They need to visually monitor the functioning  
15 of the dewatering of the basins to prevent  
16 that discharge of heavier soil that settled at  
17 the bottom of the basin from the basin. The  
18 basins also have to be like every other

19 erosion and sediment control practice,  
20 continuously maintained. The basins have to  
21 be restored to their design capacity as  
22 necessary.

23 Through discussion about the lack of a  
24 permanent pool within the sediment basin and  
25 that the sediment basin should maintain this  
(STORMWATER ISSUE)

□

1 permanent pool, we don't consider that to be a <sup>2373</sup>  
2 design standard appropriate for use during  
3 construction activity. We consider that to be  
4 a design standard that relates to  
5 post-development pollutant loads. The reason  
6 being that standing water in a basin,  
7 particularly if it's clean or clarified water,  
8 is taking up space within the basin. The  
9 basin needs to be evacuated of the clean water  
10 to allow the next flow of water to be properly  
11 treated and contained. Having standing water  
12 in the basin limits the amount of water that  
13 the basin can handle on the next storm event.

14 In fact, many of our temporary  
15 sediment basin designs incorporate a temporary  
16 dewatering structure -- not appropriate for  
17 this project because the dewatering structure  
18 would not adequately filter the sediment laden  
19 water as it passed through the material, the  
20 fabric that is part of a temporary dewatering  
21 structure. But the primary purpose of the  
22 temporary dewatering structure is to allow the  
23 basin to drain and restore capacity for the  
24 next event.

25 The discharge from the basins will be  
(STORMWATER ISSUE)

2374

1 by pump, except in that extreme event which  
2 may exceed the 10-year storm event. The only  
3 discharge from the site will be by a pump.  
4 The pump will be discharged through what the  
5 Applicant has agreed is an erroneous term.  
6 It's not a level spreader. It is not designed  
7 to be a level spreader. It's not intended to  
8 be a level spreader. It was intended to  
9 defuse the flow from the pump velocity.

10 we had concerns that the pump velocity  
11 would, in itself, if not properly managed,  
12 would create an erosion problem as it  
13 progressed down the slope or onto the slope,  
14 or onto any bare soil. Regardless of the  
15 topography, in general, when we're dealing  
16 with a pump flow, there needs to be a  
17 mechanism to reduce velocity. The mechanism  
18 that they choose in this case is to attempt to  
19 defuse the flow through the perforated pipe  
20 wrapped with a filter fabric. But it is not a  
21 level spreader, and we did not view it as a  
22 level spreader.

23 The other major issue that we  
24 considered, and has been discussed at length  
25 in the past three days, is the conceptual  
(STORMWATER ISSUE)

2375

1 nature of the Stormwater Pollution Prevention  
2 Plan. We viewed the DEIS to be the document  
3 that identifies the impacts, proposes

4 mitigation to the impacts; and in this case,  
5 we have asked them to go beyond that and  
6 demonstrate clearly the feasibility. We had  
7 significant concerns given the physical -- not  
8 size constraints on the project, they're not  
9 limited by space area -- what they are limited  
10 by is physical site constraints like  
11 topography, depth to bedrock, and the soils  
12 themselves. We asked them, required them to  
13 demonstrate that it was feasible to construct  
14 the proper mitigation measures. The initial  
15 DEIS indicated that we need -- as an example:  
16 we need to provide X amount of storage to  
17 mitigate this impact. We will provide X  
18 amount of storage. It did not say how they  
19 would provide it, and it did not elaborate on  
20 how or if they could be constructed. In the  
21 most recent DEIS, which is what is before us,  
22 they did, in our opinion, demonstrate the  
23 feasibility of constructing the proper  
24 mitigation measures.

25 The detailed plan, again, this goes  
(STORMWATER ISSUE)

2376

1 back to the individual permit, it allows us  
2 clear review authority over each phase as the  
3 project progresses. There is an advantage to  
4 this. There's a disadvantage in that we don't  
5 know how they will deal with something five or  
6 six years from now. The advantage is that it  
7 allows us to change as we progress; a clear  
8 ability to change design, to change  
9 construction methods.



15 We agreed that the most severe  
16 potential for water quality issues will be the  
17 construction of the access road to Big Indian,  
18 but that construction of that access road we  
19 did not feel was most representative of the  
20 type of development that characterized these  
21 two projects -- and that is the construction  
22 of the golf courses.

23 But even for Phase 2 of Big Indian, we  
24 don't consider that the plan that's part of  
25 the DEIS to be something that would be  
(STORMWATER ISSUE)

1 suitable for construction. It focused on how<sup>2378</sup>  
2 those 25 acres maximum capped areas would be  
3 broken down into subphases. It focused on how  
4 the sediment basins and the use of the  
5 flocculent will be incorporated into the plan.  
6 But it has not, most significantly has not  
7 demonstrated that comprehensive implementation  
8 of acceptable practices and has not adequately  
9 elaborated on the aggressive stabilization  
10 program that we will hold this project to.

11 ALJ WISSLER: Where in the process  
12 should that occur, Pat?

13 MR. FERRACANE: It could occur now for  
14 the detailed part of Phase 2. It could have.  
15 This is typical of plan submission -- this is  
16 what we're doing, okay, do this, do that, make  
17 changes, back and forth. It could occur at  
18 this, but we will also consider this to be an  
19 adequate demonstration of what we consider to  
20 be the most significant issues; but the



21 detailed construction drawings for Phase 2 we  
22 will not require to be submitted to us until  
23 that 60-day period that's established by the  
24 individual permit, 60 days prior to  
25 construction. And it cannot progress until we  
(STORMWATER ISSUE)

1 sign off on the project, or that component of<sup>2379</sup>  
2 the project. That's when we're going to look  
3 at the detailed nuts and bolts of the  
4 Stormwater Pollution Prevention Plan, or at  
5 least that's our intention.

6 Another issue that's been discussed is  
7 the -- before I get to this, I think I need to  
8 also point out that references that the  
9 Applicant has submitted as exhibits to our New  
10 York State Stormwater Management Design Manual  
11 were extracted from the October 2001 version  
12 of that manual. It is not the current version  
13 of that -- of our Stormwater Management Design  
14 Manual. The current Stormwater Management  
15 Design Manual has a date of August 2003 and  
16 includes modifications that we've made to the  
17 manual up until February of 2004.

18 ALJ WISSLER: As relevant to the parts  
19 that they have addressed though? what's the  
20 difference, if any?

21 MR. FERRACANE: The difference is --  
22 if I understand your question properly -- the  
23 difference, your Honor, is that the actual  
24 items that they have submitted are no  
25 longer -- or one of the items that they have  
(STORMWATER ISSUE)

1 submitted is no longer part of our manual. I 2380  
2 think that was 37, and it was the Pollutant  
3 Load Analysis, the simple method. That's no  
4 longer part of our manual.

5 The reason it's no longer part of our  
6 manual is we no longer consider pollutant load  
7 comparisons, we being DEC, no longer consider  
8 pollutant load analysis and pollutant load  
9 comparisons to be a required element of the  
10 Stormwater Pollution Prevention Plan.

11 ALJ WISSLER: Is the manual available  
12 on the Division of Water's website?

13 MR. FERRACANE: I don't think so, the  
14 current version. Our website includes some of  
15 the changes or some references to the changes,  
16 but what it does include is a link to the New  
17 York State Department of State website which  
18 has our most recent version of the manual  
19 available.

20 ALJ WISSLER: Is that a PDF format?

21 MR. FERRACANE: Yes. The last I  
22 looked at the manual that's on our website, it  
23 is still the older version, as hard as we have  
24 tried to correct that. We realize that is a  
25 confusing issue, and it's been problematic for  
(STORMWATER ISSUE)

1 us, but that is not related to this. 2381

2 ALJ WISSLER: There's nothing I can do  
3 about it either.

4 MR. FERRACANE: Again, I want to  
5 emphasize that we note that the simple method

6 is no longer part of our design manual because  
7 we don't consider pollutant load comparisons,  
8 pre- and post-development pollutant load  
9 comparisons to be a required element of the  
10 Stormwater Pollution Prevention Plan.

11 The reasoning that we apply, or that  
12 has been applied is that the -- the principal  
13 authors of our current New York State  
14 Stormwater Management Design Manual is the  
15 Center for Watershed Protection, which along  
16 with other people like Dr. Pitt who testified  
17 the other day, are leaders in the development  
18 of stormwater management control measures  
19 nationally. They were the principal authors  
20 of our manual.

21 It's their opinion, and one that we  
22 agreed with -- actually it's been tested over  
23 time -- that all of the practices in our  
24 manual designed in accordance with the  
25 appropriate water quality volume will achieve  
(STORMWATER ISSUE)

□

1 a removal efficiency of 80 percent total  
2 suspended solids and 40 percent phosphorus.  
3 That's where the number that the Applicant  
4 drew that removal efficiency from.

2382

5 Our manual states -- this in Chapter  
6 5, that: "Designed in accordance with these  
7 standards in Chapter 6, and sized for the  
8 water quality volume as defined in Chapter 4,  
9 80 percent total suspended solids, and  
10 40 percent phosphorus is the expected removal

11 efficiency."

12 Now, removal efficiency is going to be  
13 highly variable, it's going to be highly  
14 variable from one type of practice to the  
15 next, and it's going to be highly variable  
16 from a practice at the same location over  
17 time.

18 Removal efficiency can be deceptive.  
19 Removal efficiency is based on loading. The  
20 lighter the load coming into the treatment  
21 practice, the lower the removal efficiency.  
22 The heavier the load, the higher the removal  
23 efficiency. So if you have a storm event that  
24 it hasn't rained in several weeks -- you get a  
25 storm event, you may have a much higher  
(STORMWATER ISSUE)

□

2383

1 concentration of pollutants. The removal  
2 efficiency that you measure from that pond may  
3 show greater than 80 percent TSS removal and  
4 greater than 40 percent phosphorus. That same  
5 practice on the next storm event which occurs  
6 a day or two later, the removal efficiency may  
7 be lighter.

8 Another significant issue that has  
9 come up has been the Applicant's use of the  
10 HydroCAD or the Applicant's use of the model  
11 HydroCAD. We need to point out how we  
12 evaluate those types of hydrologic models --  
13 not a whole lot different than the pollutant  
14 loading models that we occasionally come  
15 across. And the pollutant loading model that  
16 was used for this project is more relevant to

17 the establishment of the TMDL that we will  
18 discuss later, not so much to the design of  
19 the basin in this particular instance.

20 Again, we're looking at a water  
21 quality volume as defined by the New York  
22 State Stormwater Management Design Manual.  
23 But going back to the HydroCAD model, or any  
24 hydrologic model, we do not do a detailed  
25 assessment of the hydrologic models that are  
(STORMWATER ISSUE)

1 presented before us. we don't routinely run<sup>2384</sup>  
2 models on our own, and we do not consider  
3 ourselves experts in the running of the  
4 models.

5 To adequately evaluate, or to do a  
6 detailed evaluation of a hydrologic model, you  
7 would have to duplicate the model, which we  
8 don't have the expertise to do, or enough to  
9 say that we are -- our model or the results of  
10 our model are better than the Applicant's, or  
11 we agree with the Applicant. It's not the  
12 level of detail that we -- we evaluate plans,  
13 and it's not what the general permit  
14 considered, that we would do these detailed  
15 analysis on every project that came before us.

16 what we do look at is basic  
17 assumptions, and basic assumptions can be  
18 variable from one project, one designer to the  
19 next. There is a great deal of subjectivity  
20 that goes into the development of a model. A  
21 designer's point of view, what they saw on the

22 site, what another designer may see on the  
23 site may cause a divergence in the end result.  
24 There's subjectivity that influences the final  
25 result.

(STORMWATER ISSUE)

2385

1 For instance, Mr. Carr described a  
2 specific issue associated with this project.  
3 The issue related to time of concentration and  
4 actually lack of shallow concentrated flow,  
5 and to reiterate, flow goes sheet flow,  
6 shallow concentrated flow, channelized flow.  
7 what they eliminated from their analysis was  
8 the sheet flow from the pre-development  
9 scenario. That may have been a significant  
10 assumption that would have caused a problem.  
11 The reason being that if they eliminated that  
12 sheet flow, they in the end artificially  
13 raised the post-development peak rate of  
14 runoff from the project. By artificially  
15 raising the peak rate of runoff from the  
16 project, they artificially lowered their need  
17 to attenuate that. The larger the  
18 pre-development peak load, the lower that they  
19 have to attenuate or would need to.

20 To address what Mr. Carr pointed out,  
21 is that he used the same assumption in the  
22 post-development phase, and that's  
23 significant. Consistency is a significant  
24 issue. Did they use the same thought process  
25 in post-development that they used

(STORMWATER ISSUE)

2386

1 pre-development? That's one of the basic

2 things that we're looking at. Were they  
3 consistent in how they evaluated the peak  
4 rates of runoff in pre- and post-development  
5 conditions.

6 The other is are their assumptions  
7 within reason? Did they make some --  
8 characterize some site conditions which were  
9 clearly not evident? Those basic substantial  
10 deviations from what we consider to be reason  
11 would now cause the model to result in much  
12 higher differences in what's normal.

13 One of the flags that we look at is at  
14 what point in the hydrograph are they  
15 estimating that they will have runoff? We  
16 often see hydrographs as part of a  
17 hydrogeology model which will not estimate  
18 runoff coming from a project that's 50 acres  
19 of parking lot until the 11th hour of the  
20 storm. That's not reasonable. That's a flag.  
21 That's when we look at the model in more  
22 detail.

23 ALJ WISSLER: Why is that not  
24 reasonable?

25 MR. FERRACANE: When you have a  
(STORMWATER ISSUE)

1 parking lot or any type of land cover that has <sup>2387</sup>  
2 a very high curve number, parking lots or  
3 asphalt is generally 98, you generally have  
4 short sheet flow lengths and short time of  
5 concentrations.

6 ALJ WISSLER: You're going to see the

7 results of runoff a <sup>6-25-04z</sup> lot quicker?

8 MR. FERRACANE: You're going to see  
9 runoff very early in a storm event. At the  
10 11th hour in the storm event is just not  
11 reasonable, not realistic. We did not see  
12 anything that was unreasonable or not in the  
13 ballpark with the way they evaluated HydroCAD;  
14 but again, our depth of analysis was not  
15 comparable to what New York City did with  
16 theirs.

17 That's a summary of the issues that  
18 have been discussed and how we considered that  
19 in our review process. We do have very  
20 significant concerns about the project based  
21 on the information that's in front of us now.  
22 They relate to both the construction  
23 activities of both projects but also  
24 post-development runoff impacts.

25 Regarding the construction activities,  
(STORMWATER ISSUE)

□  
1 we do have this larger area of disturbance 2388  
2 that goes beyond what our general permit would  
3 limit them to. This amount of disturbance  
4 certainly increases the potential for water  
5 quality impacts and increases the risks.

6 ALJ WISSLER: We're talking about the  
7 up to 25 acres' disturbance?

8 MR. FERRACANE: Yes. It increases the  
9 potential for water quality problems and  
10 increases the risk, and it certainly is a  
11 concern; particularly in this area because of  
12 the environmental sensitive issues. The



13 environmental sensitive issues are not limited  
14 to the New York City water supply.

15 We have other issues that we need to  
16 carefully consider the potential impact of  
17 this project, most notably the potential for  
18 impacts to the trout spawning streams within  
19 the area, Birch Creek and Esopus Creek. The  
20 potential impacts -- and not being a fisheries  
21 biologist, I can't speak to this as an  
22 expert -- but the potential impacts related to  
23 sediment loading on a trout spawning stream  
24 are significant or can be significant.

25 Esopus Creek in particular, it's  
(STORMWATER ISSUE)

□

2389

1 listed as an impaired water body on our  
2 priority waters list. It's a 303-D listed  
3 water body, meaning that its best usage is  
4 already impaired. It does not meet the best  
5 usage for the majority of the time. There are  
6 certain times when it will meet best use, and  
7 there are more times when it won't be. That's  
8 how we arrive at impaired level.

9 The Esopus Creek is impaired for  
10 sediment. That's the pollutant. The source  
11 of the pollutant is, I believe stream bank  
12 erosion -- if it's not the primary -- is a  
13 significant contributor to that. Stream bank  
14 erosion in a natural setting, not induced by  
15 disturbances or construction activities. That  
16 has not been identified as a source, as I  
17 recall. I could correct that later, but

18 that's, as I recall the <sup>6-25-04z</sup> listing, in our  
19 priority water list for the upper Esopus  
20 Creek, the upper Esopus Creek being that above  
21 Shokan Reservoir.

22 So the exposure of soil through  
23 construction activities certainly increases  
24 the risk of erosive and sediment loadings to  
25 these two streams, which could have  
(STORMWATER ISSUE)

1 significant impacts on those streams' 2390  
2 continued ability to meet its best use -- or  
3 at least Birch Creek's ability to meet its  
4 best use -- but our ability, and we are  
5 required, it is our mandate to not only  
6 maintain the best use of a water body but  
7 restore it. And the ultimate outcome of a  
8 303-D listed water body is that a TMDL will be  
9 established at some point. The TMDL will  
10 establish how we can restore that back to  
11 meeting its full -- the best usage all of the  
12 time.

13 Introducing artificial or man-induced  
14 erosion potentials into those watersheds for  
15 those two water bodies significantly could  
16 affect our ability to now restore it to what  
17 it should be or to maintain what it already  
18 is. It's a generic concern about the  
19 disturbance that's associated with the  
20 project.

21 We pointed out some significant  
22 issues, but the main issues being the  
23 erodability of the soil and the settleability

24 of the soil. The settleability of the soil in  
25 terms of runoff that's contained within the  
(STORMWATER ISSUE)

1 construction areas, we believe they proposed a<sup>2391</sup>  
2 measure which can adequately manage that; but  
3 we still need to evaluate how they will  
4 address the erodability of those soils, the  
5 actual movement of those soils from the  
6 construction area. That's during  
7 construction.

8 The operational phase, we have one  
9 significant concern. One concern that we  
10 have, and it has grown in the past couple of  
11 days, is the modeling for the HydroCAD. New  
12 York City was correct in saying that if the  
13 modeling for the pre-development runoff is  
14 inaccurate, it throws off everything, and it  
15 affects the sizing of the basins. If that  
16 degree of accuracy is off significantly, it  
17 could affect the rate of discharges from the  
18 basins if they have been undersized.

19 But again, we have not made that  
20 definitive determination that we believe the  
21 HydroCAD models to be inaccurate. But  
22 certainly it is a concern. If they're not  
23 accurate, the basins will not function  
24 properly, and the erosive flows from those  
25 basins or the velocity of the flows from those  
(STORMWATER ISSUE)

1 basins may increase the erosion potential.<sup>2392</sup>

2 And that's our overriding concern with

3 the project, Big Indian most significantly, is  
4 that the stormwater basins that are located  
5 along the ridge -- there's a number of them, I  
6 believe seven -- nine basins that are located  
7 along the ridge of Big Indian that do not  
8 discharge into a stabilized conveyance system,  
9 that do not discharge into an existing stream,  
10 they discharge to overland flow is what the  
11 proposal is, and the overland flow areas are  
12 very significant slopes with highly erodable  
13 soils. We're concerned --

14 ALJ WISSLER: I want you to continue,  
15 but if you could show me on some of the plans  
16 we have here, the base of the areas that  
17 you're talking about? You said there were  
18 eight basins along the ridge?

19 MR. FERRACANE: Sure.

20 ALJ WISSLER: You don't have to do  
21 that right now.

22 MS. KREBS: Your Honor, we can do that  
23 now.

24 ALJ WISSLER: If it fits into your  
25 presentation.

(STORMWATER ISSUE)

1 MR. FERRACANE: It certainly fits in.<sup>2393</sup>  
2 It shows the outlets to the steep slopes.

3 ALJ WISSLER: We're looking at SD-6.

4 MR. FERRACANE: Pond 13 discharges  
5 over land. Pond 17 discharges over land. 16.

6 ALJ WISSLER: When you say discharges  
7 over land, Pat, which way is it going to go?

8 MR. FERRACANE: It's intended to go to  
Page 68

9 a level spreader and down a slope, and I'll  
10 get to that afterwards, but they are  
11 discharging across this slope, not into a  
12 pipe, not into a channel or a constructed  
13 conveyance system, not directly into a stream  
14 but across a significant slope area.

15 ALJ WISSLER: Okay. So we have 13,  
16 17, 16.

17 MR. FERRACANE: 8, 21 and 15. 17 was  
18 not one of the numbers earlier. We must have  
19 missed that.

20 MR. CARR: There's hardly any flow  
21 coming out of that one.

22 MR. FERRACANE: It's a small one.

23 MR. CARR: And there's very little  
24 coming out of these, although they're at the  
25 top of the slope.

(STORMWATER ISSUE)

1 MR. FERRACANE: I think 25 is the one <sup>2394</sup>  
2 New York City pointed out.

3 ALJ WISSLER: What three?

4 MR. CARR: 36, 37 and 38.

5 ALJ WISSLER: Okay.

6 MR. CARR: Those were on SD-7.

7 MR. FERRACANE: We didn't have 17.

8 MR. CARR: I just added it because it  
9 was at the top of the slope.

10 MR. FERRACANE: The reason that's a  
11 concern, and Dave Carr went through his  
12 evaluation of that, sort of touched on it  
13 yesterday, but they need to elaborate on it

14 further, is that under existing conditions  
15 there is no erosive flow coming off that  
16 slope, that the flow rates estimated coming  
17 off that slope under existing conditions are  
18 much higher than they will be under proposed  
19 conditions.

20 The significant difference is that  
21 those flows coming off those slopes under  
22 existing conditions are starting out at least  
23 as shallow concentrated flow, but in some  
24 instances may be sheet flow. It is not the  
25 concentrated discharge that will occur under  
(STORMWATER ISSUE)

1 the post-development control scenarios for the <sup>2395</sup>  
2 discharges from the ponds.

3 So the ponds are actually taking  
4 diffuse or non-point source or diffuse flow,  
5 concentrating it and discharging it through a  
6 point source or concentrated flow, so it's now  
7 starting out as concentrated flow.

8 ALJ WISSLER: Something it wasn't  
9 before?

10 MR. FERRACANE: Exactly. As it  
11 discharges down the slopes, and slopes of  
12 anywhere from 20 to 60 percent that have been  
13 presented, can result in erosive velocities as  
14 they pick up speed as they go down the slope.  
15 The cubic feet per second or the peak rates of  
16 runoff from the design storm, I believe it was  
17 the 10-year storm that was assessed  
18 yesterday -- was it, Dave?

19 MR. CARR: 100.

20 MR. FERRACANE: 100-year. And that  
21 was the storm that New York City also  
22 discussed. The peak rate of runoff is what's  
23 coming out of the basin. It's not accounting  
24 for what may actually occur as the flow  
25 progresses down the slope. The discharge  
(STORMWATER ISSUE)

1 points do go to level spreaders, and these are <sup>2396</sup>  
2 level spreaders in the proper context,  
3 although they may not be acceptable as yet.  
4 This is the time where you would use a level  
5 spreader, or properly designed level spreader.

6 Unfortunately, the flows that are  
7 discharging from the pond are often -- are  
8 always discharging to slopes with greater than  
9 10 percent. Our design standards for level  
10 spreaders do not suggest that they should be  
11 used on slopes greater than 10 percent, and  
12 the reason being that they may not effectively  
13 maintain the concentrated flow. It may  
14 temporarily result in a more diffused flow,  
15 but given the slope, may reconcentrate, and  
16 again cause erosive velocity.

17 MR. CARR: Can I just make one point  
18 of clarification? The values that I gave  
19 yesterday were not the flows coming out of the  
20 pond. They were the flows at the bottom of  
21 the slope after they came out of the pond.  
22 That's just a point of clarification.

23 MR. FERRACANE: Is that going to be  
24 summarized in your detailed response to this?

25

MR. CARR: Absolutely.  
(STORMWATER ISSUE)

2397

1

MR. RUZOW: Yes, we'll explain that.

2

MR. FERRACANE: Okay.

3

ALJ WISSLER: That's it?

4

MR. FERRACANE: Yes. Unless you have

5

any questions?

6

ALJ WISSLER: No.

7

We're going to take a break here.

8

It's 11:30. Why don't we take 10 minutes.

9

(11:30 - 11:51 A.M. - BRIEF RECESS

10

TAKEN.)

11

ALJ WISSLER: Ms. Krebs.

12

MS. KREBS: Next I would like to turn

13

to Mr. Bill Mirabile concerning the SPEDES

14

permits themselves. We have one chart, your

15

Honor, which Mr. Mirabile drew up this week to

16

clarify some of the concerns raised, questions

17

raised regarding the permits. It's not in

18

evidence, your Honor. First of all, he's

19

going to use some of the SD charts, and then

20

we're going to use our chart. So it's not a

21

formal chart that we can present to your Honor

22

or counsel, but we can go back to the office

23

and draw it up formally. We can leave it as

24

an exhibit, if you wish, or we can submit it

25

later. It's a hand-drawn chart.

(STORMWATER ISSUE)

2398

1

ALJ WISSLER: I can take it in as an

2

exhibit, but it needs to be copied in a way

3

that copies can be made available. I would

4

prefer that the exhibit he uses during his



5 presentation here be the exhibit that gets  
6 entered into evidence. You understand what  
7 I'm saying?

8 MS. KREBS: Yes.

9 ALJ WISSLER: So we'll take this and  
10 then you'll provide copies to everybody?

11 MS. KREBS: Yes, I will. Thank you,  
12 your Honor.

13 Mr. Mirabile, can you briefly state  
14 your education.

15 MR. MIRABILE: Again, my name is Bill  
16 Mirabile. I'm an Environmental Program  
17 Specialist for the DEC's Division of Water,  
18 and I have a Bachelor of Science Degree from  
19 the State University of New York at Albany. I  
20 first started with the Department in  
21 '77-'78 -- it was a long time ago -- in the  
22 Division of Water, at which time I was  
23 involved with water quality modeling,  
24 calibration and development for assimilative  
25 capacity determinations, and then went on to  
(STORMWATER ISSUE)

2399

1 wastewater treatment plant construction  
2 management; went to the private sector for  
3 about seven or eight years, all involving  
4 water quality, wastewater, and came back to  
5 the Department in 1990, and came back to the  
6 Division of Water about 1996 or '97, and I've  
7 been a permit writer for the last three or  
8 four years. So suffice it to say, I've been  
9 in a lot of cubicles in my career.

10 MS. KREBS: Thank you, Mr. Mirabile.

11 Turning to the design plans, did you  
12 want to point out something regarding the  
13 SPEDES permits themselves?

14 MR. MIRABILE: I would, yes. I have a  
15 few visuals up here which I wasn't planning on  
16 using, thinking back earlier in the week, but  
17 reviewing some of the comments that were  
18 identified after the public comment period,  
19 and also the City mentioned, I think Tuesday,  
20 that the Big Indian permit was not as  
21 environmentally protective as the wildacres  
22 permit.

23 I would like to basically explain the  
24 rationale for how the permits were developed  
25 and what's behind them. I think people want  
(STORMWATER ISSUE)

1 to understand them a little better; and at the <sup>2400</sup>  
2 same time, I believe it will address the  
3 City's comments about the Big Indian permit  
4 not being as environmentally protected as the  
5 wildacres permit.

6 For the record, this is SD-2,  
7 wildacres Resort, Highmount Golf Course. It  
8 was drawn up by the LA Group. This shows the  
9 wildacres site, most of it, not all of it. I  
10 believe there is another drawing, but as you  
11 can see by my notes -- again, these weren't  
12 intended to be used as visuals. These were my  
13 working drawings, but they lend themselves  
14 nicely to this purpose because I have the  
15 ponds all highlighted in green, so it's quite

16 easy to get a perspective of where the ponds  
17 are in relation to other things.

18 As a quick overview here, we have  
19 Emory Brook -- it's not shown on the plan, but  
20 it's roughly along here -- correct me, LA  
21 Group, if I'm misstating any of this. We have  
22 Trib. 3 to Emory Brook, which is right here.  
23 (Indicating)

24 MS. KREBS: You're pointing to the  
25 middle of the plan?  
(STORMWATER ISSUE)

2401

1 MR. MIRABILE: It's basically an  
2 intermittent stream, but it is a classified  
3 stream. This is, again, Trib. 3 that I'm  
4 speaking about; and this, by the way, is the  
5 receiving water for the treated effluent from  
6 the wastewater treatment plant that's being  
7 proposed.

8 Down here we have Trib. 2 to Emory  
9 Brook. This has quite a bit more flow,  
10 although it may still be intermittent. As far  
11 as I know, it's a federal wetland.  
12 (Indicating)

13 MS. KREBS: You're pointing to the  
14 left of the map going south to north?

15 MR. MIRABILE: That's correct. So we  
16 have Trib. 3, Trib. 2, Emory Brook down here,  
17 and I think it's important to point out that  
18 whenever we draft a permit, a number of -- a  
19 few primary considerations, one of them being,  
20 of course, the quantity and quality of the

21 wastewaters, the stormwaters that we're  
 22 looking at regulating or permitting, the other  
 23 being the classification of the receiving  
 24 waters. And that's a very important point.  
 25 You have Classes AAA down through Class D.  
 (STORMWATER ISSUE)

2402

1 The higher the letter, the higher the  
 2 classification, the higher the quality of the  
 3 water, in very simplistic terms.

4 In this case we have -- Emory Brook is  
 5 a Class BTS. It's a very high quality surface  
 6 water. T is for trout, and S is for spawning,  
 7 so it's a trout spawning stream. So you have  
 8 a very, very critical aquatic life  
 9 consideration with any discharge that's going  
 10 into Emory Brook.

11 The tributary classifications are  
 12 Class B. For the purposes of the water  
 13 quality evaluation, I can tell you that  
 14 Mr. St. Lucia considered any wastewaters being  
 15 discharged from a Class BTS perspective  
 16 because that is the ultimate receiving water.

17 MS. KREBS: And Mr. St. Lucia is?

18 MR. MIRABILE: Mr. St. Lucia, he was  
 19 here yesterday. Unfortunately he had to  
 20 leave. He's the water quality engineer that  
 21 evaluated my proposed limits when I drafted  
 22 the permits. And what the water quality  
 23 engineer does, he takes into consideration the  
 24 dilutions or lack of dilutions, and whether  
 25 the proposed limits by the permit writer are  
 (STORMWATER ISSUE)

1 adequately -- are stringent enough for the  
2 classification of the receiving water.

3 with all that said, again, the ponds  
4 are in green. This is the irrigation pond.  
5 We're not discussing that right now, but these  
6 are the micropool detention ponds -- I may  
7 have missed one or two, I don't think so --  
8 but as you can see, it's very evident. These  
9 ponds are discharging almost literally on top  
10 of classified surface waters.

11 By the way, there's a ditch along the  
12 railroad tracks here, and basically it catches  
13 the bottom of the site, is most downgradient  
14 of the site, and it also catches quite a bit  
15 of runoff, I believe, from the ponds. So you  
16 have the ponds discharging to either  
17 classified surface water or the ditch -- and  
18 the ditch, by the way, we considered to have a  
19 classification.

20 ALJ WISSLER: Bill, when you say  
21 classified surface water, you mean Emory  
22 Brook?

23 MR. MIRABILE: Yes, Emory Brook and  
24 the tributaries, they're all classified. But  
25 because the ditch is connected to a classified  
(STORMWATER ISSUE)

1 surface water, that ditch also basically, in  
2 essence, takes on a classification of the  
3 waters that it connects to.

4 So, again, I'm just establishing that  
5 some of the micropool detention ponds in the

6 case of wildacres, actually virtually all of  
7 them, are discharging directly to a classified  
8 surface water; therefore, aquatic life is a  
9 very real and the primary consideration and  
10 the protection of the surface water.

11 ALJ WISSELER: Bill, let me stop you  
12 right there. Come over here onto my map here.  
13 I'm looking at Detention Pool 16. That says  
14 Emory Brook right above it?

15 MR. MIRABILE: Yeah, that's right,  
16 Emory Brook is somewhere -- it's not shown on  
17 the map.

18 ALJ WISSELER: What is this here?

19 MR. MIRABILE: That's a design point.

20 ALJ WISSELER: Where is this  
21 discharging to?

22 MR. MIRABILE: That would be  
23 discharging to the ditch.

24 ALJ WISSELER: And the ditch is?

25 MR. MIRABILE: Along the railroad  
(STORMWATER ISSUE)

2405

1 tracks.

2 ALJ WISSELER: But it's not indicated  
3 on this map where that discharge would occur?

4 MR. MIRABILE: Very subtly. You kind  
5 of have to look at the flow direction arrows  
6 coming out of the ponds.

7 when I was first given the task of  
8 writing the draft permits for these projects,  
9 the first thing you look at was the quality  
10 and quantity of the discharges and the  
11 receiving waters. These discharges from the

12 ponds being, basically, right into classified  
13 waters, I made a decision to designate these  
14 discharges as outfalls, specific outfalls.  
15 And in page 2 or 3 of the wildacres permit,  
16 you will see a list of all the outfalls,  
17 stormwater pond outfalls, and with the outfall  
18 designation.

19 ALJ WISSLER: Let me stop you there.

20 MR. MIRABILE: Page 2 of 23.

21 ALJ WISSLER: This is entitled,  
22 "Additional outfalls." It starts with:  
23 "Outfall 003, Micropool Detention Pond 1, and  
24 goes through 0015, Micropool Detention  
25 Pond 4"?

(STORMWATER ISSUE)

2406

1 MR. MIRABILE: Correct. And in the  
2 there, by the way, 001 is the treated  
3 wastewater effluent from the treatment plant;  
4 and 002 would be the treated wastewater  
5 effluent which goes to irrigation. So the  
6 basis of the establishment of the outfall  
7 numbers in the wildacres permit. This is the  
8 other part of the drawing for wildacres and  
9 shows a couple of other ponds here.  
10 (Indicating)

11 MR. RUZOW: What drawing number?

12 MR. MIRABILE: This is SD-4. I don't  
13 have much to say on this. The point I wanted  
14 to make was really with the other drawing, but  
15 there are a few other ponds.

16 Now drawing SD-7, Big Indian Plateau,

17 Big Indian Resort and Spa, Big Indian Country  
18 Club. Now -- again, I'll give you an overview  
19 of the site here. You have Birch Creek which  
20 is -- Birch Creek is somewhere down along  
21 here, 28. We have a lot of forested land.  
22 Then we have -- we're looking south to north.  
23 Then we have the micropool detention ponds for  
24 a major portion of Big Indian -- but again,  
25 Big Indian is spread over a couple drawings,  
(STORMWATER ISSUE)

2407

1 but this serves the point.

2 So we have the micropool detention  
3 ponds here, you have irrigation ponds here.  
4 We have a couple of micropool detention ponds  
5 which drain to a different drainage basin.  
6 (Indicating)

7 MS. KREBS: These are all on the lower  
8 end of the drawing?

9 MR. MIRABILE: Correct.

10 ALJ WISSLER: These are what we  
11 identified with Mr. Ferracane?

12 MR. MIRABILE: I believe so. I wasn't  
13 really privy to your conversation. Is that  
14 correct, Pat?

15 MR. FERRACANE: What were the numbers  
16 of the ponds again?

17 ALJ WISSLER: He's locating the  
18 detention ponds around Big Indian; 38, 37 --

19 MR. FERRACANE: Is it the irrigation  
20 ponds or the perimeter ponds?

21 ALJ WISSLER: He's talking about  
22 perimeter ponds.



23 MR. FERRACANE: Those would be the  
24 same.

25 MR. MIRABILE: The point I'm trying to  
(STORMWATER ISSUE)

2408

1 make here is that with wildacres, we have  
2 classified surface waters receiving direct  
3 discharges of either stormwater or treated  
4 wastewater effluent.

5 That's not the case here with Big  
6 Indian. We have micropool detention ponds  
7 which are undergoing the same design criteria;  
8 however, the discharges from the ponds, the  
9 ones that are discharging and are not  
10 connecting to the series, they're discharging  
11 to the land. We refer to that as overland  
12 flow. And we -- eventually the discharged  
13 water from the ponds could reach the -- could  
14 reach Birch Creek. It may or may not, depends  
15 on the magnitude of the discharge, and again,  
16 the discharges from the ponds hopefully will  
17 be intermittent.

18 So the quality of the discharge from  
19 the pond after undergoing physical, chemical  
20 and biological processes flowing through the  
21 forested land, if it does reach Emory Brook at  
22 all, by the time it gets downgradient to the  
23 receiving water from here, it's not going to  
24 reflect the quality that comes out of the  
25 pond. So no direct discharge to classified  
(STORMWATER ISSUE)

2409

1 surface water; therefore, I decided not to

2 designate these pond discharges as outfall  
3 numbers. They are discharges, but they are to  
4 overland flow.

5 This is another drawing, SD-6, from  
6 Big Indian, another portion of the site. The  
7 point I want to make now is this is something  
8 I drew up rather quickly. I apologize for the  
9 lack of the professional preparation. It was  
10 an afterthought. I'm not a great writer.  
11 (Indicating)

12 ALJ WISSLER: Don't apologize, looks  
13 fine.

14 MS. KREBS: Your Honor, do you want to  
15 mark it now or later?

16 ALJ WISSLER: It will be Staff's 7.  
17 We can mark it later.

18 MS. KREBS: Thank you, your Honor.

19 MR. MIRABILE: Again, looking at the  
20 wildacres permit, what I've done is -- it's  
21 entitled, "Ambient Stormwater Monitoring  
22 Requirements," and the intention and objective  
23 of this chart is to show a comparison between  
24 the two sites and the level, if you will, of  
25 the environmental protection that the permits  
(STORMWATER ISSUE)

2410

1 are presently affording.

2 Over here, we have the point sources,  
3 MPDP, micropool detention ponds, wildacres and  
4 Big Indian. Under the Point Sources column,  
5 we have -- under the leftmost column, we have  
6 point sources -- these would be the ponds --  
7 ambient monitoring requirements, ambient for

8 surface waters and ambient monitoring  
9 requirement for groundwaters. We have the  
10 center column being wildacres, the right  
11 column being Big Indian. (Indicating)

12 You can see by this chart here that  
13 they're very substantially similar  
14 requirements. Even though we have outfalls  
15 designated for wildacres, we don't have  
16 outfalls designated for Big Indian. I  
17 explained why, the fundamental difference. We  
18 do have essentially the same monitoring  
19 requirement. It's not the same but very, very  
20 similar. (Indicating)

21 For the ponds, we have flow, monthly  
22 monitoring for wildacres, monthly monitoring  
23 for Big Indian. Total phosphorus, same thing,  
24 monthly for both sites. Total suspended  
25 solids, wildacres, monthly monitoring. I have  
(STORMWATER ISSUE)

1 no TSS monitoring for Big Indian because we <sup>2411</sup>  
2 don't care about the TSS coming out of the  
3 ponds because it's discharging on land. We're  
4 certainly not protecting aquatic life here.

5 Pesticides, monthly monitoring for  
6 wildacres, three times a year for Big Indian;  
7 for similar reasons, Big Indian discharges are  
8 not discharging to surface waters, they're  
9 discharging to overland flow. And toxicity  
10 testing, which would be testing of the pond  
11 discharges, three times per year for  
12 wildacres, three times per year for Big

13 Indian. The same for both sites.  
14 Ambient surface water monitoring.  
15 Flow, per sampling event for both sites.  
16 Total phosphorus, monthly for wildacres;  
17 monthly for Big Indian. So it's the same for  
18 both sites. Pesticides, three times per year  
19 for wildacres; and again, none for Big Indian  
20 because surface waters -- they're quite a long  
21 ways away from the discharges of the ponds.  
22 So at this point I have no pesticide  
23 monitoring for Big Indian -- I'm sorry,  
24 ambient surface waters. Lastly, ambient  
25 monitoring for groundwaters, nitrates, which  
(STORMWATER ISSUE)

2412

1 is a primary concern for groundwaters,  
2 quarterly monitoring for both sites, Big  
3 Indian and wildacres.  
4 Same with pesticides. I had seen  
5 several comments where pesticides monitored  
6 for groundwater is not specified in the  
7 permits. I don't know where that came from.  
8 It's in both permits, and it's required on a  
9 quarterly basis for both sites.

10 Now, the permits -- to wrap up here,  
11 the permits are structured a little  
12 differently. The wildacres permit has --  
13 pages 8 and 9 of the wildacres permit, it has  
14 what we call the limits page. This -- these  
15 pages specify the specific parameters to be  
16 monitored, the limits, if we have them, and we  
17 do, and the units, micrograms per liter,  
18 gallons per day -- kilograms per year, gallons

19 per day. Monitoring frequency and sample  
20 type. It's called grab samples.

21 ALJ WISSLER: For the sake of the  
22 record, I'm looking at Office of Hearings  
23 Exhibit 10 which is the draft permit for  
24 Wildacres Resort Sewer Works Corp.

25 MR. MIRABILE: So we have a limits  
(STORMWATER ISSUE)

1 page in the wildacres permit. We don't have a <sup>2413</sup>  
2 limits page in the Big Indian permit because  
3 the limits are basically -- or the monitoring  
4 requirements if there aren't limits are  
5 specified in the special section because we  
6 don't have an outfall limits page. Big Indian  
7 permit has, again, the similar monitoring  
8 requirements in the section entitled, "Special  
9 Monitoring Requirements," and they start on  
10 page 11 of 21.

11 MS. KREBS: For the record, your  
12 Honor, I believe it's Office of Hearings  
13 Exhibit 11.

14 ALJ WISSLER: I think it's all part of  
15 10, but it's the draft permit, Big Indian  
16 Plateau Sewage Works Corp. What page were you  
17 directing me to?

18 MR. MIRABILE: 11 of 21, Special  
19 Monitoring Requirements. Again, you'll see  
20 micropool detention pond monitoring for total  
21 phosphorus. If you flip the page, it's  
22 pesticides, and it gets into your surface  
23 water ambient monitoring requirement. So the

24 same requirements are in each permit, and  
25 they're structured a little differently  
(STORMWATER ISSUE)

2414

1 because we have designated outfalls in one  
2 permit and not the other permit.

3 To conclude, these are draft permits.  
4 That's part of the process. This is the way  
5 we do all SPEDES permits. We receive an  
6 application, we draft a permit with the  
7 information that we have, and then we go from  
8 there. It's an evolving process. This is the  
9 first cut of the permits. I made some minor  
10 changes, but the next step is to consider  
11 comments, consider issues.

12 we heard yesterday -- most of the  
13 week, we obviously have concerns about  
14 stormwater and channelized flow. Well, we may  
15 want to go back and after the Applicant takes  
16 another look at it, DEC takes another look at  
17 it, we may have new discharge sites  
18 established for the Big Indian site, Birch  
19 Creek. If that's the case, we will go back,  
20 and change the permits to accommodate that new  
21 information.

22 we heard there's been a lot of  
23 questioning of the use of the winSLAMM model,  
24 and the subsequent estimates of the phosphorus  
25 loading, the TMDL. Well, that's -- from what  
(STORMWATER ISSUE)

2415

1 I heard, that's going to change. If, in fact  
2 it does change, the annual loading limit, the  
3 TMDL, phosphorus TMDL number changes for the

4 permit, we'll make that change in the permit.

5 we had comments on maybe you should  
6 add these ponds to capture or track water  
7 quality from these ponds because you're not  
8 quite adequately seeing what's going to flow  
9 into Giggie Hollow. Well, we may add some  
10 ponds. I'm just giving some examples. Just  
11 again, the permits are a draft. They  
12 absolutely will be changing from this point,  
13 but the objective here is to ensure  
14 environmentally protected documents and to set  
15 a template for what would be a final permit if  
16 it gets that far.

17 ALJ WISSLER: Bill, looking at the Big  
18 Indian section of this, under what  
19 circumstances would you want to see an outfall  
20 designated for one of these ponds specifically  
21 contained in the SPEDES permit?

22 MR. MIRABILE: In what circumstances  
23 would I want to see an outfall designated?

24 ALJ WISSLER: Right.

25 MR. MIRABILE: Sheet SD-7. I'm not  
(STORMWATER ISSUE)

□  
1 sure that that would be the case, but if the<sup>2416</sup>  
2 HydroCAD modeling is done again, and it shows  
3 that there will be channelized flow reaching  
4 Birch Creek -- right now, as Mr. Ferracane, I  
5 believe, pointed out, it's an engineering  
6 problem. LA Group will go back and probably  
7 recheck the model, see if they want to tweak  
8 it or change it. It may be they may want to

9 put some piping in that has not been  
10 envisioned now, or they may want to put some  
11 designed channels in. whatever is the case.  
12 There may be a change in the plan to have an  
13 intentional discharge from some of these  
14 lowermost or downgradientmost ponds to the  
15 receiving water. I'm not saying that's going  
16 to be the case. I'm just saying that's a  
17 possibility.

18 so if there is designed channelized  
19 flow to Birch Creek, then we would -- maybe --  
20 either an outfall or at least put monitoring  
21 requirements in there. It's not that easy of  
22 a problem to address actually. It sounds like  
23 it is; but, for example, what storm do you  
24 use? If you use 100-year storm, you're going  
25 to have flow in a lot of these existing dry  
(STORMWATER ISSUE)

□

1 swales. If you use a 25-year storm, there are <sup>2417</sup>  
2 going to be less channels created with a  
3 25-year storm. I'm just pointing out that  
4 there are a number of considerations that you  
5 may not really think about firsthand.

6 ALJ WISSLER: The 10-year storm,  
7 25-year storm, was that part of the  
8 Department's thinking in the development of  
9 the wildacres permit, the outfalls of the  
10 wildacres permit?

11 MR. MIRABILE: Yes and no.  
12 Mr. Ferracane, Dave Gasper and a bunch of  
13 other people in the Department are looking at  
14 the design of the micropool detention ponds.



15 The limits in the permit, the wildacres  
16 permit -- the limits in the wildacres permit  
17 really wouldn't change depending on the storm  
18 duration or storm intensity. If you turn to  
19 the limits page for the stormwater, that would  
20 be page 8 of 23.

21 ALJ WISSLER: 8 and 9.

22 MR. MIRABILE: You can see that this  
23 is really a discussion -- pesticides are a  
24 discussion for another time, but we'll touch  
25 upon them now. The limits in here now for  
(STORMWATER ISSUE)

1 pesticides, for example, they'll be called <sup>2418</sup>  
2 concentration-based limits. So the flow  
3 changing out of a pond is not going to affect  
4 that type of a limit. It's a concentration.  
5 That concentration, 25 parts per billion, 25  
6 micrograms per liter, has to met no matter  
7 what the flow.

8 ALJ WISSLER: No matter what the  
9 precipitation event is?

10 MR. MIRABILE: Correct. On the other  
11 hand, if you have a mass-based limit, for  
12 example, total phosphorus -- that's the only  
13 mass-based limit for these outfalls. The flow  
14 directly relates to the mass because the  
15 concentration times the flow, in simplistic  
16 terms, gives you the mass. So if you have a  
17 higher flow at a given concentration, then you  
18 will have a higher mass.

19 This 21 that's in here, chances are

20 very high that it will increase. But if the  
21 flow does increase from the ponds,  
22 collectively speaking, then -- that's the  
23 point. The mass-based limit is for all of the  
24 ponds for total phosphorus, but the mass-based  
25 limit is dependent upon the flow.  
(STORMWATER ISSUE)

2419

1 (Indicating)

2 MS. KREBS: One final comment. Based  
3 on what you have so far in the DEIS and what  
4 you have heard, can you comment on staff's  
5 position concerning these draft permits? Do  
6 they meet the --

7 MR. MIRABILE: Yes, do they meet the  
8 intent of the SPEDES program, or are they  
9 environmentally protective, adequately  
10 environmental protective? I believe they are;  
11 but, again, I want to qualify that they are a  
12 draft and this being an evolving process,  
13 we're hearing new information, and they will  
14 be changing. But the template is basically  
15 set, and I believe that the way it is set up  
16 now, they do meet the intent of the SPEDES  
17 program.

18 ALJ WISLER: Bill, just clarify that  
19 last point for me. You said, as you have  
20 heard things and you look at -- you will be  
21 making all kinds of changes in the permit?

22 MR. MIRABILE: All kinds of changes  
23 could take place with the permit?

24 ALJ WISLER: As a result of this  
25 proceeding.

1 MS. KREBS: I think absent a change in <sup>2420</sup>  
2 water issues --

3 ALJ WISSLER: I just want him to  
4 expand upon what he just said.

5 MR. MIRABILE: Okay, that's a good  
6 question. The template is set, the sections  
7 will probably stay as they are. We may add  
8 another groundwater monitoring well for  
9 pesticides and nitrates, depending on the  
10 comments received. That's what we do. We  
11 look at the comments after the public comment  
12 period. Some comments are great; others are  
13 not so great. The comments that are good  
14 comments, we scratch our head and say: That's  
15 good, maybe we should tweak the permit a  
16 little bit to address that comment. And  
17 again, I would hazard a guess to say that the  
18 TMDL for phosphorus, the number that's in the  
19 permit right now, chances are that will be  
20 going up.

21 So that's a good possibility,  
22 depending on the results of the Applicant's  
23 HydroCAD analysis after the concerns they have  
24 heard during the week, and Mr. Ferracane's and  
25 Mr. Gasper's review, there may be some -- we  
(STORMWATER ISSUE)

1 may add outfalls. It's possible to add more <sup>2421</sup>  
2 outfalls.

3 So we have some comments from the  
4 health department. Some of the ponds should

5 be lined, and I don't think I mentioned this  
6 to you yet, to the Applicants, but because  
7 they're in a recharge area for the  
8 Fleischmanns water supply. That's a very good  
9 comment, and we're looking at that. However,  
10 something like that would not necessarily  
11 result in a change in the permit.

12 ALJ WISSLER: Just the construction of  
13 the pond?

14 MR. MIRABILE: Right. Does that  
15 answer your question, Judge?

16 ALJ WISSLER: Sure does.

17 MS. KREBS: Thank you, Mr. Mirabile.

18 Your Honor, we have one more  
19 Department staff person who wants to speak  
20 concerning the SPEDES permits, Shayne Mitchell  
21 from the Division of Water in Albany.

22 Mr. Mitchell, would you briefly  
23 summarize your educational and professional  
24 experience.

25 MR. MITCHELL: I have a Bachelor's of  
(STORMWATER ISSUE)

1 Science Degree in Chemical Engineering. I'm a <sup>2422</sup>  
2 New York State licensed professional engineer.  
3 I've worked for the Department of  
4 Environmental Conservation in the Division of  
5 Water for 18 years, and currently I'm the  
6 chief of the Wastewater Permits Central  
7 Section in the Division of Water.

8 What I would like to do is first just  
9 briefly elaborate and reinforce on some of the  
10 issues brought up by Mr. Mirabile. One item

11 would be potential changes to the SPEDES  
12 permits. I believe Mr. Ferracane had raised  
13 some potential technical questions concerning  
14 the ultimate success of the level spreaders  
15 for the Big Indian site in terms of  
16 maintaining sheet flow.

17 If a technical evaluation is completed  
18 that would lead us to conclude that ultimately  
19 those level spreaders will not be effective  
20 and essentially the ponds would cause point  
21 source discharges, that's one instance where  
22 we might want to add outfalls to the permit.  
23 And I believe Mr. Mirabile spoke to that, but  
24 I just kind of wanted to elaborate a little  
25 more.

(STORMWATER ISSUE)

2423

1 ALJ WISSLER: Tell me what you mean.  
2 what kind of analysis would be done to make  
3 that determination?

4 MR. MITCHELL: A hydraulic analysis to  
5 determine whether the level spreaders, whether  
6 that water is maintained as sheet flow or  
7 whether it channelizes and forms what we would  
8 consider to be a point source.

9 ALJ WISSLER: Can that analysis be  
10 done with the data that currently exists?

11 MR. MITCHELL: I would have to defer  
12 to Mr. Ferracane to answer that question.

13 MR. FERRACANE: What was the question?

14 ALJ WISSLER: The analysis to confirm  
15 or not confirm the efficacy of the level

16 spreaders and the use of the level spreaders,  
17 does the data to do that analysis presently  
18 exist?

19 MR. FERRACANE: Does it presently  
20 exist whether or not the level spreaders can  
21 function; is that your question?

22 ALJ WISSLER: What you said.

23 MR. FERRACANE: No, I believe the  
24 consultants for the project are going to  
25 develop that, and that's part of the  
(STORMWATER ISSUE)

2424

1 submission that will occur later.

2 ALJ WISSLER: All right. Go ahead,  
3 Mr. Mitchell.

4 MR. MITCHELL: Another issue that  
5 could cause changes to the SPEDES permits  
6 would be that we heard from the CPC's  
7 consultant about the winSLAMM model and the  
8 problem with the application of that model to  
9 the site. We also heard from the Applicant,  
10 and I wouldn't want to characterize their  
11 words, but it sounds like they are no longer  
12 confident in the results of that model. That  
13 model was used to estimate the non-point  
14 source loadings of phosphorus in the  
15 stormwater from these two sites.

16 Now, the limitations in the SPEDES  
17 permits and the proposed revision to the TMDL  
18 are based on the outcome of the winSLAMM  
19 model, which now appears to be -- the accuracy  
20 of that model appears to be in question. So  
21 conceivably -- well, what needs to be done is

22 an evaluation needs to be completed by staff  
23 as to our level of confidence in that model.  
24 And if we agree with the CPC and the  
25 Applicant's model shouldn't be applied, then  
(STORMWATER ISSUE)

1 essentially it appears, at least to me, the <sup>2425</sup>  
2 Applicant should identify an appropriate  
3 model, remodel phosphorus loadings, and based  
4 upon that remodeling, if we can reach  
5 agreement to the outcome of that model run, a  
6 revision to the -- a second revision -- a  
7 revision of the proposed revision to the TMDL  
8 would need to be produced and the draft  
9 permits could change.

10 Previously this week, we heard some  
11 discussion about what constitutes waters of  
12 the state, and I would just like to state that  
13 waters of the state are defined in 6 NYCRR  
14 Part 750, Part 815 and Part 862. And waters  
15 of the state are not restricted solely to blue  
16 lines that show up on USGS maps.

17 Finally, we -- the Applicant provided  
18 information on the water treatment chemical  
19 chitosan. I believe that information was  
20 contained in the DEIS. They supplied reports  
21 or data supporting what the toxicity of that  
22 product could be. Earlier this week, we heard  
23 from a consultant for the CPC, and I believe  
24 the consultant indicated that they had  
25 identified a study indicating chitosan might  
(STORMWATER ISSUE)

1 be significantly more toxic. It's my  
2 understanding that the CPC's consultant did  
3 not provide reports or data to substantiate  
4 those claims, and I would just like to say  
5 that data would be useful to have so that we  
6 could complete our evaluation of this  
7 chemical.

8 MR. GERSTMAN: Mr. Garabed referred in  
9 his --

10 ALJ WISSLER: To one part per million.

11 MR. GERSTMAN: I believe that was the  
12 testimony of the Applicant, but we have the  
13 documentation referred to in his -- we told  
14 you that we would provide you with that  
15 documentation, and so we will do that, provide  
16 copies to everybody.

17 MS. KREBS: Thank you.

18 Thank you, your Honor, I don't think  
19 we have anything more unless you have any  
20 questions -- I'm sorry, Mr. Mirabile wanted to  
21 make a point of clarification.

22 MR. MIRABILE: I understand I  
23 misstated a stream during my presentation,  
24 your Honor. I referred to the stream on the  
25 site of Big Indian as Emory Brook, in fact  
(STORMWATER ISSUE)

1 that's the Wildacres stream. The Big Indian<sup>2427</sup>  
2 stream is Birch Creek, just to clarify that.

3 ALJ WISSLER: That's okay. I totally  
4 missed that.

5 MS. KREBS: Thank you, your Honor.

6 ALJ WISSLER: Mr. Young.



7 MR. YOUNG: Could we have just a  
8 five-minute --

9 (12:31 - 12:39 P.M. - BRIEF RECESS  
10 TAKEN.)

11 ALJ WISSLER: Mr. Young.

12 MR. YOUNG: I just wanted to explain  
13 why the Coalition of Watershed Towns feels so  
14 strongly about this issue and about why we're  
15 sort of intervening on the issue of  
16 stormwater.

17 ALJ WISSLER: This is the Coalition  
18 position?

19 MR. YOUNG: This is the Coalition --  
20 this is actually the Coalition, Shandaken and  
21 Middletown. The Coalition of Watershed Towns  
22 is not taking a position on this project. I  
23 mean their policy is that these are local  
24 decisions. And clearly for us to look at the  
25 position of the Town of Shandaken and the Town  
(STORMWATER ISSUE)

□

1 of Middletown, and you can see based on the <sup>2428</sup>  
2 public hearings, there's a tremendous amount  
3 of controversy and concerns within those towns  
4 as to whether this is a good project or a bad  
5 project. We just believe that those towns  
6 should be the ones that decide whether or not  
7 the project is consistent for community  
8 character, but the reason the Coalition of  
9 Watershed Towns is involved in this  
10 proceeding, particularly on stormwater, is  
11 that we want to protect what we believe is our

12 understanding of how SEQRA is going to be  
13 applied post MOA; understanding what we  
14 thought the MOA and the programs created by  
15 the MOA, how those programs interacted with  
16 SEQRA, and in some sense with the City's  
17 position on future projects. And to do that,  
18 we actually kind of go back.

19 I have to take you back a little bit  
20 to 1885. In 1885, the State Legislature  
21 passed a law which back then there was -- I  
22 don't know, I forget what the health  
23 department was called back then, but some type  
24 of health department -- which gave the  
25 Commissioner of that health department the  
(STORMWATER ISSUE)

2429

1 ability to adopt watershed protection  
2 regulations. And it made it clear that the  
3 waterworks that were benefiting from those  
4 watershed protection regulations had to pay  
5 the cost of implementation of those  
6 regulations.

7 So -- it was like a waterworks  
8 corporation, and it could be a private  
9 corporation, it could be a paper plant that  
10 needed the water, it could be a resort that  
11 needed the water, or it could be a  
12 municipality that needed the water. It didn't  
13 differentiate, but if the Department of Health  
14 promulgated regulations to protect the village  
15 of Catskill's water supply and that costs some  
16 money, in order to comply with that, a person  
17 had to incur additional costs, the village of

18 Catskill had to pay for that. That law  
19 evolved and applied to everyone in the state.

20 In 1913, that law -- or around 1913 --  
21 that law was amended not only to give  
22 Department of Health ability to do that, but  
23 it also gave New York City, a predecessor to  
24 DEP, the ability to adopt watershed protection  
25 regulations. Same thing applied though,  
(STORMWATER ISSUE)

2430

1 they're adopting watershed regulations to  
2 protect their water supply. It required them  
3 to pay the cost of it. And that's been -- you  
4 know recently in 1953, I think the Health  
5 Department statutes were recodified, and it  
6 now shows up in what we call Public Health Law  
7 Section 1104 and Public Health Law Section  
8 1105.

9 1104 basically provides protection to  
10 communities and municipalities. If your  
11 municipality has to construct a wastewater  
12 treatment plant to comply with somebody else's  
13 watershed regulations, then that other person  
14 has to pay for that, and in fact, it says you  
15 can't enforce those regulations until the  
16 other person pays for that.

17 1105 applies to everybody, not just  
18 municipalities. It protects anyone who is  
19 injured by the enforcement of a watershed  
20 regulation is entitled to compensation from  
21 the waterworks benefited therefrom, whether it  
22 be New York City Waterworks, whatever. That's

23 kind of amazing law when you think about it.  
24 There was really very little use for it, and  
25 there was very little use for it because what  
(STORMWATER ISSUE)

1 evolved in our country is the Clean Water Act.  
2 So we -- municipalities didn't have to  
3 go out and do these stringent watershed  
4 protection programs. There's very little law,  
5 case law, because under the Clean water Act,  
6 we protected these watersheds. And I think  
7 Mr. Ferracane made out -- actually the water  
8 quality standards to protect fisheries are  
9 typically much more protected than they are to  
10 protect the water supply because the fish are  
11 living, they're existing in the water.  
12 They're typically more sensitive.

13 If you look at the drinking water  
14 standards versus the water quality standards  
15 to protect aquatic life, they're typically  
16 more protected. So there wasn't a lot of use  
17 for that authority until 1986.

18 In 1986, Congress said, if you're a  
19 water provider and you provide your water from  
20 a surface water, you have to filter that  
21 water, you have to add this pollution control  
22 equipment to your system unless you developed  
23 a watershed protection program that will  
24 assure EPA that you can achieve the same  
25 standards without filtration. And the City,  
(STORMWATER ISSUE)

1 facing a huge number -- billions of dollars,  
2 elected to apply for an avoidance, a

3 filtration avoidance determination, and EPA  
4 says, okay, you have to come up with a  
5 watershed protection program that is going to  
6 guarantee to us that your water quality is  
7 going to be the same as if you had a filter,  
8 that is adequate as if you had a filter.

9 To come up with that watershed  
10 protection program, the City had to restrict  
11 how the people upstate use their land. It was  
12 no longer good enough that we comply with the  
13 complex system of state and federal  
14 regulations. That was not protective enough.  
15 They had to put an additional level of  
16 watershed protection on top of that in order  
17 to avoid the cost -- the cost of filtration.

18 We kind of look at it from the upstate  
19 as if the City is mining our water. That  
20 water falls on our property. They're telling  
21 us in some sense, we like your property, we  
22 like your forest because it provides us a  
23 natural filtration process. It holds the  
24 water. If you take that forest and make it  
25 into a golf course or into lawn, well, that's  
(STORMWATER ISSUE)

□

2433

1 not going to provide as much filtration.  
2 That's going to give us a lower quality of  
3 water, that costs us money, and we don't want  
4 you to do it. That's, in essence, the way we  
5 look at it.

6 In the MOA, Governor Pataki,  
7 Commissioner Crotty got us all together and

8 developed a program whereby the City was able  
9 to achieve that watershed protection program  
10 that they wanted and avoid filtration and  
11 adopt a set of comprehensive additional  
12 regulations which is being overlaid on the  
13 existing state and federal regulations. But  
14 we, the Coalition of Watershed Towns, we were  
15 there to make sure, one, that the City paid  
16 for it; and two, that within that new complex  
17 regulatory structure, we were able to survive.

18 Now that we had -- prior to 1997,  
19 there was this big hysteria, there was a big  
20 stigma. We didn't know what the regulations  
21 were, people were not developing, people were  
22 not doing anything, and we wanted a clear set  
23 of rules, a clear set of rules that we could  
24 live by. And if we could live by those set of  
25 rules, then we could have construction or we  
(STORMWATER ISSUE)

2434

1 could have new development. The decision  
2 whether to have new development, as long as  
3 they were consistent with the rules, would be  
4 a local decision, not a City decision, not a  
5 State decision.

6 ALJ WISSLER: Is that articulated in  
7 the MOA?

8 MR. YOUNG: Not as clear as I'm  
9 articulating it.

10 ALJ WISSLER: Can you at some point  
11 cite me the paragraphs in the MOA that support  
12 your position?

13 MR. YOUNG: Okay. So what we see --  
Page 102

14 the reason we're involved in this proceeding  
15 is that we see -- whether it's this project or  
16 a shopping center or a small  
17 bed-and-breakfast, we're concerned that you  
18 have an 800-pound gorilla that could stop a  
19 project purely on a procedure process by  
20 putting up so many roadblocks, and our  
21 understanding is that's not consistent with  
22 the MOA.

23 So here, in this particular situation,  
24 for example, in order to protect stormwater,  
25 we have a land acquisition program. In other  
(STORMWATER ISSUE)

1 words, the City is buying up these lands, and <sup>2435</sup>  
2 the lands they're allowed to buy up -- and  
3 they're supposed to buy up 80,000 acres of  
4 lands -- are things that have steep slopes or  
5 by water courses or by wetlands. So we have a  
6 program, one program that sort of preserves  
7 open space and preserves the natural forest  
8 and the filtration provided by that natural  
9 forest. We have this other set of regulations  
10 that really prevents us -- even if we had the  
11 land -- it prevents us from really having any  
12 significant growth, and that is the septic  
13 regulations and the wastewater treatment  
14 regulations.

15 And I can't really stress enough that  
16 what we did in the MOA is we protected the  
17 people who live here now. We protected them  
18 through our septic program. We protected them

19 through this upgrading program where the City  
20 pays the incremental costs, but for new  
21 development, the City's position is they don't  
22 pay for that.

23 To give you an example, one of my  
24 clients has a trailer park in Amsterdam. They  
25 have 40 units, failing septic system. They  
(STORMWATER ISSUE)

1 have to build a new wastewater treatment. The <sup>2436</sup>  
2 cost of the engineering costs -- same engineer  
3 I'm using in both cases -- engineer who  
4 designed that system, got DEC approval, billed  
5 my client 5 to \$10,000. The system is going  
6 to cost \$150,000 to construct.

7 ALJ WISSLER: And the system in  
8 Amsterdam is outside the watershed?

9 MR. YOUNG: That's outside the  
10 watershed. I have another client, a little  
11 Hassidic resort. They have 60 units. They  
12 blew their septic system. They're right now  
13 pumping and hauling in the watershed, \$150,000  
14 a year to pump and haul. The engineering  
15 proposal to develop a system was \$250,000 --  
16 develop and supervise the system. The  
17 estimated cost of installing the system is  
18 \$1,500,000.

19 That's the -- we can -- we'll go  
20 through this, but in reality, we have so  
21 severely limited our ability to grow. That's  
22 why it's so important to us that if we have a  
23 project that can feasibly meet with the  
24 regulations, that whether we have that



25 project, be the Town of Shandaken's decision  
(STORMWATER ISSUE)

2437

1 or Middletown's decision and not the City's  
2 decision, and actually not your decision as  
3 long as we meet your regulations.

4 Part of the reason we're upset on this  
5 water supply is the City has taken -- on the  
6 stormwater -- is the City has taken a position  
7 on their papers that there's no net increase  
8 of phosphorus allowed from pre-development to  
9 post-development. They take that position by  
10 saying that their regulations incorporate the  
11 Phase 1 stormwater permit. They say there's  
12 something in that Phase 1 stormwater permit  
13 that mandates no net increase in phosphorus.

14 From our perspective -- we negotiated  
15 that issue in the watershed regulations -- the  
16 watershed regulations have a provision  
17 relating to stormwater and phosphorus. It  
18 applies only in a phosphorus-restricted basin.  
19 So we went ahead and negotiated that; and now  
20 all of a sudden, they're finding something in  
21 this 1993 general permit that -- you can ask  
22 DEC whether they interpret it that way -- no  
23 one interpreted that way, but they're now  
24 claiming that that is the rule which to us is  
25 another way of saying we can't have anything  
(STORMWATER ISSUE)

2438

1 because Dr. Pitt, if he is correct, said that  
2 you couldn't reliably design something that is  
3 going to generate less pollutants

4 post-development than pre-development.

5 ALJ WISSLER: You have cited me that  
6 section of the regs in your petition; right?

7 MS. MELTZER: I just want to point out  
8 that the regs are not at issue in this  
9 proceeding.

10 MR. YOUNG: well, it's in your  
11 comments though, cited as a standard, coming  
12 from your regulations.

13 MS. MELTZER: That's true. We're not  
14 raising it in this proceeding.

15 MR. YOUNG: Okay. That's the same  
16 thing about the phosphorus load. You know,  
17 the phosphorus load from this particular  
18 project, in Pepacton or in the Ashokan -- man  
19 isn't the source of phosphorus. It's not  
20 wastewater treatment plants that are the  
21 source of phosphorus. Phosphorus is natural,  
22 and neither of them are anywhere stressed for  
23 phosphorus. And the amount of phosphorus that  
24 is being proposed here, and it could be  
25 proposed for anybody, we don't want that to be  
(STORMWATER ISSUE)

2439

1 used as a basis to saying this can't happen  
2 because, you know, DEC has a process. In  
3 their water quality analysis process, they  
4 look at whether or not the additional process  
5 will cause contravention of water quality  
6 standards, and they issue a permit if it  
7 won't, and they put controls on it. And we  
8 have that here. We just want to be treated  
9 the same as everybody else.

10 ALJ WISSLER: Okay.

11 MR. YOUNG: I'm just going to reserve  
12 to bring Keith Porter and Dean Frasier in.  
13 They will testify as a team on the issue of  
14 the significance of the phosphorus load.

15 MR. GREENE: When will that be?

16 MR. YOUNG: I'm waiting for a call.

17 ALJ WISSLER: Do you need a response  
18 to that at all?

19 MS. MELTZER: We're happy to brief the  
20 history of the Public Health Law in the record  
21 at some future point. I don't really want to  
22 address it. You know our interpretation of  
23 the Public Health Law is not exactly the same  
24 as Mr. Young.

25 ALJ WISSLER: Anything else before we  
(STORMWATER ISSUE)

2440

1 break for lunch?

2 MS. MELTZER: Yes. I thought  
3 yesterday we said we were going to put on the  
4 City's stormwater rebuttal before lunch.

5 ALJ WISSLER: How much do you have,  
6 Ms. Meltzer?

7 MS. MELTZER: I would guess just about  
8 a half an hour.

9 ALJ WISSLER: Then you're done for the  
10 day; is that what you're telling me?

11 MS. MELTZER: Yes.

12 ALJ WISSLER: All right. Go ahead.

13 MS. MELTZER: First, mostly because I  
14 don't like suspense and I ended up in suspense

15 after yesterday's demonstration of the  
16 drainage feature that we had said was on the  
17 USGS map was not on the USGS map; I want to  
18 clarify in the City's GIS, we have a layer  
19 that includes both the USGS soils maps and  
20 also the county soil maps. In fact, the  
21 source of that -- the designation of that  
22 drainage feature is the Ulster County Soil Map  
23 that was designated previously as New York  
24 City Exhibit No. 24, and the drainage feature  
25 is indicated very clearly on that. I'm happy  
(STORMWATER ISSUE)

2441

1 to identify it for you. Right here.  
2 (Indicating)

3 I apologize for any confusion in our  
4 prior testimony about that.

5 As I mentioned when the City began its  
6 presentation about stormwater, the reason that  
7 we're here is that we believe that the  
8 Applicant's environmental review of potential  
9 impacts associated with stormwater for this  
10 project is inadequate and that the SPEDES  
11 permit should not be issued unless and until  
12 the Applicant correctly identifies and  
13 appropriately addresses stormwater impacts  
14 both during and after construction.

15 As we've heard today, it sounds like  
16 there will be some adjustments in the SPEDES  
17 permits that are not fully explored yet, and  
18 we think we've made some real progress in  
19 these proceedings and hope it can continue in  
20 a cooperative manner. But fundamentally, we

21 believe, through the presentations this week  
22 from DEP, CPC, the Applicant and DEC, really  
23 suggest that the Applicant has not at this  
24 point correctly assessed stormwater volumes  
25 and velocities, and there isn't a basis at  
(STORMWATER ISSUE)

2442

1 this point for reaching some of the  
2 conclusions reached in the DEIS.

3 Fundamentally again, we're still  
4 talking about whether there is a scheme for  
5 safely moving water down this mountain,  
6 particularly on the Big Indian side. The  
7 Applicant still has not demonstrated, although  
8 the Applicant has now asserted, that it has  
9 reasonable plans for managing stormwater from  
10 the construction site, particularly of the  
11 road up Big Indian.

12 Again, we understand that the  
13 Applicant is going to be providing  
14 supplemental plans, and we look forward to  
15 reviewing them and hope that we will be able  
16 to resolve some of these issues. Of course we  
17 would like to reserve the right to respond  
18 based on the submissions that will be made  
19 subsequent to this day.

20 A lot has been made of phosphorus  
21 here. The Applicant and the Coalition of  
22 Watershed Towns and other clients represented  
23 by Mr. Young argue that the phosphorus  
24 contribution from the proposed development is  
25 insignificant regardless of the specifics of  
(STORMWATER ISSUE)

1 analysis and modeling, that may get themselves  
2 worked out as we go forward, in light of what  
3 they characterize as an enormous volume of  
4 available phosphorus loading in the  
5 reservoirs.

6 The City is not here to say that the  
7 phosphorus discharges from the proposed  
8 development site in this case are going to  
9 make the reservoirs suddenly become eutrophic.  
10 We know that. We know, and appreciate that  
11 there is available capacity, available  
12 loading. This isn't unfiltered water supply  
13 serving nine million people. The point we're  
14 making is that the phosphorus should be  
15 analyzed correctly, should be addressed  
16 appropriately through permits and modification  
17 to the TMDL's, and that just hasn't happened  
18 yet.

19 The phosphorus from the stormwater,  
20 regardless of the details of errors and  
21 calculation, or whatever may have happened, is  
22 significant here. There's more phosphorus  
23 coming from stormwater off this site than  
24 there is from the wastewater treatment plant,  
25 I think, under any of these analyses. To  
(STORMWATER ISSUE)

1 argue that that's insignificant and it  
2 shouldn't be a topic for discussion just  
3 doesn't make sense to me. Surely a new  
4 wastewater treatment plant would be considered  
5 a significant contributor of phosphorus. It

6 may not be significant in terms of tipping  
7 these reservoirs over the balance and making  
8 them no longer safe sources of unfiltered  
9 drinking water, but these are significant  
10 contributions that need to be properly  
11 analyzed. That's our concern.

12 We would never argue that there was no  
13 need for a phosphorus limit in a new  
14 wastewater treatment plant in the watershed.  
15 What we're saying here is there needs to be a  
16 phosphorus limit for stormwater, and it needs  
17 to be one that is based on careful analysis  
18 and that reflects appropriate mitigation  
19 measures. That's really the concern here  
20 about, especially the Big Indian SPEDES  
21 permit, there is no mass-based phosphorus  
22 limit as the SPEDES permit is currently  
23 drafted. And we think there should be one.  
24 And we believe, again, that the Applicant has  
25 not provided adequate phosphorus controls for  
(STORMWATER ISSUE)

□

1 the phosphorus coming from stormwater from  
2 this project.

2445

3 I also want to focus very  
4 specifically -- the fact, again, that the  
5 Pepacton and Ashokan Reservoirs are not  
6 phosphorus limited. That's a precious  
7 resource. It's analogous to the fact that the  
8 Catskill Park provides enormous stretches of  
9 public access to hiking trails with views of  
10 mountains and forests. It's a resource that's

11 important for its magnitude, and chipping away  
12 at that is something that needs to be  
13 analyzed. It's not something that you should  
14 simply do until all of a sudden you wake up  
15 and it's not there anymore.

16 we don't consider this excess  
17 capacity. We view it as a buffer that we are  
18 incredibly lucky to have, protecting one of  
19 the most important environmental resources of  
20 the state or the nation or the world. It's  
21 the largest, safe, unfiltered drinking water  
22 supply in the world.

23 I have to digress for a moment. The  
24 Coalition of Watershed Towns so consistently  
25 characterizes the City's interest of  
(STORMWATER ISSUE)

□

1 filtration avoidance as avoiding the cost of <sup>2446</sup>  
2 filtration, and of course we want to avoid the  
3 cost of filtration. The health benefits, the  
4 environmental benefits, the fundamental  
5 quality of life for half of the population of  
6 this state that derives from this incredible  
7 resource goes so far beyond the cost of  
8 filtration. Filtration doesn't solve -- it  
9 wouldn't solve the problem if this were not a  
10 safe, unfiltered water supply. The resource  
11 is so much more important than the mere cost  
12 of filtration, and it's something that we take  
13 protection of extremely seriously, and we view  
14 the partnership we have with the watershed  
15 communities in protecting this resource as  
16 fundamental to the well-being, certainly of



17 the City, but truly of the State of New York.

18 Again, we're not saying we're opposed  
19 to all uses that contributes phosphorus to  
20 these basins, but the MOA reflects our real  
21 commitment to finding a balance between  
22 environmental protection and economic vitality  
23 in this region. What we're saying here in  
24 this proceeding -- and this again, this is not  
25 a proceeding about a new residential  
(STORMWATER ISSUE)

2447

1 development or a new supermarket or a new  
2 strip mall. This is a proceeding about a  
3 development on 2000 acres of mountaintop  
4 forest. We're saying that the impacts of such  
5 uses have to be carefully analyzed and  
6 mitigated. That's really what SEQRA is about  
7 here.

8 The offers of proof over the past few  
9 days have made it clear that the phosphorus  
10 discharges and the stormwater from the site  
11 have not been properly analyzed without a  
12 reasonably accurate analysis as a foundation.  
13 There's just no basis for reaching a  
14 conclusion about what the impacts of the  
15 proposed project and the proposed mitigation  
16 would be.

17 Similarly, we spoke this morning about  
18 land uses in these basins, and the high  
19 proportion of undeveloped forest, particularly  
20 deciduous forest in this area -- again, as  
21 if -- because this project involves only a

22 small fraction of that resource, it really  
23 isn't that big a deal.

24 As my colleague, Charlie Olson,  
25 pointed out -- just to use an analogy that  
(STORMWATER ISSUE)

2448

1 we've all been focused on this week -- it's  
2 kind of like deciding that you're the design  
3 point. And if you're developing a Stormwater  
4 Pollution Prevention Plan, you should be at  
5 the reservoir rather than near the project  
6 site. You're looking at the impact of a  
7 project. You're not looking at the impacts on  
8 the reservoir scale. It just doesn't make  
9 sense, and it's not what SEQRA or the  
10 stormwater regulations require.

11 with respect to the accuracy of the  
12 analysis, I want to focus just for a moment --  
13 I promise -- on the Applicant's Exhibit 47 as  
14 was explained at some length yesterday. The  
15 Applicant concluded by comparing the  
16 phosphorus loadings from winSLAMM and other  
17 types of modeling that their initial  
18 calculations were in the ballpark, despite  
19 some of the challenges that have been  
20 presented by some of the other witnesses. The  
21 numbers, and I apologize, I will provide a  
22 supplement in writing because our expert Tim  
23 Negly was unable to stay today. He went back  
24 through the numbers and, again, doing  
25 essentially calibration, looking at the direct  
(STORMWATER ISSUE)

2449

1 calculation method that was used by the  
Page 114

2 Applicant -- I believe this is on page 7 in  
3 that exhibit -- which they, using Giggie  
4 Hollow data, came up with over 115 kilograms  
5 per year. When we used the same data,  
6 calibrating it for what we actually find as  
7 runoff coefficient, we're running at actually  
8 a level 10 kilograms per year. That is an  
9 order of magnitude difference, and again, I  
10 apologize, I will provide that calculation as  
11 a supplement.

12           Regardless of what data may or may not  
13 have been available to the Applicant when the  
14 Applicant began preparing the DEIS, there's  
15 now plenty of data from the site that's  
16 available now. We hope that we will be able  
17 to work together with the Applicant to make  
18 good use of this and to develop appropriate  
19 modeling, whether it is WinSLAMM or direct  
20 calculation or whatever it is, that will be  
21 able to accurately represent pre-construction  
22 conditions and project post-construction  
23 conditions. But as of now, what we have is  
24 not a solid analysis.

25           The error with respect to phosphorus  
            (STORMWATER ISSUE)

1 is probably compounded with errors in the  
2 GLEAMS modeling that Dr. Knisel referred to  
3 yesterday. The transport of fertilizers is a  
4 contributing source, maybe a contributing  
5 source of additional phosphorus that we  
6 haven't looked at at this point, and I don't

2450

7 believe anybody has, so I think we really need  
8 to start again and really try to understand  
9 what the phosphorus loadings from this project  
10 will be.

11 With respect to that data, while I  
12 don't want to go into a sort of point by point  
13 back and forth who said what, about the  
14 history of communication here, I do want to  
15 mention again the letter that Ms. Bakner  
16 referred to yesterday. It's a letter dated  
17 September 22nd, 2000.

18 I know, your Honor, you asked that  
19 that be made part of the record. I assume the  
20 Applicant is planning on putting it in. I  
21 have a copy of it here. We can put it in as  
22 our exhibit.

23 ALJ WISSLER: City 27.  
24 (LETTER FROM THE CITY OF NEW YORK DEP  
25 DATED 9/22/00 RECEIVED AND MARKED AS CITY  
(STORMWATER ISSUE)

2451

1 EXHIBIT NO. 27, THIS DATE.)

2 MS. MELTZER: This is a letter dated  
3 September 22, 2000 from Jeff Graf at DEP to  
4 Arthur Rashap at Crossroad Ventures, and in  
5 the fourth paragraph, we explained that this  
6 new sampling program we just developed a  
7 quality assurance project plan for was not  
8 designed to provide information for the DEIS,  
9 the timing was wrong. The DEIS was beginning  
10 to be drafted at that point, and we were just  
11 starting our sampling program. As we mention  
12 there, it said: "Crossroad ventures should be

13 implementing its own monitoring program to  
14 feed into the DEIS."

15 That's not an unreasonable request  
16 given the size of this project. That said,  
17 here we are four years later and we're happy  
18 to share our data, we'll be happy to share our  
19 data. We've been doing it approximately  
20 annually during the course of the drafting and  
21 revision of the DEIS. I think for the  
22 Applicant to claim that they didn't have our  
23 data is just not supported. But, here we are  
24 now, and again, we've shared it, we'll  
25 continue to share it, and we'll work with the  
(STORMWATER ISSUE)

□

1 Applicant in using it to develop more accurate <sup>2452</sup>  
2 projections than currently exist about the  
3 impacts of this project on pollutant levels.

4 And with respect to the selection of  
5 the model itself, again, I believe this is a  
6 letter that the Applicant is going to put into  
7 the record, and I don't have copies of this  
8 letter, although I'm certainly happy to  
9 provide them, the selection of winSLAMM as the  
10 model for post-construction and  
11 pre-construction pollutant loadings from this  
12 site is based, as I understand it and I  
13 believe Ms. Bakner referred to yesterday, on a  
14 letter dated July 12th, 2000 from Jeff Graf to  
15 Alec Ciesluk.

16 He recommended, and I'm quoting, "A  
17 more detailed pollutant loading analysis

18 should be conducted for this project such as  
19 the source loading and management model or  
20 SLAMM." This was not a directive. Had the  
21 Applicant felt that this was not an  
22 appropriate model, I would have hoped that the  
23 Applicant could have said so and discussed it  
24 with DEC primarily.

25 ALJ WISSLER: Are you going to give me  
(STORMWATER ISSUE)

2453

1 that letter?

2 MS. BAKNER: I will, your Honor.

3 MS. MELTZER: The question of whether  
4 that is, in fact, an appropriate model for  
5 this project has come up a number of times  
6 during this proceeding. I want to make sure  
7 we're not -- that the record is clear that  
8 Dr. Pitt testified or stated not that the  
9 model was intrinsically inappropriate for this  
10 application but that default values for  
11 pollutant loadings were intrinsically  
12 inappropriate for this application.

13 Finally, before allowing Mr. Olson to  
14 speak to a couple of the technical issues that  
15 relate -- again, I just want to clarify that  
16 the letter dated March 23rd, 2004 from Walter  
17 Mugdan of EPA to Alec Ciesluk which was  
18 characterized yesterday primarily as an  
19 endorsement of the extension of the -- of the  
20 area allowed for disturbance during  
21 construction is actually a letter that  
22 expresses very significant concerns about this  
23 project and about its potential impacts on

24 water quality.

25 ALJ WISSLER: In particular, are you  
(STORMWATER ISSUE)

1 talking about Applicant's 49?

2454

2 MS. MELTZER: Applicant's 49. Because  
3 as you know, Mr. Damrath is ill, I'd like to  
4 reserve the right for him to submit a response  
5 in writing based on testimony he didn't hear  
6 today, and I would like to give Mr. Olson just  
7 a moment.

8 MR. OLSON: I said the other day that  
9 I don't use the model very much. I do use  
10 models. I don't want to sound like a complete  
11 dinosaur, but as Drs. Pitt and Knisel both  
12 emphasized, the importance of site-specific  
13 data to calibrate those models is really  
14 critical -- calibration and verification to  
15 their use. The models are really a  
16 money-saving convention, especially in the  
17 environmental review process. Data gathering  
18 is expensive, and it's much cheaper to set up  
19 a model and run the model to do the analysis  
20 than it is to actually go out there and gather  
21 data, especially on a multi-year period.

22 On the other hand, a model should  
23 never -- I would never think that common sense  
24 would allow a model to supplement or supplant  
25 direct observation. If HydroCAD told you that  
(STORMWATER ISSUE)

1 there was no channelized flow below a level  
2 spreader and you went out there post project

2455

3 and saw an eroded channel below the level  
4 spreader, you wouldn't turn around and say:  
5 well, HydroCAD said that doesn't exist, so it  
6 doesn't exist.

7 Now the Applicant's have gone back and  
8 done analysis using our data and revised their  
9 estimates, I was very happy to see that, and  
10 we're very happy to continue to work with the  
11 Applicants to revise the pre-development  
12 conditions. We have a great deal of data now,  
13 including discharge data for storm events and  
14 base flow events, and we'd be happy to work  
15 with them to revise things like event mean  
16 concentration estimates that would feed into  
17 WinSLAMM, or any of the other models that they  
18 were working with.

19 The last thing I would like to refer  
20 to is these bar charts --

21 MS. MELTZER: This is Applicant's 47.

22 MR. OLSON: Right, 47, on pages 32 and  
23 34. In the far left, the paired bar charts  
24 represent pre- and post-development in  
25 phosphorus loadings. So the difference  
(STORMWATER ISSUE)

1 between these two charts, these paired charts,<sup>2456</sup>  
2 is really the accepted level of impact. This  
3 is what they say that the loading is going to  
4 be post-development. In a way, this is really  
5 a surrogate for a suite of parameters that  
6 impact water quality. Think of nitrates,  
7 think of ammonia, think of total and dissolved  
8 suspended solids, think of everything on the



9 SPEDES permit, think of polycyclic aromatic  
10 hydrocarbons which are not on a SPEDES permit  
11 but are commonly found in runoff from  
12 pavement.

13 So that difference, pre- and post-,  
14 which was -- actually when they went back and  
15 did the analysis using real data was much  
16 greater than they initially described --  
17 reflects the difference for a whole suite of  
18 things that impact water quality. It isn't  
19 really just about total phosphorus if you're  
20 trying to really protect the receiving water  
21 bodies. And it's really the broader impacts  
22 that I think we need to think about for the  
23 context of a whole environmental review.  
24 That's all I have to say.

25 MS. MELTZER: Thank you.  
(STORMWATER ISSUE)

1 ALJ WISSELER: Anything else before we <sup>2457</sup>  
2 break for lunch?

3 MS. MELTZER: No.

4 ALJ WISSELER: We will break until --

5 MR. YOUNG: I made reference to the  
6 TMDL's for the Pepacton and the Ashokan. I  
7 would like to enter those as exhibits.

8 ALJ WISSELER: Watershed Communities  
9 Exhibits 4 and 5.

10 ("PROPOSED PHASE II PHOSPHORUS TMDL  
11 CALCULATIONS FOR ASHOKAN RESERVOIR MARCH 1999  
12 RECEIVED AND MARKED AS WATERSHED COMMUNITIES  
13 EXHIBIT NO. 4, THIS DATE.)

14 6-25-04z  
(PROPOSED PHASE II PHOSPHORUS TMDL  
15 CALCULATIONS FOR PEPACTON RESERVOIR MARCH 1999  
16 RECEIVED AND MARKED AS WATERSHED COMMUNITIES  
17 EXHIBIT NO. 5, THIS DATE.)

18 ALJ WISSLER: We'll break until 2  
19 o'clock. Lunch until 2 o'clock.

20 (1:22 - 2:09 P.M. - LUNCHEON RECESS  
21 TAKEN.)

22 MR. GERSTMAN: This will be 59 and 60.

23 (RESUME OF JOSEPH A. HABIB RECEIVED  
24 AND MARKED AS CPC EXHIBIT NO. 59, THIS DATE.)

25 ("TABLE 1A SPRING AND STREAM FLOW  
(STORMWATER ISSUE)

1 MEASUREMENTS (GPM) RECEIVED AND MARKED AS CPC <sup>2458</sup>  
2 EXHIBIT NO. 60, THIS DATE.)

3 MR. GERSTMAN: This will be 61.

4 (8 1/2 BY 11 PHOTO "R" WELL PUMPING  
5 TEST AREA RECEIVED AND MARKED AS CPC EXHIBIT  
6 NO. 61, THIS DATE.)

7 MR. GERSTMAN: 62 and 63.

8 (8 1/2 BY 11 PHOTO "PINE HILL WATER  
9 SUPPLY AREA" RECEIVED AND MARKED AS CPC  
10 EXHIBIT NO. 62, THIS DATE.)

11 (8 1/2 BY 11 "FLEISCHMANN'S WATER  
12 SUPPLY AREA" RECEIVED AND MARKED AS CPC  
13 EXHIBIT NO. 63, THIS DATE.)

14 ALJ WISSLER: Mr. Gerstman.

15 MR. GERSTMAN: Thank you, your Honor.  
16 We've introduced several exhibits that I want  
17 to identify for the record, Judge.

18 CPC Exhibit 59 is the resume of Joseph  
19 Habib.

20 CPC 60 are compilations of several  
21 pages, charts and figures, the first page of  
22 which is titled, "Table 1A 2000, 2001 Monthly  
23 Spring and Stream Flow Measurements."

24 The next three exhibits are GIS maps.  
25 CPC 61 is entitled, "R Well Pumping Test  
(STORMWATER ISSUE)

1 Area."

2459

2 CPC 62 is entitled, "Pine Hill Water  
3 Supply Area," and CPC 63 is "Fleischmanns  
4 Water Supply Area."

5 Judge, we have a panel of three  
6 witnesses today. I would like to introduce  
7 you to our witnesses. This is Paul Rubin  
8 whose resume is already part of the hearing  
9 record. He has also made a submission that's  
10 part of the hearing record.

11 Sitting next to him is Mr. Joseph  
12 Habib, whose resume you just received, and he  
13 will be talking about the flow analysis that  
14 was performed and reported in the DEIS.

15 And sitting immediately to my left is  
16 Richard Schaedle, who is a -- has some  
17 personal and professional experience in  
18 connection with the Pine Hill Water Company,  
19 and he is here today to provide background in  
20 connection with the Pine Hill Water Company,  
21 its history, and I'll -- without any further  
22 introduction, I'd like Mr. Schaedle to talk  
23 about his connection with the Pine Hill water  
24 Company and some of the history associated

25 with that Pine Hill water supply.  
(STORMWATER ISSUE)

2460

1 MR. SCHAEDELE: I've been a resident of  
2 Pine Hill since I was baptized in the  
3 Presbyterian Church in 1937 -- I should say  
4 full-time since the mid '90's. My extended  
5 family has been involved with the Pine Hill  
6 Water Company since its founding in 1895. My  
7 father and uncle and aunt went to Pine Hill in  
8 the early 1900's, and my uncle married a girl  
9 from Pine Hill, and that's how we ended up  
10 with the water company. Her father founded  
11 it.

12 My father took over sole ownership and  
13 operation of the company in 1950, and it  
14 continued in the family until 1991, except for  
15 a brief period when we sold it in 1984, and  
16 then had to reclaim it on a mortgage  
17 foreclosure.

18 My prime concern with the project is  
19 that it is taking all the water, both potable  
20 and irrigation, for the eastern portions of  
21 the project from sources within the Pine Hill  
22 water district. As the following shows, Pine  
23 Hill has had trouble finding enough water, at  
24 least during the time that I can remember,  
25 which is approximately 1952 to the current  
(STORMWATER ISSUE)

2461

1 date.

2 During my time in Pine Hill, I have  
3 seen the hamlet's fortunes ebb and flow, but  
4 maintaining an adequate water supply has been

5 an underlying constant.

6 In 1930, the New York State Health  
7 Department report states that Pine Hill's  
8 summertime population is estimated at 4,000.  
9 If you have been through Pine Hill recently,  
10 you will find it hard to believe, but there  
11 were many old wood frame hotels and many more  
12 houses. And the winter population was between  
13 350 and 400. In the same report, the sources  
14 for the water supply are listed as Spring  
15 No. 1, which is now known as Bonnie View  
16 Springs; Spring No. 2, which is now known as  
17 Depot Spring; and in addition, two springs  
18 that feed mountain streams, which one is  
19 Cathedral Glen, and the other one is -- for  
20 lack of a better name -- Railroad Brook. I'm  
21 not sure it has a name; but in various of the  
22 EIS reports, it's been referred to as that.

23 Pine Hill, as I said, has seen its  
24 good and bad times. In its prime, it was a  
25 haven for New York City's vacationers. It was  
(STORMWATER ISSUE)

1 relatively close, and it was accessed by train  
2 and bus. After world war II and the  
3 development of commercial air travel, more  
4 exotic places became easily accessible. The  
5 decline began in the 1960's and continued into  
6 the 1990's; however, to date, Pine Hill is  
7 experiencing new vitality. An old 30-room  
8 hotel is being restored, a new 90- to 100-room  
9 hotel is being proposed and a 17-home luxury

2462

10 development is being considered; all within  
11 the Pine Hill water district.

12 In 1932, a health department report  
13 was described as being -- an emergency supply  
14 of water is described as being secured from  
15 the so-called Crystal Spring. This was pumped  
16 from an underground storage reservoir at  
17 60 gallons per minute by a portable pump into  
18 the system.

19 To the best of my knowledge, the  
20 Crystal Spring was used in this manner until  
21 1950 when a permanent pump house was  
22 constructed in order to pump water from  
23 Crystal Spring and Depot Spring into the  
24 system automatically. This was done when the  
25 level of Bonnie View Reservoir, which was the  
(STORMWATER ISSUE)

control pressure source, fell 36 inches below<sup>2463</sup>  
the overflow.

3 In the 1950's, I also remember a dry  
4 period when New York City seeded the clouds  
5 and were trying to create rain -- we're not  
6 sure whether they were so successful, but we  
7 do know we had floods afterwards and many of  
8 the bridges were washed out, plus water mains,  
9 and there was a suit filed against New York  
10 City which was subsequently dismissed --  
11 somewhere in the 1970's. I think the suit  
12 went on for something like 20 years before it  
13 was resolved.

14 In the 1960's, another severe drought  
15 was experienced, and at that time we first

16 activated an old well near Bonnie View  
17 Reservoir, and then we drilled a new well  
18 which -- near the Depot Road Spring, and  
19 that's known as Station Road Well. From this  
20 time in the 1960's until we sold the company  
21 in 1991, all these sources were used during  
22 periods of dry weather, or when there were  
23 leaks or emergencies such as fire. To  
24 supplement the Bonnie View Springs, we rely  
25 first on Bonnie View Well, then Crystal  
(STORMWATER ISSUE)

□

1 Spring, then Depot Road Spring and finally  
2 Station Road Well.

2464

3 when the Department of Environmental  
4 Conservation was formed in '69/'70, they  
5 required that all water companies file a water  
6 supply application, WSA. This was done in  
7 1970. WSA No. 5889 was issued and listed the  
8 water sources for Pine Hill as Bonnie View  
9 Spring, Depot Spring and Crystal Spring. The  
10 WSA permitted a total taking of  
11 300,000 gallons per day, and it remained in  
12 force until the company was purchased by Dean  
13 Gitter in 2000, and a new WSA was issued in  
14 2003 -- I'm not sure whether it was 2002 or  
15 2003. 2003.

16 My family sold the Pine Hill Water  
17 Company --

18 ALJ WISSLER: Mr. Schaedle, how many  
19 gallons a day was that new permit?

20 MR. SCHAEDLE: 300,000.

21 UNIDENTIFIED SPEAKER: No, that's not  
22 correct. 211,000.

23 MR. SCHAEDELE: The original was  
24 300,000.

25 ALJ WISSLER: But the subsequent  
(STORMWATER ISSUE)

2465

1 permit, do you know what --

2 MR. SCHAEDELE: Was 211,000. I think I  
3 come to that later on. My family sold the  
4 Pine Hill water Company and its related -- the  
5 Pine Hill Water Company under Mr. Gitter filed  
6 an application with the DEC for a modified  
7 WSA. The Pine Hill water Coalition challenged  
8 the removal of certain sources from the Pine  
9 Hill water system, namely Silo A and Silo B.  
10 Silo A replaced Crystal Spring in the early  
11 1990's under the owner that was there. I  
12 think on your site tour you may have visited  
13 these. I wasn't with you. Silo B replaced  
14 Station Road Spring, again, in the early  
15 1990's.

16 The Pine Hill water District Coalition  
17 questioned flow information provided by Alpha  
18 Geoscience --

19 MR. GERSTMAN: Let me interrupt you  
20 for one moment.

21 Judge, if you refer to CPC Exhibit 62,  
22 the GIS map, there are references to Silo A  
23 and Silo B, Crystal Spring and Station Road  
24 Well, to orient you to Mr. Schaedle's  
25 testimony.

(STORMWATER ISSUE)



1 MR. SCHAEDEL: The Pine Hill water  
2 District Coalition questioned flow information  
3 provided by Alpha Geoscience and provided  
4 affidavits that both Silo A and Silo B have  
5 been used as supplemental sources of water  
6 since their construction in the early 1990's.

7 We also provided documents challenging  
8 the estimated current and future water needs  
9 of the hamlet. Our arguments were denied  
10 without a public hearing. The PHWDC then  
11 filed an Article 78 suit requesting a hearing.  
12 The Court denied the challenge, however, but  
13 the Judge stated on page 19 of this ruling,  
14 most importantly -- most importantly  
15 underlined -- "Any potential environmental  
16 impacts of the proposed resort on Pine Hill's  
17 water supply will have to be addressed during  
18 the resort's SEQRA review." That's why I'm  
19 here.

20 WSA No. 10,181 was issued to the Pine  
21 Hill Water Company in 2003. This limits the  
22 total taking for Pine Hill to 211,000 gallons  
23 per day. The sources are listed as Bonnie  
24 View Springs, Pine Hill Well No. 1, Depot Road  
25 Well and Station Road Spring, having tested  
(STORMWATER ISSUE)

1 capacities -- this was all in the WSA -- of 2467  
2 85, 15, 39 and 28 gallons per minute. Those  
3 are per minute, not per day.

4 The Pine Hill Water District Coalition  
5 had previously challenged the flows listed as

6 inaccurate. The water budget analysis for Big  
7 Indian Plateau prepared by Alpha Geoscience  
8 dated January 10, 2002, and revised May 2004,  
9 states on pages 13 and 14 that Bonnie View  
10 Springs in January 2000 had a flow of  
11 67 gallons per minute, not 85 gallons per  
12 minute. So the low flow is 67, and that  
13 should be used as the base.

14 It goes on to state on those same  
15 pages, "It is Alpha Geoscience's opinion that  
16 Silo B and Station Road Spring tap the same  
17 ground source." That is, the tested capacity  
18 of groundwater source flowing from either  
19 Silo B or Station Road Spring is 28 gallons  
20 per minute, but not 28 gallons each as  
21 indicated on the modified permit.

22 These two changes in flow requested by  
23 the water Coalition in its comments on the  
24 original request to modify the permit over  
25 three years ago -- that's when we started  
(STORMWATER ISSUE)

1 challenging this was in 2000 -- reduce Pine <sup>2468</sup>  
2 Hill's total available flow of water by over  
3 66,000 gallons per day.

4 Further, and again as noted on our  
5 original comments, two of the backup sources  
6 indicated on the modified permit, Pine Hill  
7 well No. 1 and Station Road well are  
8 hydrologically connected. That's in Alpha  
9 Geoscience's reports, and it proven by their  
10 pump tests. They also state that Station Road  
11 well would pump dry after 139 days. The point

12 of this is that ten State standards require  
13 that a water company have a secondary source  
14 equal to or exceeding the primary source with  
15 the primary source out of service.

16 what all this is saying is we really  
17 only have a primary source, Bonnie View  
18 Springs, and a backup well, Pine Hill well 1,  
19 which is 15 gallons per minute. That's what  
20 they left us.

21 subsequently we did get Silo B after  
22 negotiating with Mr. Gitter for a long period  
23 of time. So we did get another 28 gallons per  
24 minute, but that's not in addition to the  
25 Station Road Spring. It's only one 28 gallons  
(STORMWATER ISSUE)

□

2469

1 per minute.

2 The final point I would like to make,  
3 on Martin Luther King Day in 2000, I met with  
4 Dean Pallen, Alan Dumas and Marge Lloyd to  
5 discuss Pine Hill water. During a  
6 wide-ranging discussion, Mr. Pallen noted that  
7 the Pine Hill Sewer Plant was built to its  
8 current size because he required that the  
9 plant be able to meet the needs of a  
10 population equal to the size of the original  
11 plant in 1930 or thereabouts. As noted  
12 earlier, this was estimated to be 4,000 people  
13 during the summer. If Mr. Pallen insists on  
14 providing sewerage treatment for growth, isn't  
15 it logical that Pine Hill also have water  
16 resources to supply this sewage growth?





2 issue.

3 ALJ WISSLER: Mr. Schaedle, are you  
4 currently a resident of Pine Hill?

5 MR. SCHAEDLE: Yes, I am.

6 ALJ WISSLER: Your family owned the  
7 Pine Hill Water Company?

8 MR. SCHAEDLE: That's correct.

9 ALJ WISSLER: Were you an officer in  
10 the company?

11 MR. SCHAEDLE: I was the director -- I  
12 don't remember -- somewhere in the '60's, I  
13 became the director. I think when my father  
14 died in 1979, I was made treasurer. I don't  
15 have the corporate records.

16 ALJ WISSLER: You're familiar with the  
17 records and business practices of that water  
18 corporation; am I right?

19 MR. SCHAEDLE: Yes.

20 ALJ WISSLER: When somebody wants to  
21 build in Pine Hill, get a building permit to  
22 build anything, do they have to get any kind  
23 of letter or authorization from the water  
24 company?

25 MR. SCHAEDLE: When it was a private  
(STORMWATER ISSUE)

□

1 water company, no. Because from 1950 until <sup>2473</sup>  
2 200 -- well, from its founding in 1895 until  
3 2003, it was a privately-held water company by  
4 various people but still a privately-held  
5 stock company. They did not need -- anybody  
6 that was building in Pine Hill did not need to  
7 have --

8 ALJ WISSLER: What about now?

9 MR. SCHAEDELE: Right now there are no  
10 water regulations in effect. The new district  
11 that was formed in 2003 have not actually  
12 formulated any water regulations.

13 ALJ WISSLER: I guess my question is  
14 if somebody wants to build and they know  
15 they're going to be using potable water from  
16 that system, how do they have to let you know?  
17 Do they have to let you know? Is there any  
18 record kept of that?

19 MR. SCHAEDELE: Right now, no. There's  
20 no water regulations. They can still drill a  
21 well. They don't have to hook up to the  
22 system if they don't want to. I'm not saying  
23 that this shouldn't be the case, but it's the  
24 case right now.

25 ALJ WISSLER: Annually a report gets  
(STORMWATER ISSUE)

1 filed with the Department of Health; am I 2474  
2 right?

3 MR. SCHAEDELE: It was filed with the  
4 Department of Health and the PSC when it was  
5 privately held.

6 ALJ WISSLER: And now, what?

7 MR. SCHAEDELE: I'm not real sure --  
8 well, the Department of Health has control  
9 over it, but the PSC does not when it's  
10 publicly held.

11 ALJ WISSLER: Are there annual numbers  
12 that are developed from the Pine Hill water

13 Company with respect to water usage that would  
14 go in reports like that?

15 MR. SCHAEDLE: They do have a  
16 flowmeter from the source out at Bonnie View  
17 Springs. The individual houses, except for a  
18 few commercial units, are not metered.

19 ALJ WISSLER: But I mean the amount of  
20 water that the system is supplying to the  
21 community, is that number kept or monitored  
22 anywhere?

23 MR. SCHAEDLE: It's been monitored  
24 since they put in a new treatment plant in  
25 roughly 2000. They put a meter on that so  
(STORMWATER ISSUE)

1 they know how much water is flowing into the <sup>2475</sup>  
2 system, but that doesn't necessarily mean it's  
3 all being used because it's a 100-year-old  
4 system, there have been leaks. The owners,  
5 whoever they may be, currently the town, are  
6 always trying to find the leaks. They're not  
7 always successful in finding them immediately.

8 ALJ WISSLER: But since 2000, there  
9 are annual numbers as to the amount of water  
10 generated by this water supply?

11 MR. SCHAEDLE: Correct. That's in one  
12 of the reports by Alpha Geoscience.

13 ALJ WISSLER: Let me ask you this:  
14 You indicated that there's a 30-room hotel  
15 that you're aware of that's being restored?

16 MR. SCHAEDLE: Yes.

17 ALJ WISSLER: And where is that?

18 MR. SCHAEDLE: It's on Main Street in  
Page 136



19 Pine Hill. If you drove down Main Street,  
20 it's across from the Colonial Inn.

21 ALJ WISSLER: You also indicated  
22 there's a hotel --

23 MR. SCHAEDELE: Potential hotel of 90  
24 to 100 rooms.

25 ALJ WISSLER: Potential meaning what;  
(STORMWATER ISSUE)

1 a building permit has been filed for that?

2476

2 MR. SCHAEDELE: No, it's just being  
3 talked about.

4 ALJ WISSLER: Is it before some  
5 planning board or anything like that?

6 MR. SCHAEDELE: It's not before the  
7 planning board. There was a presentation at a  
8 Town Board meeting several months ago, but I  
9 don't think any formal presentation has come  
10 to the zoning board.

11 ALJ WISSLER: And there was, I think,  
12 a 70-unit --

13 MR. SCHAEDELE: 17-unit. That has come  
14 before the -- presentations to the zoning  
15 board, it's been revised several times. It  
16 started out as 28 units, it's now down to 17.  
17 That unit is currently proposing to use  
18 individual wells for the houses, not tie into  
19 the system because elevation -- it's above the  
20 springs, and it would create problems in  
21 getting water to it.

22 ALJ WISSLER: In your understanding,  
23 is there any hydrologic connection between

24 that proposed housing development and these  
25 water sources?

(STORMWATER ISSUE)

2477

1 MR. SCHAEDELE: That's what I think  
2 ought to be tested. I don't know.

3 ALJ WISSLER: If you don't know,  
4 that's okay. I'm just asking the question.

5 MR. SCHAEDELE: What I'm saying is at  
6 one end of the system -- the pump tests have  
7 shown that two wells are approximately  
8 1500 feet apart hydraulically --  
9 hydrologically connected. At the other end of  
10 the system, you have the three Rosenthal wells  
11 and the residential wells, which again, the  
12 furthest one about 1500 feet apart, which are  
13 hydrologically connected.

14 So we know at either end of the  
15 system, there's an aquifer that's connected.  
16 No tests were done, except for between  
17 Rosenthal well and Station Road well, which I  
18 don't know the distance. I would guess it's  
19 at least a mile and a half to two miles. And  
20 they show that they're not connected in a  
21 72-hour pump test. But there are numerous  
22 private wells between those two wells which  
23 could have been checked -- and I don't know,  
24 I'm not a hydrologist. I'm not an expert in  
25 design or anything else. I don't know whether  
(STORMWATER ISSUE)

2478

1 72 hours is enough time to say that these  
2 wells are not connected.

3 ALJ WISSLER: Do you know, does Pine  
Page 138

4 Hill, to your knowledge, have any kind of  
5 comprehensive plan?

6 MR. SCHAEDLE: They have been fighting  
7 for three years to create one, and they  
8 haven't succeeded yet.

9 MS. BAKNER: Your Honor, the village  
10 of Pine Hill is not incorporated, it's a part  
11 of the Town of Shandaken. It doesn't have its  
12 own separate entity. It doesn't exist.

13 MR. SCHAEDLE: I'm sorry, in cases  
14 like this, I'm referring to Shandaken.

15 ALJ WISSLER: We may have already  
16 covered this when we did --

17 MR. SCHAEDLE: Pine Hill was  
18 incorporated somewhere in the late 18 -- I  
19 don't know, about 1900, I would say, and was  
20 unincorporated in 1984 and became a hamlet in  
21 the Town of Shandaken at that time.

22 ALJ WISSLER: Thank you, Mr. Schaedle.  
23 Mr. Gerstman.

24 MR. GERSTMAN: Judge, a couple  
25 prologues to our continuing presentation.  
(STORMWATER ISSUE)

1 First, Mr. Schaedle has put in an application<sup>2479</sup>  
2 as the chair of the Pine Hill Water Coalition  
3 to Mr. Ciesluk dated April 23rd, 2004 to  
4 modify the prior decision made by the agency  
5 to allow Silo A to be essentially taken out of  
6 the possible service of the Pine Hill water  
7 district. The basis of that modification  
8 request was, as you heard from Mr. Schaedle,

9 the discrepancies between the reports that  
10 were provided by Alpha Geoscience, which  
11 essentially overestimated the amount of water  
12 that was available to Pine Hill in order to  
13 meet its current and future needs.

14 There are several other grounds that  
15 are set forth. If your Honor would like, we  
16 can certainly submit a copy of the proposed  
17 modifications, but I don't know that it has  
18 particular relevance to this proceeding, other  
19 than we have put before the agency, and I  
20 don't believe the agency has acted at that  
21 point, a request for modification based on  
22 this information.

23 ALJ WISSLER: I'm interested in  
24 projected future usage and so forth. Those  
25 are relevant matters to me, so if that is  
(STORMWATER ISSUE)

1 going to be helpful on that point, fine.

2480

2 MR. GERSTMAN: We will provide a copy.  
3 If we can mark it now as CPC Exhibit 64.

4 ALJ WISSLER: Unless you have other --  
5 another offer with respect to that?

6 MR. GERSTMAN: There are  
7 significant -- the substance of what's behind  
8 the modification is certainly going to be  
9 presented to you as well, but to be safe, I  
10 will offer it as CPC Exhibit 64.

11 MS. BAKNER: Your Honor, just for the  
12 record, at this point because of this very  
13 important -- we want to object to the  
14 introduction of that information. It's not

15 relevant or related to this application, your  
16 Honor. It's sort of a rehash of the water  
17 permit, water supply permit modification that  
18 was granted actually on September 12th, 2002  
19 to the Pine Hills Water Company, and that  
20 permit has been transferred subsequently to  
21 the Town of Shandaken water district, and I do  
22 believe --

23 ALJ WISSLER: These are all records of  
24 the Department anyway; right?

25 MS. BAKNER: It's not that they're  
(STORMWATER ISSUE)

1 private records, your Honor. It's that the <sup>2481</sup>  
2 issue of the water permit modification has  
3 already --

4 ALJ WISSLER: I'm not looking at that,  
5 I don't care, and I'm not receiving it for  
6 that purpose, but there are under 601 -- I  
7 need to look at future demand, present demand  
8 and so forth, and to the extent that may be  
9 helpful to me, I'll do it. I'll take it for  
10 what it's worth.

11 MS. BAKNER: Just understand, it's  
12 future demand as expressed by the Pine Hill's  
13 Water Coalition, not the Pine Hill Water  
14 District which is actually the official owner,  
15 operator and permit holder for the system.

16 ALJ WISSLER: Okay. That's something  
17 we can talk about.

18 MR. GERSTMAN: Yes, your Honor, and  
19 the reason that I certainly don't expect this

20 forum to adjudicate the issues that are raised  
21 in Mr. Schaedle's April 23rd letter, unless of  
22 course the Department were to potentially  
23 issue a letter to the water company and to the  
24 district that it was granting the modification  
25 subject to a hearing, at that point I might  
(STORMWATER ISSUE)

1 move to consolidate, but let me introduce this<sup>2482</sup>  
2 as CPC 64. The reason I was hesitant to  
3 introduce it, I didn't want to suggest that  
4 this receiving ought to encompass this  
5 modification.

6 ALJ WISSLER: It's not going to.

7 (PINE HILL WATER DISTRICT COALITION  
8 LETTER DATED 4/23/04 RECEIVED AND MARKED AS  
9 CPC EXHIBIT NO. 64, THIS DATE.)

10 MS. BAKNER: Could we take a look at  
11 it?

12 MR. GERSTMAN: Sure. (Indicating.)

13 Judge, we also, as I believe you may  
14 be aware, have requested from the Department  
15 of Environmental Conservation records in  
16 connection with the Belleayre Mountain ski  
17 expansion, and also their existing recently  
18 drilled wells in connection with the water  
19 supply. I am informed by the record access  
20 office of the DEC that those records are  
21 available. I have to make an appointment to  
22 go see them, and would reserve the right to  
23 submit that information at some future point.

24 We also, Judge, will be dealing with  
25 surface and groundwater hydrology at some

1 future date yet to be determined in this  
2 proceeding. Those issues are directly related  
3 and connected to what we will be talking about  
4 today.

5 Finally, we will be alluding later in  
6 the presentation to precipitation data, and I  
7 would refer your Honor to the exhibits to our  
8 petition, specifically reference to tabs  
9 Exhibit C and D, and we will get into more of  
10 a discussion of that at some future point.

11 The primary concern that we have  
12 expressed in our petition is that for  
13 stormwater purposes, the Tannersville  
14 monitoring and precipitation data was used,  
15 and for purposes of the water supply, Slide  
16 Mountain was used, and we believe that that  
17 inconsistency is fundamentally wrong. It  
18 relates to the issues that you have heard up  
19 until now, but it also relates to the issues  
20 that we will hear today.

21 If Slide Mountain is used, we believe  
22 that provides a significant overestimation of  
23 the precipitation data that is being relied  
24 upon in the DEIS. Again, we'll talk about  
25 that further.

1 I would like to now introduce  
2 Mr. Joseph Habib.

3 Mr. Habib, would you tell the Judge a  
4 little about your background.

5 MR. HABIB: Sure. Your Honor, I'm an  
6 environmental engineer with about 10 years'  
7 experience in water and wastewater treatment  
8 and supply. I hold a Master of Science Degree  
9 from Long Island University in 1994, Bachelor  
10 of Science degree from the City University of  
11 New York, 1990.

12 I've been consulting periodically for  
13 the Pine Hill Water District Coalition over  
14 the past three years, and reviewing some of  
15 the water supply and treatment related issues.  
16 I have previously provided written comment to  
17 DEC regarding public water supply permit  
18 modification 3-5150-00365/0001, which is  
19 intrinsically related to this DEIS.

20 MR. GERSTMAN: Can I interrupt you for  
21 one second, Mr. Habib. We had received, and I  
22 don't know if this has been made part of the  
23 record yet, maybe Dan or Terresa can clarify.  
24 We've received from you supplemental  
25 conceptual design reports for both Big Indian  
(STORMWATER ISSUE)

1 and wildacres dated May 2004. Are they going<sup>2485</sup>  
2 to be made part of the record?

3 MS. BAKNER: They will be, they will  
4 be Applicant's exhibits. Everybody has a  
5 copy. It went to all counsel with the  
6 exception of Mr. Young who has not indicated a  
7 desire to receive them. So if we could mark  
8 that as Applicant's exhibits. I don't know if  
9 your Honor has it with you.

10 ALJ WISSLER: These will be  
Page 144



11 Applicant's --

12 MS. BAKNER: If you could do 51A, B, C  
13 and D.

14 ("APPLICATION FOR PUBLIC WATER SUPPLY  
15 PERMIT - BIG INDIAN PLATEAU" RECEIVED AND  
16 MARKED AS APPLICANT'S EXHIBIT NO. 51A, THIS  
17 DATE.)

18 ("CONCEPTUAL DESIGN REPORT - BIG  
19 INDIAN PLATEAU WATER SUPPLY, TREATMENT AND  
20 DISTRIBUTION" RECEIVED AND MARKED AS  
21 APPLICANT'S EXHIBIT NO. 51B, THIS DATE.)

22 ALJ WISSLER: This is 51C and D.

23 ("APPLICATION FOR PUBLIC WATER SUPPLY  
24 PERMIT - WILDACRES RESORT" RECEIVED AND MARKED  
25 AS APPLICANT'S EXHIBIT NO. 51C, THIS DATE.)  
(STORMWATER ISSUE)

2486

1 ("CONCEPTUAL DESIGN REPORT - THE  
2 WILDACRES RESORT AND HIGHMOUNT GOLF  
3 CLUB/HIGHMOUNT ESTATES WATER SUPPLY TREATMENT  
4 AND DISTRIBUTION RECEIVED AND MARKED AS  
5 APPLICANT'S EXHIBIT NO. 51D, THIS DATE.)

6 ALJ WISSLER: Okay, Mr. Gerstman.

7 MR. GERSTMAN: Sorry for the  
8 interruption.

9 Mr. Habib, would you continue.

10 MR. HABIB: Sure. As I was saying,  
11 among the work I've been doing for Pine Hill  
12 Water District Coalition -- previously  
13 commented at the January 20th Boiceville  
14 Public Hearing, and recently submitted  
15 detailed analysis to DEC in April 2004 as part

16 of the public comment on the DEIS for the  
17 Belleayre Resort at Catskill Park.

18 Currently, I'm employed by a Fortune  
19 1000 company. I'm a project manager, and I  
20 manage a team of engineers in the design and  
21 manufacturing of full-scale water treatment  
22 plants. And I've been specifically involved  
23 with municipal water treatment for the last  
24 seven years.

25 MR. GERSTMAN: Thank you, Mr. Habib.  
(STORMWATER ISSUE)

2487

1 Mr. Habib, you did a flow study  
2 analysis in connection with -- you reviewed  
3 the flow study analysis that was prepared by  
4 Alpha Geoscience?

5 MR. HABIB: I did, yes.

6 MR. GERSTMAN: Can you describe what a  
7 flow study is.

8 MR. HABIB: A flow study is a generic  
9 term, but basically what it involves is the  
10 monitoring of flows from a specific stream,  
11 river or other water source for a specific  
12 period of time to determine flow  
13 characteristics and flow rates, flow quantity.

14 MR. GERSTMAN: What would its purpose  
15 be in connection with the Draft Environmental  
16 Impact Statement, for instance, that we have  
17 before the Judge today?

18 MR. HABIB: Basically to determine  
19 sustainable yield of particular sources that  
20 are being proposed for some of the water  
21 supply issues or some of the water supply

22 sources.

23 MR. GERSTMAN: Why would that flow  
24 study be important in that analysis?

25 MR. HABIB: The flow study really is a  
(STORMWATER ISSUE)

1 critical portion. It forms the basis by which<sup>2488</sup>  
2 all of the subsequent engineering analysis is  
3 really based upon. And really somebody  
4 mentioned earlier that -- engineering work is  
5 based on data, and that flow study analysis  
6 provides a lot of the data that a lot of the  
7 engineering work is built upon.

8 MR. GERSTMAN: Did you review the flow  
9 study that was presented in the Applicant's  
10 Draft Environmental Impact Statement?

11 MR. HABIB: Yes, I did.

12 MR. GERSTMAN: Did you have an  
13 opportunity to review the flow studies  
14 represented in Crossroads Exhibits 51B and 51D  
15 that was submitted -- revised May 2004?

16 MR. HABIB: Yes, I have.

17 MR. GERSTMAN: In your professional  
18 opinion, do those flow studies provide  
19 necessary and critical information upon which  
20 to evaluate the sustainable yield of the  
21 aquifer and the surface water for the project?

22 MR. HABIB: They do provide necessary  
23 and critical information; however, I feel that  
24 they are severely flawed.

25 MR. GERSTMAN: How do you feel that  
(STORMWATER ISSUE)

1 the information that's presented is flawed?

2 MR. HABIB: As I will present, there  
3 are stark contradictions and multiple versions  
4 of what is presumably the same study that's  
5 been used over the past four years; and as a  
6 result, I really do not feel comfortable with  
7 the flow study at all.

8 MR. GERSTMAN: Can you explain how you  
9 have come to that conclusion.

10 MR. HABIB: Yes. well, I guess I can  
11 start from the beginning, but my testimony  
12 really focuses on this -- the spring and  
13 stream flow measurement study, also known as a  
14 flow study which I'll refer to it for  
15 convenience, this was performed by Alpha  
16 Geoscience between January 2000 and December  
17 2001.

18 ALJ WISSLER: Mr. Gerstman, is this in  
19 one of the exhibits; we could be looking at  
20 this?

21 MR. GERSTMAN: The flow study?

22 MR. HABIB: Yes.

23 ALJ WISSLER: You want to direct me to  
24 where it is?

25 MR. HABIB: Actually, it is the first  
(STORMWATER ISSUE)

2490

1 two pages of the exhibit.

2 MR. GERSTMAN: CPC 60, your Honor.  
3 Were these charts that you took from the Draft  
4 Environmental Impact Statement?

5 MR. HABIB: These are taken directly  
6 from the DEIS. The flow study document, which  
Page 148

□

7 you are now looking at, is referenced  
8 extensively throughout both the Silo A water  
9 supply modification application, as well as  
10 the Belleayre Resort DEIS, and used in  
11 numerous sections of the DEIS as a cornerstone  
12 to subsequent engineering analysis.

13 As I was alluding to before, since the  
14 flow study forms the foundation on which so  
15 much is based, its significance really can't  
16 be understated. The flow study, however, as I  
17 also mentioned, contains many blatant  
18 discrepancies and otherwise questionable data,  
19 that I find it to essentially render itself  
20 invalid. It's, therefore, my intention  
21 today -- I would like to highlight these  
22 significant and numerous discrepancies using  
23 the Applicant's own data contained within the  
24 DEIS. I would also like to question the  
25 methodology cited in assessing some of the  
(STORMWATER ISSUE)

1 spring yields contained in that report. I'd<sup>2491</sup>  
2 like to also demonstrate the extensiveness and  
3 far-reaching implications of a flow study as  
4 the crux and foundation of much of the  
5 subsequent engineering analysis related to the  
6 water supply issues.

7 I would also like to emphasize the  
8 deficiency in four years' worth of engineering  
9 reports which indiscriminately use two vastly  
10 different versions of what is presumed to be  
11 the same flow study, without discovering,

12 correcting or offering any explanation to the  
13 obvious discrepancies which I'm about to  
14 present.

15 MR. RUZOW: Marc, excuse me for just a  
16 second. Table 1A which is CPC 60, where from  
17 the DEIS was that taken?

18 MR. HABIB: Table 1A. There are two  
19 versions of Table 1A, and they are indicated  
20 as Version 1 and Version 2. Version 1 --  
21 actually either version appears in multiple  
22 places. I'll give you an example where I  
23 pulled Version 1 from.

24 MR. RUZOW: Is it in the DEIS or an  
25 exhibit to the DEIS?  
(STORMWATER ISSUE)

1 MR. HABIB: It's in several exhibits. <sup>2492</sup>

2 MR. GERSTMAN: If you refer to --

3 MR. HABIB: In fact, there's a table  
4 that indicates exactly which exhibits and  
5 which version is included in the respective  
6 exhibits.

7 MR. GERSTMAN: Refer to Table 2 which  
8 is about four pages in.

9 MR. HABIB: Yes, thank you.

10 MR. RUZOW: Thank you.

11 MR. HABIB: As I was saying -- I  
12 apologize, I also want to demonstrate why the  
13 flow study as a whole should be invalidated,  
14 along with any of the subsequent calculations,  
15 estimations or conclusions that are based upon  
16 its data. I would also like to demonstrate  
17 how the flawed data supported the October 2001

18 decision of the Department of Health Public  
19 Service Commission to deny the request of the  
20 Pine Hill Water District Coalition for a  
21 separate proceeding and evidentiary hearing in  
22 Case 01-W-0803.

23 MS. BAKNER: Your Honor, for the  
24 record, we do object to that.

25 MR. GERSTMAN: Terresa, I couldn't  
(STORMWATER ISSUE)

2493

1 hear what you said.

2 MS. BAKNER: I said I'm objecting  
3 because the Public Service Commission  
4 decisions are final and not appealable, and if  
5 this is a collateral attempt to reopen that --

6 ALJ WISSLER: It isn't.

7 MR. HABIB: It's not an attempt, but  
8 since the PSC is included in the DEIS, and I'm  
9 offering comments on the DEIS, I feel it's  
10 appropriate to offer comments on that and how  
11 some of the flawed data may have adversely  
12 influenced the decision.

13 As I was saying, my testimony begins  
14 back in 2002 after first discovering  
15 fundamental discrepancies in data used to  
16 support the developer's modification  
17 application of the Silo A WSA which proposed  
18 the removal of Crystal Spring, or Silo A, from  
19 the Pine Hill Water Company's assets.

20 I uncovered the flawed data in the  
21 flow study which was included amongst the WSA  
22 supporting documentation. The flow study data

23 is also referenced extensively throughout the  
24 DEIS and used in numerous sections of the DEIS  
25 as a cornerstone to subsequent engineering  
(STORMWATER ISSUE)

2494

1 analysis.

2 As you have just taken a look at, I've  
3 presented two versions of the Alpha Geoscience  
4 flow study used by the developer, and as I  
5 stated, these copies were taken directly from  
6 the DEIS, and designated as version 1 and  
7 Version 2. If I can direct you to those two  
8 versions, you'll notice, and I hope it came  
9 through on the copies, that I highlighted a  
10 number of rows, specifically ten rows. Those  
11 would be rows A, B, C, D, H, I, L, P, Q, R, S,  
12 T, U, V and W. I've highlighted those  
13 selected rows on both versions to demonstrate  
14 the significant deviation in values between  
15 the two.

16 As an example, if I could, I'd like to  
17 direct you, just for example, if we can take a  
18 quick look at Rows A through D and compare  
19 some of the values that you see in Version 1  
20 to the values that you see in Version 2.

21 ALJ WISSLER: How do you explain the  
22 difference?

23 MR. HABIB: That's the whole point, I  
24 really can't explain it. Perhaps some folks  
25 in this room can; but if I may, I would like  
(STORMWATER ISSUE)

2495

1 to proceed.

2 ALJ WISSLER: Sure.  
Page 152



3 MR. HABIB: A closer analysis of that  
4 data reveals that nearly all version 1 values  
5 in these rows are two and a half times higher  
6 than those in Version 2. I further analyze  
7 the differences in this data by superimposing  
8 the two data sets and calculating what I'm  
9 calling a discrepancy factor, the results of  
10 which are presented in Table 1, which you have  
11 there also, your Honor.

12 Basically what Table 1 is is the  
13 values in version 1 of the flow study, the  
14 Version 1 values divided by the Version 2  
15 values, and you will see that nearly every  
16 value contained within those ten rows are  
17 almost uniformly multiplied by a factor of two  
18 and a half. I find the uniformity and  
19 selectivity of these discrepancies suspect.  
20 What's most troublesome is that either version  
21 has been used, whether by oversight or by  
22 design, to support the 2002 WSA modification  
23 and the DEIS.

24 The flow study has appeared no less  
25 than three times in supporting documents for  
(STORMWATER ISSUE)

2496

1 the WSA, and no less than five times in the  
2 DEIS, and those eight appearances we just  
3 spoke about in Table 2. So you can refer to  
4 Table 2 to see where those tables would  
5 appear.

6 what I would also like you to note is  
7 looking at Table 2, which lists the order of

8 appearances, it really demonstrates the extent  
9 in which the flow study was utilized in both  
10 the DEIS and the WSA. And most importantly, I  
11 would like you to note the arbitrary use of  
12 either version.

13 Not only did I find conflicting data  
14 between version 1 and version 2, but there are  
15 also significant contradictory values for  
16 critical data when compared to other  
17 supporting documentation found within the  
18 DEIS. I would like to bring to your  
19 attention, if you can refer to the flow study,  
20 Line E. Line E is designated Pine Hill water  
21 Supply Meter. It's actually one of the lines  
22 that is actually consistent between the two.  
23 Data from Line E has been used extensively in  
24 calculations of water usage and spring flow  
25 throughout the WSA and DEIS.

(STORMWATER ISSUE)

2497

1 In looking at Line E data initially, I  
2 was very suspicious as it did not represent  
3 inherent variation and water usage that is  
4 typical with small water systems. In that, I  
5 mean that you will notice that there's very  
6 little monthly and almost no seasonal  
7 variation. This is just not typical of a  
8 public water supply that's under continuous  
9 use.

10 Furthermore, the occurrence of zero  
11 flow found on January 18th and May 22nd is not  
12 possible for a water supply that is under  
13 continuous use. What I've done is I've

14 plotted the data --

15 ALJ WISSLER: Repeat that.

16 MR. HABIB: This will make more sense  
17 when you look at the plot. But the statement  
18 that I just read was: Furthermore, the  
19 occurrence of zero flow recorded on  
20 January 18th and May 22 is not possible for a  
21 water supply system that is under continuous  
22 use.

23 MR. GERSTMAN: Judge, I refer you to  
24 Figure 1 in CPC 60. You'll note the previous  
25 statement concerning the relatively constant  
(STORMWATER ISSUE)

1 use is reflected by those --

2498

2 ALJ WISSLER: You have two zero  
3 values.

4 MR. HABIB: Yes, you have two zero  
5 values, and you have what's essentially a  
6 straight line over a two-year period. Over a  
7 two-year period, we should see peaks,  
8 typically during the summer months, and we  
9 should see valleys, typically during the  
10 winter months. That's fairly typical of most  
11 water supplies, that's just normal, cyclic  
12 usage. We don't see that here. At the time,  
13 it was just speculation. But I was very  
14 suspicious of that.

15 If I can continue. My initial  
16 suspicion was later confirmed. After  
17 reviewing the Applicant's data that's  
18 presented in Volume 3, Appendix 7, Big Indian

19 water supply, B; this section includes in its  
20 Appendix B day-to-day water flows taken from a  
21 Pine Hill supply meter between December 1st,  
22 2000 and February 28th, 2001.

23 MR. GERSTMAN: Your Honor, I refer you  
24 to CPC 60, that's the following page, water  
25 requirements of system, Appendix B on the top  
(STORMWATER ISSUE)

2499

1 of the page.

2 ALJ WISSLER: That's specifically  
3 taken from what section?

4 MR. HABIB: That is taken from  
5 volume 3, Appendix 7, Big Indian water  
6 supply B.

7 ALJ WISSLER: Appendix 3 of the DEIS?

8 MR. HABIB: Appendix -- volume 3,  
9 Appendix 7.

10 MR. GERSTMAN: Maybe during a break we  
11 can provide the exact reference for you.

12 ALJ WISSLER: If you would, please.

13 MR. HABIB: This data was taken from  
14 the -- apparently the daily log sheets of the  
15 Pine Hill water Company. This data appears to  
16 be valid in that I find it represents normal  
17 variability and it looks like real data.  
18 This data also clearly contradicts the Alpha  
19 flow study, as I've shown in Table 3 in that  
20 handout.

21 If we can refer to Table 3, which I  
22 have titled, "Alpha Flow Study versus Volume 3  
23 Appendix 7," we can look at some of the common  
24 data points between those two documents and

25 compare them directly; and I refer you to  
(STORMWATER ISSUE)

1 January 30th, 2001 and February 28th, 2001 as <sup>2500</sup>  
2 well.

3 The Alpha flow study, either version 1  
4 or 2, shows a flow rate of 113 g.p.m. and  
5 113.5 g.p.m., respectively, for those two  
6 dates; whereas, Appendix B shows about 48  
7 g.p.m. That's a significant difference, a  
8 very significant difference.

9 I would also like to draw your  
10 attention to Note 5 that's indicated in that  
11 Appendix B data. Note 5 indicates that a  
12 major leak to the system was repaired on  
13 January 23rd, 2001. This is reflected in the  
14 Appendix B data by the subsequent drop in  
15 daily flow.

16 If you look at that table, you will  
17 see a significant drop in daily flow following  
18 January 23rd; whereas, the Alpha flow study  
19 does not reflect any such shift in flow,  
20 instead it presents consistent flow between  
21 113 and 119 g.p.m., even after the  
22 January 2001 repairs.

23 To further illustrate this, I've  
24 plotted the Appendix B data along with the  
25 corresponding flow study data in the next  
(STORMWATER ISSUE)

1 graph -- <sup>2501</sup>

2 ALJ WISSLER: Figure 2.

3 MR. HABIB: -- to exemplify this

4 point. Again, I would like to draw your  
5 attention to the normal variability in the  
6 day-to-day flows from Appendix B; and I'd like  
7 you to note the stark contrast with the Alpha  
8 flow study data. One of these sources is  
9 obviously incorrect.

10 I would like to raise a methodology  
11 question which I just recently uncovered. The  
12 recently released Big Indian water Supply  
13 Report cites in its surface water and  
14 groundwater assessment -- in Section 2.0, it  
15 cites that the spring yields were determined,  
16 and I'm paraphrasing and I'm assuming  
17 volumetrically what it does indicate is that  
18 it uses either a five-gallon bucket or  
19 18-gallon tub. This is just not practical for  
20 springs at significantly higher flows.

21 For example, I refer you back to the  
22 flow study. version 2, which is the low flow  
23 version, looking at the April 25th, 2001 data  
24 point for Railroad Springs which indicates a  
25 spring flow rate of 525 gallons per minute.  
(STORMWATER ISSUE)

2502

1 ALJ WISSELER: Wait a minute,  
2 version 2?

3 MR. HABIB: Version 2.

4 ALJ WISSELER: What day?

5 MR. HABIB: April 25th, 2001, Railroad  
6 Springs.

7 ALJ WISSELER: I don't have that. I  
8 have April 20 -- I'm sorry, 2001, got it.

9 MR. HABIB: Railroad Springs --  
Page 158

10 ALJ WISSLER: 525.

11 MR. HABIB: 525. Assuming they used  
12 an 18-gallon tub and a volumetric method of  
13 recording the flow, it would essentially fill  
14 up in 2.05 seconds. It's just not practical.  
15 If we look at Version 1, which is the high  
16 flow, we're looking at 1295 gallons per  
17 minute. And similarly, it would fill up in  
18 about 0.8 seconds.

19 So I would like some clarification on  
20 the methodology used, particularly for the  
21 stream flow, and if a 5-gallon bucket and an  
22 18-gallon tub were used, I think that's  
23 probably not the best method to measure flows  
24 in this range.

25 At this point I trust the information  
(STORMWATER ISSUE)

□

1 that I've been presenting clearly discloses <sup>2503</sup>  
2 the flow study as unreliable. I've  
3 demonstrated this with the developer's own  
4 contradictory data, and I would like to follow  
5 this up with direct implications resulting  
6 from the use of this flawed data in the  
7 context of the Silo A WSA and the DEIS.

8 The new water supply permit that was  
9 granted on September 12th, 2002, based on the  
10 April 2001 WSA application, the flow study --  
11 the Alpha flow study used was really a primary  
12 support for this application. The crux of the  
13 application is a critical -- the Bonnie View  
14 Spring production, the calculations used in

15 Section 3-2 to determine the average monthly  
16 flow of the Bonnie View Spring are based on  
17 Version 1 which is -- or which contains the  
18 so-called inflated values. That cites a  
19 393,120 gallon per day production estimation  
20 which, based on the Version 1 data, is likely  
21 a gross overestimate as opposed to a  
22 conservative flow as is cited in the  
23 application. Also, this estimation was  
24 derived using September 2000 data which was  
25 reputedly the low flow month.  
(STORMWATER ISSUE)

2504

1 By use of the formula provided in the  
2 engineer's report -- this is the engineer's  
3 formula -- for calculating the average monthly  
4 flow, we can re-create that calculation by  
5 punching in numbers. I have included some of  
6 those calculations, pretty simple  
7 calculations, in one of the last pages in that  
8 handout. The engineer's equation for  
9 calculating average monthly flow is 0.7 times  
10 the Bonnie View flow. That is equal to 0.7  
11 times (data from Row H, minus C, plus D, plus  
12 F, plus E.)

13 If we use the Version 1 data, the  
14 inflated data, and we punch in the numbers,  
15 the result is 273 g.p.m. or 393,120 gallons  
16 per day, the values cited in the application.  
17 However, the developer contradicts this  
18 critical calculation with his own supporting  
19 documentation contained within the WSA.

20 The engineer's report, which supports  
Page 160



21 the WSA in Section 2.1.1 cites August 2001 as  
22 the low flow month, and this time arbitrarily  
23 uses Version 2 data to calculate the average  
24 monthly flow. By using Version 2 data and the  
25 August 2001 values, punching in those numbers  
(STORMWATER ISSUE)

1 yields 70 g.p.m. or 100,800 gallons a day; 2505  
2 however, the engineer's report mis-cites this  
3 calculated value as 87 g.p.m. If they were,  
4 in fact, using those numbers that they said  
5 that they were using, they should have come up  
6 with 70 g.p.m., not 87 g.p.m. as is cited.  
7 Again, that results directly from their  
8 formula.

9 Incidentally, they do not show their  
10 calculation, so it can only be assumed that a  
11 basic arithmetic error was made in addition to  
12 using the wrong data to support the claim.

13 This is not the only arithmetic error  
14 that I discovered in this section of the  
15 engineer's report. The engineer's report then  
16 cites average flow over the two-year period as  
17 134 gallons per minute; but by punching in the  
18 numbers supplied in Table 1B, average flows,  
19 spring and stream flow measurements, that's  
20 contained within the WSA, I calculated a  
21 different value. I calculated a value of  
22 223 gallons per minute, not 134 gallons per  
23 minute as is contained in the supporting  
24 documentation.

25 ALJ WISSLER: Let me stop you for a  
(STORMWATER ISSUE)

1 minute. The first calculation that you did  
2 which is the next to last page of CPC 60, I  
3 take it you were looking at September 28th,  
4 2000; is that the data column?

5 MR. HABIB: The first calculation data  
6 which results in 273 g.p.m.?

7 ALJ WISSLER: Is September 28th?

8 MR. HABIB: Yes, September 2000. Is  
9 it the 28th -- yes, September 28th 2000.

10 ALJ WISSLER: And then in the  
11 second --

12 MR. HABIB: I have to apologize. In  
13 the second calculation, I'm using August 2001  
14 which unfortunately, as I just noticed, is not  
15 included in your version of the flow study.  
16 Apparently it got cut off in the copier.

17 ALJ WISSLER: Do you want to give me  
18 the full copy?

19 MR. GERSTMAN: If you insist.

20 ALJ WISSLER: I insist.

21 MR. HABIB: I've highlighted that in  
22 red. (Indicating)

23 MR. GERSTMAN: We'll make this CPC  
24 60A.

25 ALJ WISSLER: For sake of clarity of  
(STORMWATER ISSUE)

1 the record.

2 ("TABLE 1A 2000-2001 MONTHLY SPRING  
3 AND STREAM FLOW MEASUREMENTS GALLONS PER  
4 MINUTES" RECEIVED AND MARKED AS CPC EXHIBIT  
5 NO. 60A, THIS DATE.)

6 ALJ WISSLER: Mr. Habib, so I'm clear,  
7 your initial calculation is you take Crystal  
8 Spring Brook above Cathedral Glen Brook and  
9 from that value you subtract Crystal Spring  
10 Brook above Bonnie View Spring; H minus C in  
11 your chart?

12 MR. HABIB: Yes, it's 0.7 times, H  
13 minus C --

14 ALJ WISSLER: No, I understand how the  
15 formula works. I'm saying, the value, H minus  
16 C that you start out with, what's the reason  
17 for doing that again?

18 MR. HABIB: This is the methodology in  
19 which the engineer determined the critical  
20 Bonnie View flow. This is their  
21 calculation -- I'm sorry, this is their  
22 formula. So exactly how that came into being,  
23 I'm not sure. It is explained in the WSA, but  
24 I didn't want to go into that kind of detail,  
25 so I just pulled the formula.

(STORMWATER ISSUE)

1 ALJ WISSLER: Is that the water that's <sup>2508</sup>  
2 available to the project; that differential is  
3 what's available to them?

4 MR. HABIB: No, this Bonnie View flow  
5 data -- the Bonnie View flow data is the water  
6 that's available to the Pine Hill Water  
7 Company, specifically based on -- from the  
8 Bonnie View Springs. That value is primarily  
9 what the WSA that relinquished Silo A from the  
10 Pine Hill Water Company's assets was based

11 upon. In my opinion, I felt it was based upon  
12 an overstated flow.

13 MR. GERSTMAN: Could I have one  
14 moment?

15 (BRIEF PAUSE.)

16 MR. HABIB: Do you need further  
17 clarification?

18 ALJ WISSLER: I understand. You're  
19 applying a formula that they applied in the  
20 first instance. Why necessarily values -- the  
21 H minus C for instance, is a factor here, is  
22 something that they proposed?

23 MR. HABIB: Yes.

24 ALJ WISSLER: Not something that  
25 you're proposing or even necessarily vouching  
(STORMWATER ISSUE)

□

1 for?

2509

2 MR. HABIB: Right.

3 ALJ WISSLER: You're just reworking  
4 the numbers in light of the versions with the  
5 formula that they proposed?

6 MR. HABIB: Correct. In the context  
7 of the WSA and DEIS, I feel that I've now  
8 demonstrated flawed data, contradicting data  
9 and arithmetic error, and it's in my opinion  
10 that a true account of the Bonnie View Spring  
11 production during the low flow month could not  
12 have possibly been represented accurately in  
13 the WSA. Nevertheless, the WSA was granted  
14 which relinquished the Silo A water supply  
15 source from the Pine Hill Water Company's list  
16 of assets, and allowed its use as an alternate

17 water supply for the developer's Big Indian  
18 Plateau project.

19 AS I previously stated, the  
20 implications of the flow study are yet further  
21 reaching. Included in the list of DEIS  
22 sections which directly referenced the flow  
23 study is Volume 2, Appendix 2.1, Big Indian  
24 water supply. The flow study was used in the  
25 determination of Silo A and Silo B production  
(STORMWATER ISSUE)

2510

1 capacity.

2 ALJ WISSLER: You need to show me  
3 where you're referring to. You're saying DEIS  
4 Appendix 2?

5 MR. HABIB: Volume 2, Appendix 2.1,  
6 Big Indian water supply.

7 MS. BAKNER: Your Honor, if you could  
8 look in Volume 3, Appendix 7, you would maybe  
9 find it there.

10 ALJ WISSLER: Okay.

11 MS. BAKNER: Sorry, your Honor, the  
12 reference to Volume 2, Appendix 2.1 -- as we  
13 understand it, Mr. Habib is referring to  
14 Table 2, "Occurrences of Alpha Geoscience  
15 Stream and Flow Study."

16 MR. HABIB: That's correct. I'm just  
17 further indicating briefly how it was used and  
18 some of the production -- and assessing some  
19 of the production capability within each  
20 section, but I'm not really going into detail.

21 ALJ WISSLER: So your Table 2 will

22 tell me where you are in the DEIS?

23 MR. HABIB: That's correct.

24 MR. GERSTMAN: After Mr. Habib's  
25 statement and offer of proof, we will try and  
(STORMWATER ISSUE)

2511

1 find exactly in Appendix 7 where these  
2 references are.

3 MR. HABIB: In Volume 2, Appendix 2.1,  
4 the flow study was using the determination of  
5 Silo A and B production capacity. Volume 3,  
6 Appendix 7, Big Indian water supply, it was  
7 again using the determination of Silo A, the  
8 upper spring, Silo B Spring and Railroad  
9 Spring production capacities. Volume 3,  
10 Appendix 7, Big Indian water supply B. This  
11 goes back to the PSC decision which was based  
12 largely upon the 273-gallon per minute  
13 production capacity of the Bonnie View Springs  
14 as we just determined, as was determined by  
15 Alpha using the Version 1 overstated data.

16 However, in this particular section,  
17 the developer again includes Version 2 in  
18 their supporting documentation in the Appendix  
19 for this section, which directly contradicts  
20 the referenced flows for Bonnie View Springs  
21 cited in a service investigation of the Pine  
22 Hill Water Company Case 01-W-0803.

23 As we now understand, as I think I've  
24 effectively demonstrated, the Version 1 data  
25 contains overstated flows for the Bonnie View  
(STORMWATER ISSUE)

2512

1 Springs, and I think the importance here is  
Page 166

2 that these exaggerated flows help to support  
3 the Pine Hill Water Company's position to have  
4 the Pine Hill Water District Coalition's  
5 petition denied at the time.

6 Also I would just like to refer to  
7 Volume 3, Appendix 7, Big Indian Water Supply  
8 G. There are extensive references to the flow  
9 study in the surface and groundwater  
10 assessment. These include, but are not  
11 limited to Silo A spring flow to meet potable  
12 requirements, spring use impacts on stream  
13 flow, comparisons with climatological data,  
14 Crystal Spring Brook comparisons, et cetera.

15 I'd like to conclude with, based on my  
16 review of the water supply sections of the  
17 DEIS and the discrepancies found within the  
18 flow study, I conclude the following: That  
19 the data contained within the flow study is  
20 unreliable due to the number of discrepancies  
21 between version 1 and version 2, which is  
22 50 percent of all of the data. The entire  
23 flow study should be deemed invalid, as should  
24 subsequent calculations, estimations and  
25 conclusions that are based upon it.

(STORMWATER ISSUE)

2513

1 I conclude that the uniformity of the  
2 discrepancies, that is the consistent factor  
3 of 2.5 across entire selected rows is highly  
4 suspect. I'd like to point out that the  
5 critical data, such as flows from the Bonnie  
6 View Springs and Crystal Spring, are among the

7 directly flawed data. Other flawed data such  
8 as Silo A flows are flawed by inclusion with  
9 the rest of the defective data, and neither  
10 can be used to support claims in the DEIS.

11 I conclude that the indiscriminate use  
12 of either version of the flow study over a  
13 four-year period demonstrates sloppy reporting  
14 practices and failure to provide attention to  
15 detail. And my conclusion is that new flow  
16 studies are required to validate the DEIS  
17 claims. That's all I have.

18 ALJ WISSLER: Thank you, Mr. Habib.

19 MR. GERSTMAN: Any further questions,  
20 Judge?

21 ALJ WISSLER: No.

22 MR. GERSTMAN: Judge, due to the  
23 unavailability of Mr. Habib beyond today, I  
24 would request that we take a rebuttal to his  
25 offer of proof at this point, and then move on  
(STORMWATER ISSUE)

2514

1 to Mr. Rubin's offer of proof after that.

2 ALJ WISSLER: How long is Mr. Rubin  
3 going to be?

4 MR. GERSTMAN: 45 minutes to an hour.  
5 We could go over another day if it's  
6 necessary, but Mr. Habib is not available, and  
7 Mr. Rubin, we can make available.

8 ALJ WISSLER: Is Mr. Rubin's offer  
9 going to be different?

10 MR. GERSTMAN: Yes, it -- Mr. Rubin's  
11 offer has to do with the -- at least in part  
12 the pump tests that were done that were relied



13 upon by the DEIS and the subsequent revision  
14 to the analysis set forth in CPC -- I'm sorry,  
15 Crossroads 51 series.

16 MS. BAKNER: Your Honor, if it's worth  
17 anything, we have no objection to doing that.

18 ALJ WISSLER: Do you want five  
19 minutes?

20 MS. BAKNER: Yes, that would be  
21 helpful. Thank you very much.

22 (3:45 - 4:01 P.M. - BRIEF RECESS  
23 TAKEN.)

24 ALJ WISSLER: Going back on the  
25 record.

(STORMWATER ISSUE)

2515

1 MR. GERSTMAN: Before you start,  
2 there's one part of Exhibit CPC 60, we have  
3 located it as page 15.

4 ALJ WISSLER: This is Appendix B?

5 MR. GERSTMAN: Yes, that is in  
6 Appendix 7 -- looks like Appendix B of the  
7 Public Service Commission record.

8 MR. RUZOW: In the court decision I  
9 think. In their decision.

10 MR. GERSTMAN: I think in the Public  
11 Service Commission decision.

12 ALJ WISSLER: Got it. Page 15 of --

13 MR. GERSTMAN: Yes, it's called,  
14 "Service Investigation of the Pine Hill Water  
15 Company," it's referred to, and it's Appendix  
16 B to that.

17 Judge, for the other citations, we

18 would be glad to provide further references,  
19 we'll submit them.

20 ALJ WISSLER: Okay.

21 MS. BAKNER: I'm introducing for the  
22 record Applicant's Exhibit 52, 53, 54 and 56.  
23 52 is the resume of Gary Kerzic, professional  
24 engineer; 53 is the resume of Mary Beth  
25 Bianconi; 54 is the resume of Dr. Sam Gowan;  
(STORMWATER ISSUE)

1 and 55 is the resume of Michael Palleschi. 2516  
2 with them is Steve Trader, who has previously  
3 had his resume put in.

4 (RESUME OF GARY T. KERZIC RECEIVED  
5 AND MARKED AS APPLICANT'S EXHIBIT NO. 52, THIS  
6 DATE.)

7 (RESUME OF MAY BETH BIANCONI RECEIVED  
8 AND MARKED AS APPLICANT'S EXHIBIT NO. 53, THIS  
9 DATE.)

10 (RESUME OF SAMUEL W. GOWAN RECEIVED  
11 AND MARKED AS APPLICANT'S EXHIBIT NO. 54, THIS  
12 DATE.)

13 (RESUME OF MICHAEL D. PALLESCHI,  
14 C.P.G. RECEIVED AND MARKED AS APPLICANT'S  
15 EXHIBIT NO. 55, THIS DATE.)

16 MS. BAKNER: I'd like Dr. Gowan, Steve  
17 Trader and Mary Beth to go over their  
18 qualifications just briefly for the record so  
19 we can just proceed quickly with the response  
20 to Mr. Habib's comments.

21 Dr. Gowan, could you go first.

22 DR. GOWAN: Yes. I'm president of  
23 Alpha Geoscience. I have a Bachelor of Arts

24 Degree that I received at Colton College in  
25 1976, that was with a major of geology; Master  
(STORMWATER ISSUE)

1 of Science Degree from Texas A & M University<sup>2517</sup>  
2 in geology; and I received a Ph.D in 1985 from  
3 Texas A & M University, also in geology.

4 I've been working for Alpha Geoscience  
5 and am a principal at Alpha Geoscience. I've  
6 been there since 1992. Our primary activities  
7 are geology and hydrogeologic consulting. My  
8 role has been looking at impacts, surface  
9 water, groundwater impacts, water budgets,  
10 drawdown impacts from well use, these kinds of  
11 things.

12 I've been involved in this project  
13 since the very beginning working with Steve.  
14 In fact, I came out and made the first stream  
15 flow and spring measurements in January of  
16 2000 when it was about 10 to 15 below zero.  
17 After that, Steve took over from there.

18 MR. TRADER: Steve Trader, I'm a  
19 geologist. I have a Bachelor's Degree in  
20 geology from Virginia Tech., 1988. I've been  
21 with Alpha Geoscience for ten years as a  
22 geologist. I did go to graduate school and  
23 completed 33 hours of course work before I  
24 left to get a job.

25 I've been involved in much of the same  
(STORMWATER ISSUE)

1 project materials that Sam has, a lot of water<sup>2518</sup>  
2 supply issues that involve fracture trace

3 analysis, water budget analysis, stream and  
4 spring flow measurements. Been involved in  
5 lots of mining issues, environmental  
6 contamination problems associated with  
7 underground storage tanks and petroleum  
8 contamination. That's about it.

9 MS. BIANCONI: My name is Mary Beth  
10 Bianconi, and I formerly worked for Delaware  
11 Engineering when the work on the EIS was done.  
12 I have a Bachelor's Degree from the State  
13 University of New York at Geneseo, and I  
14 completed Master's studies and am six credits  
15 short of a Master's Degree in Environmental  
16 Planning from SUNY Albany. I have 14 years of  
17 experience doing permitting and technical  
18 writing for civil engineering, transportation  
19 engineering, environmental engineering  
20 projects.

21 MS. BAKNER: We're skipping Gary, not  
22 because he's less worthy, but we don't need  
23 him for this rebuttal. I want to stress we're  
24 just responding to Mr. Habib's comments, which  
25 we've seen before -- which we saw previously  
(STORMWATER ISSUE)

1 in the context of the application that was <sup>2519</sup>  
2 made on behalf of the Pine Hills Water Company  
3 to the Department of Environmental  
4 Conservation for a water supply permit  
5 modification.

6 If I can just briefly go through what  
7 is admittedly a long and convoluted history,  
8 I'll do that. The Pine Hills Water Company

9 was purchased by Dean Gitter, and it was  
10 operated for a period of time under his  
11 ownership. The Pine Hill Water Company had an  
12 extremely old water supply permit that had  
13 been issued by the Department of Environmental  
14 Conservation. I don't recall, but it might  
15 have even been in a prior existence as a prior  
16 organization, but it was one of the earliest  
17 water supply permits that was issued.

18 During the course of Mr. Gitter's  
19 ownership of the Pine Hill water Company,  
20 which has been incorporated since -- I'd say  
21 the very early 1900's, it was determined that  
22 the permit should be updated and should be  
23 modified to reflect the assets it actually  
24 owned, owned by the Pine Hill water Company,  
25 and the assets that were hooked up and used by  
(STORMWATER ISSUE)

□

2520

1 the Pine Hill water Company.

2 This permit modification was a  
3 necessary part of some funding that was being  
4 applied for at the time. I won't even go into  
5 which federal and state agencies it was being  
6 applied to. Mary Beth can rattle them off  
7 with the best of them. But the point of it  
8 was to get the funding we needed to get the  
9 permit in order.

10 The Pine Hills water Company had  
11 allowed the water system to reach a state of  
12 disrepair. It had many, many problems, also  
13 way too large to enumerate in this proceeding.

14 As part of the funding, the goal was to  
15 rebuild the distribution system which, as I  
16 understand it, dated from a long, long time  
17 ago, like the early 1900's. So there was a  
18 lot of piping that was no longer working.  
19 There were a lot of leaks. And Mr. Frisenda,  
20 who sits at that table, was commonly going out  
21 in the dead of winter to repair pipes that  
22 should have been retired from service probably  
23 25 to 30 years ago. So the system had some  
24 problems.

25 So as part of this process of applying  
(STORMWATER ISSUE)

□

1 for a permit modification, the Pine Hill water <sup>2521</sup>  
2 Company submitted a water supply application  
3 permit modification. That was submitted in  
4 the year 2001. As a part of the review of the  
5 permit application, Mr. Ciesluk, our own  
6 permit reviewer in this case, was the permit  
7 reviewer in that case. There was an  
8 engineering report, everything that was  
9 submitted, just as you typically have in water  
10 supply permit applications.

11 During the course of that application,  
12 as part of the normal give and take in the  
13 permitting process, it was discovered that the  
14 table, the infamous Version 1, was indeed in  
15 error, and the engineers will explain how it  
16 was in error. Also, during the course of the  
17 give and take on that project, it was  
18 discovered there was a calibration error made  
19 in the translation of flowmeter data. And

20 that was also clarified for the record in that  
21 proceeding with letters either between  
22 Whiteman, Osterman & Hanna and DEC, or  
23 Delaware Engineering and DEC. So all of this  
24 is completely a matter of public record, your  
25 Honor.

(STORMWATER ISSUE)

1 Then we come to Table 2, Mr. Habib's<sup>2522</sup>  
2 Table 2, and it indicates that Version 1,  
3 which is the incorrect version of the table,  
4 was inadvertently included in volume 2,  
5 Appendix 2.1 for the Big Indian Plateau water  
6 supply. That is the water supply application  
7 that's included in the Draft Environmental  
8 Impact Statement that precedes the tan ones  
9 that are laying there.

10 MR. RUZOW: which is Applicant's  
11 Exhibit 51, that series.

12 ALJ WISSLER: 51A, B, C and D?

13 MS. BAKNER: Correct. We can only --  
14 and we won't ask anyone to fall on their sword  
15 here, but we can only assume that this was a  
16 photocopying error. It was not a table that  
17 should have been included, it was outdated at  
18 the time it was put in there. I just want to  
19 point out that if you look at Table 2, it  
20 indicates that Version 2, which is the correct  
21 version, was included as Exhibit 1 to a  
22 February 28, 2002 engineer's report, and that  
23 would have, of course, been Delaware  
24 Engineering's report. And that date was

25 February 28, 2002. And the permit, which has  
(STORMWATER ISSUE)

6-25-04z

2523

1 not been entered as an exhibit here --

2 MR. RUZOW: It was referenced by  
3 Mr. Habib and Mr. Schaedle.

4 MS. BAKNER: Right. And your Honor,  
5 I'm happy to give my copy up. This permit  
6 modification is dated September 12th, 2002;  
7 and I imagine everybody here has this in one  
8 form or another.

9 ALJ WISSLER: Not me.

10 MS. BAKNER: Except you -- now you do.

11 ALJ WISSLER: Now I do.

12 MS. BAKNER: So you can see that the  
13 incorrect Version 1 was -- as often happens or  
14 hopefully always happens as part of the  
15 permitting process -- corrected, so now it was  
16 corrected Version 2, as Mr. Habib mentioned  
17 it. I'm going to stop talking about this, and  
18 I'm going to ask --

19 ALJ WISSLER: You want me to mark this  
20 as an exhibit and take it in, 56. Thank you.

21 (WATER SUPPLY PERMIT WSA #10,181  
22 RECEIVED AND MARKED AS APPLICANT'S EXHIBIT NO.  
23 56, THIS DATE.)

24 MS. BAKNER: Reiterating -- we would  
25 like to explain the origins of the error in  
(STORMWATER ISSUE)

2524

1 the original version of the table, which I  
2 just want to emphasize again is not the one  
3 that we're currently relying on.

4 ALJ WISSLER: If I understand, you're  
Page 176



5 saying 2 yes, 1 no with respect to the  
6 versions?

7 MS. BAKNER: That is correct, your  
8 Honor. The other point that my colleagues  
9 have instructed me to make is that although in  
10 Volume 2, Appendix 2.1, the water supply  
11 permit application for Big Indian has  
12 version 1, the incorrect version of the table,  
13 the report has all of the correct numeric  
14 information in it that's consistent with  
15 version 2, not version 1, and that merely  
16 helps demonstrate that it was a bad  
17 photocopying job.

18 Mr. Trader, I would like you to  
19 explain, if you will, the difference between  
20 Version 1 and Version 2, and how we came to  
21 have different numbers.

22 MR. TRADER: We used a flowmeter to  
23 measure flow from a company called Global  
24 Water. They produce a flowmeter for measuring  
25 streams and ditches and things like that. We  
(STORMWATER ISSUE)

1 had been using this up until the time when I<sup>2525</sup>  
2 discovered the problem, which I think was  
3 around April or May of 2001, right about the  
4 time the application came up. And the problem  
5 was the result of a calibration error.

6 When you receive the meter, there's a  
7 little computer widget at the top, and there's  
8 a number that -- it's 82.13. You're supposed  
9 to manually change that and reduce it down to

10 33.31, and then you're good to do all your  
11 measurements. That had been done long before,  
12 but somewhere along the line, a battery was  
13 changed, and it was not recalibrated that way.  
14 This was not discovered until, like I said,  
15 April or May of 2001. I contacted the  
16 company, and they said that's not a problem,  
17 just multiply all the numbers by the ratio of  
18 33.31 to 82.13. That is simply doing after  
19 the fact what the computer would have been  
20 ahead of time. That's the calibration  
21 problem. So the difference in the tables  
22 reflects that multiplied. It's approximately  
23 a .5, but it's actually .4056.

24 ALJ WISSLER: Is this just a  
25 conversation that you had with the  
(STORMWATER ISSUE)

2526

1 manufacturer of the meter?

2 MR. TRADER: Yes.

3 ALJ WISSLER: It's not as a result of  
4 any correspondence?

5 MR. TRADER: Correspondence with the  
6 company manufacturer -- yes, I talked to them.

7 ALJ WISSLER: You have a direction  
8 from them in writing that says that you  
9 multiply this by some factor to get the  
10 correct values?

11 MR. TRADER: Yes, I have an e-mail.

12 ALJ WISSLER: Am I getting that?

13 MS. BAKNER: Mr. Trader, do you have a  
14 copy back at your office of the e-mail?

15 MR. TRADER: Yes.

16 MS. BAKNER: We will provide it on the  
17 next day that we come.

18 ALJ WISSLER: Let me understand. So  
19 Version 1 are readings that were actually  
20 taken from the meter, the flowmeter?

21 MR. TRADER: Yes.

22 ALJ WISSLER: But Version 1's numbers  
23 are inaccurate because the flowmeter was not  
24 properly calibrated?

25 MR. TRADER: Correct.  
(STORMWATER ISSUE)

2527

1 ALJ WISSLER: So whatever the  
2 calibration error was would have been a  
3 constant that you simply applied to each of  
4 the values, which is why Mr. Habib gets it  
5 consistently at 2.5?

6 MR. TRADER: It's actually 2.4.

7 ALJ WISSLER: Okay. So the numbers --  
8 wrong though they may have been, the numbers  
9 that you got from Version 1 were the actually  
10 observed flowmeter readings?

11 MR. TRADER: That's right.

12 ALJ WISSLER: And Version 2 is really  
13 basically derived from Version 1 by applying  
14 the error factor?

15 MR. TRADER: That's right. That only  
16 applies to the readings on the table that were  
17 done with the meter. Any bucket measurements  
18 or tub measurements, those aren't affected by  
19 that.

20 MS. BAKNER: Mr. Trader, do you have

21 the table in front of you, and can you point  
22 out -- I mean, is it pretty obvious in  
23 comparing Version 1 and Version 2 which things  
24 were -- which values were obtained with the  
25 flowmeter?

(STORMWATER ISSUE)

1 MR. TRADER: Yes, I believe it's the <sup>2528</sup>  
2 ones that Mr. Habib had highlighted.

3 MR. RUZOW: After April -- the  
4 flowmeter was corrected in April?

5 MR. TRADER: April or May.

6 MR. RUZOW: So other readings that are  
7 shown on the longer table through the later  
8 part of the year --

9 MR. TRADER: Version 2.

10 MR. RUZOW: Yeah, version 2 -- are  
11 with the corrected meter?

12 MR. TRADER: That's right.

13 ALJ WISSELER: When did you determine  
14 that the meter was in error?

15 MR. TRADER: April or May of 2001.

16 ALJ WISSELER: How was it that you came  
17 to discover there was an error?

18 MR. TRADER: I looked at the USGS for  
19 stream flow measurements at Birch Creek and  
20 found that my flow was way above Birch Creek,  
21 the measurement downstream; so I went back and  
22 looked and said, ah-hah, that's it.

23 ALJ WISSELER: And you discovered that  
24 when, I'm sorry?

25 MR. TRADER: April or May of 2001.  
(STORMWATER ISSUE)

1 ALJ WISSELER: So what has been  
2 submitted here as Version 1 is a table that  
3 stops at April 2001?

4 MR. TRADER: Right.

5 ALJ WISSELER: After 2001, you were  
6 using a corrected meter?

7 MR. TRADER: That's right.

8 ALJ WISSELER: Is there a consistent  
9 error that needs to be applied to those  
10 numbers?

11 MR. TRADER: In Version 2?

12 ALJ WISSELER: Yes.

13 MR. TRADER: No, Version 2 numbers are  
14 correct.

15 ALJ WISSELER: So you had the meter  
16 recalibrated?

17 MR. TRADER: For the erroneous  
18 numbers, the first set of numbers from  
19 Version 1, all those were multiplied by --

20 ALJ WISSELER: That I understand, but  
21 I'm saying, beginning in May, you now knew  
22 what the error was --

23 MR. TRADER: I re-calibrated it. I  
24 calibrated it like the manufacturer  
25 instructed.

(STORMWATER ISSUE)

1 ALJ WISSELER: Is there a consistent  
2 error in the meter that has to constantly be  
3 cranked in?

4 MR. TRADER: No, just at a battery  
5 change. Once you change the battery, the

6 power goes off, you have to reset it.

7 MS. BAKNER: I think, Steve and Sam,  
8 you wanted to describe some sampling methods.  
9 Do you want to get into that now, or do you  
10 want me to have Mary Beth talk about the  
11 second problem?

12 DR. GOWAN: Yes.

13 MS. BAKNER: Sam, let me say briefly,  
14 we're talking about the sampling methods,  
15 because there seems to be some confusion about  
16 how the sampling was done and what values were  
17 derived. So if you could explain that.

18 MR. RUZOW: Measurements.

19 DR. GOWAN: I understand. Whenever  
20 we could, we would use a bucket. If we had --  
21 some of the springs, of course, have -- you've  
22 seen them, your Honor -- have a tube coming  
23 out, PVC pipe; and wherever we could get a  
24 five-gallon bucket under, if the flows were  
25 low enough, that's the method we used because  
(STORMWATER ISSUE)

2531

1 that's the most accurate method you can use.  
2 We use a bucket and a stopwatch. I'm sure you  
3 recall, Silo A had a fairly large stream  
4 coming out. We used the 18-gallon bucket for  
5 that feature.

6 wherever we had a stream, like the  
7 side ditch from Bonnie View Spring or Railroad  
8 Spring, we used our actual flowmeter. This is  
9 the flowmeter Steve was talking about, and  
10 that's got a little propeller on it and shaft.  
11 And you actually get out into the stream. If

12 we got into the larger streams like Birch  
13 Creek, we would lay out a tape measure to take  
14 flow measurements at regular intervals across  
15 that stream, and we would have to take a depth  
16 measurement as well. So you get a  
17 cross-sectional area and a velocity so that  
18 you can get a total flow.

19 ALJ WISSLER: In cubic feet per  
20 second?

21 DR. GOWAN: Exactly, exactly.  
22 Different features, like the Bonnie View  
23 Springs system, of course, that has a pipe  
24 that goes into the building -- I don't know if  
25 you recall the building -- and then the  
(STORMWATER ISSUE)

2532

1 reservoir.

2 So you have the water, the 113-gallon  
3 a minute, or plus or minus whatever that was,  
4 went through a meter into the reservoir.  
5 There was also a certain amount of that water  
6 that would go out through an overflow pipe, a  
7 plastic pipe that would go out towards the  
8 creek. That's the excess water that was not  
9 able to go through that meter.

10 There was also a certain percentage of  
11 that water would come along a ditch from the  
12 springs that wouldn't be captured by the  
13 spring boxes, and that's the side ditch, the  
14 Bonnie View side ditch.

15 we would take a propeller flowmeter  
16 measurement from the side ditch, from the

17 overflow pipe we would use the bucket, and  
18 then for the water that was going into the  
19 reservoir, we would read that directly off the  
20 meter, which was inside the building.

21 Now, that was a fairly constant amount  
22 going into -- through that meter, but  
23 sometimes there would be no water going  
24 through that.

25 ALJ WISSLER: Excuse me, are we  
(STORMWATER ISSUE)

2533

1 talking about the same meter here?

2 DR. GOWAN: Yes. This is not the  
3 flowmeter. The flowmeter -- this is a meter  
4 that's set in the pipe permanently at the Pine  
5 Hill water system.

6 ALJ WISSLER: Not the meter Mr. Trader  
7 was referring to?

8 DR. GOWAN: Right. I know there was  
9 some discussion from Mr. Habib about the  
10 discrepancies, what these different things  
11 mean. He was talking about a usage, flow  
12 usage in the Pine Hill system, which is a  
13 different number from the meter, their  
14 flowmeter on their pipe going into the  
15 reservoir. Those numbers are both real  
16 numbers. They're not in error. They just  
17 stand for totally different things. Part of  
18 that reason is if you -- that water had to go  
19 into that reservoir, the reservoir would fill  
20 up, and they would add chlorine, and it had to  
21 have a certain contact time with the chlorine  
22 before it's released out of the system; and



23 that's why you have periods of time when that  
24 meter is shut off, because you're no longer  
25 accepting water, and all of it would go out  
(STORMWATER ISSUE)

2534

1 the overflow pipe.

2 So you can have periods of time where  
3 you're going to see a constant 113 gallons per  
4 minute going into this reservoir, to fill up  
5 this reservoir, but your actual usage out in  
6 the Pine Hill system is going to be quite  
7 different from that number at any given period  
8 of time.

9 ALJ WISSLER: Mr. Trader, let me ask  
10 you this: The flowmeter that you used that  
11 was in error, is that Alpha Geoscience's  
12 flowmeter, or did that belong to the Pine Hill  
13 Water Company?

14 DR. GOWAN: That's ours. That's the  
15 one that we take around to the different  
16 locations.

17 MR. TRADER: It's portable.

18 ALJ WISSLER: This flow data that's in  
19 versions 1 or 2, does that data exist for  
20 other years? This is for the period 2000,  
21 2001, this data that you guys took, I  
22 understand that. Has this data ever been  
23 tabulated for any other years?

24 DR. GOWAN: This is the only --

25 ALJ WISSLER: I'm not saying you guys  
(STORMWATER ISSUE)

2535

1 would do it -- as related to this project, I

2 understand that, but these kind of flow  
3 numbers, were they maintained by the water  
4 company at all?

5 MR. GERSTMAN: We're talking about  
6 usage data or flow data?

7 ALJ WISSLER: I'm talking about the  
8 data that's contained in version 1/Version 2,  
9 is that flow data -- is that a record that is  
10 kept by the Pine Hill Water Company?

11 MR. SCHAEDELE: The water company  
12 minute books may contain some of this, which  
13 we no longer have access to. The last person  
14 I know that had them was the owner in 19 --  
15 between 1991 and 2000, possibly they were  
16 transferred to Crossroads. I don't know. I  
17 know we had a -- not as sophisticated a  
18 flowmeter on that flow from Bonnie View during  
19 the '60's, and it ranged between 60 gallons  
20 per minute to 120 gallons per minute, but I  
21 don't have any statistics that show that.  
22 That's just from memory.

23 As far as flow data --

24 ALJ WISSLER: You remember what from  
25 the '60's? Give me those numbers again.  
(STORMWATER ISSUE)

1 MR. SCHAEDELE: Flow data, during dry<sup>2536</sup>  
2 periods, I think the spring flow would fall to  
3 about 60 gallons per minute; and during more  
4 normal periods, would be 120 gallons per  
5 minute.

6 ALJ WISSLER: Where would that be?

7 MR. SCHAEDELE: The flow from the  
Page 186

8 Bonnie View Springs into the reservoir. We  
9 had a flowmeter -- we had a flowmeter on the  
10 pipe that went from the springs into the  
11 reservoir.

12 The only other thing that is available  
13 probably are statistics on the flow of the  
14 water through the Pine Hill meter that's been  
15 in place since 2000. The meter you took the  
16 flow from, you know, going into the reservoir,  
17 that meter has been in place since 2000, and  
18 I'm sure readings have been taken in addition  
19 to the period that you used.

20 ALJ WISSLER: Actually what I'm  
21 interested in, I have Version 1 and Version 2  
22 here, that talk about various flows for  
23 various points at various times. All I'm  
24 interested in is if, to your knowledge, there  
25 are records within the Pine Hill Water Company  
(STORMWATER ISSUE)

1 where equivalent types of measurements were <sup>2537</sup>  
2 taken.

3 MR. SCHAEDELE: Prior to this time?

4 ALJ WISSLER: Exactly.

5 MR. SCHAEDELE: What I'm saying is, I  
6 think there were records in the minutes of the  
7 corporation. If anybody could ever find the  
8 minute books of the corporation, you might  
9 find them.

10 MR. GERSTMAN: Where would the minute  
11 books be?

12 MR. SCHAEDELE: The minute books were

13 transferred when we sold the water company to  
14 Ben Oderno. I don't really know whether the  
15 minute books were transferred from Ben Oderno  
16 to Dean Gitter. He may still have them; he  
17 may not. He did retain the corporate title of  
18 Pine Hill Water Company.

19 ALJ WISSLER: Does any of that have to  
20 be reported to the State, the Department of  
21 Health or anything like that?

22 MR. SCHAEDLE: What?

23 ALJ WISSLER: Any of that kind of  
24 data?

25 MR. SCHAEDLE: I don't think it did at  
(STORMWATER ISSUE)

2538

1 that time.

2 ALJ WISSLER: All right.

3 MS. BAKNER: Your Honor, just to  
4 clarify again, if I may, the Pine Hill water  
5 Company during the period that it was owned by  
6 Mr. Gitter kept very good records of water  
7 usage. That's what the system was geared to,  
8 records on water usage.

9 So there are water usage numbers that  
10 are reported. I believe Mr. Trader said they  
11 take them on a daily basis, and they would be  
12 compiled into an annual report, and during the  
13 time it was a private water company, it would  
14 have been submitted to the Public Service  
15 Commission. Now as a public water company,  
16 I'm sure that the Town of Shandaken continues  
17 to maintain and operate records.

18 MR. CROSS: That's correct, we do,  
Page 188

19 your Honor, have those records. Don Clark who  
20 is the water superintendent has to keep track  
21 of roughly what goes through there for daily  
22 flows, and they're submitted to the Health  
23 Department on a sheet.

24 MR. RUZOW: But that's usage?

25 MR. CROSS: That's usage.  
(STORMWATER ISSUE)

1 ALJ WISSELER: That's usage. Are you <sup>2539</sup>  
2 familiar with tables, Versions 1 and 2 of the  
3 tables we're talking about?

4 MR. CROSS: I'm going to stay right  
5 out of that.

6 ALJ WISSELER: What I'm interested in  
7 is I have a situation here where I have data  
8 that has been compiled. And I appreciate the  
9 candor. There's a question about the meter  
10 that was used, and now that meter has been  
11 corrected, that data has been reworked in  
12 light of that error, I have no problem with  
13 that. But all I want to know is is the data  
14 that is contained in Table 1A -- whatever  
15 version you want -- those flows at those  
16 sites, is that a data that is collected and  
17 maintained anywhere else? Has it ever been?

18 MR. CROSS: Just total usage.

19 ALJ WISSELER: So the only time we're  
20 ever going to find compilations of that data  
21 is what's right here in this proceeding and  
22 that's it?

23 MR. CROSS: Yes.

24 ALJ WISSLER: Thank you.

25 MS. BAKNER: Your Honor, there's a  
(STORMWATER ISSUE)

1 very good reason for that. The reason why <sup>2540</sup>  
2 this data was recovered was specifically for  
3 the permit application because we needed to  
4 know what all the sources of water were in the  
5 area and how they interacted with each other.  
6 So that was the purpose of collecting the  
7 data.

8 In terms of the operation of the  
9 system, especially with the old permit, there  
10 was never any reason to care how much water  
11 there was in the creek because they  
12 essentially just used as much water as they  
13 wanted. We knew that the issue of base flows  
14 in the creek would become quite an issue in  
15 this proceeding, or presumed it would, and  
16 that's why we collected this data all those  
17 years ago.

18 ALJ WISSLER: But you have records of  
19 water usage; you have that?

20 MR. CROSS: That's correct.

21 ALJ WISSLER: Where is that? Does  
22 that get filed with the State?

23 MR. CROSS: It gets filed with the  
24 County Health Department. An administrator --  
25 Dean Pallen was here earlier from the Ulster  
(STORMWATER ISSUE)

1 County Health Department. It gets filed with <sup>2541</sup>  
2 the County Health Department. I'm not sure  
3 which gentleman now, because they have changed

4 people down there just recently; but it's  
5 filed with them, a record is, I believe it's  
6 once a month.

7 ALJ WISSLER: Within the DEIS or  
8 anyplace, is there a compilation of that  
9 historical data, the water usage out of the  
10 Pine Hill Water Company?

11 MR. CROSS: Well, as, I believe Al  
12 stated, it was done by Dean Gitter, and it's  
13 also been continued through by the Town.

14 ALJ WISSLER: I don't mean that. I  
15 mean if reports are getting filed on an annual  
16 basis with the County Department of Health?

17 MR. CROSS: Yeah, each day is listed,  
18 not a monthly figure. Each day is  
19 individually listed.

20 MS. BAKNER: It would not be  
21 comparable data, your Honor.

22 ALJ WISSLER: I'm not talking Table 1  
23 and 2 anymore. I would like to know what, if  
24 any, trend there is with respect to water  
25 usage out of Pine Hill based upon historic  
(STORMWATER ISSUE)

1 usage records. Is it going up? Is it going<sup>2542</sup>  
2 down? Is it flat? Does it fluctuate? what?  
3 That would be helpful to me.

4 MR. CROSS: I think you'll find if you  
5 look back, a lot of it was before repair work,  
6 and right now we're looking at repairing and  
7 completing --

8 ALJ WISSLER: Leakage within the

9 system, but that is a question that I'll tell  
10 everybody I've got. I'll be happy if there's  
11 somebody here that could answer that.

12 MR. DUNN: Jack Dunn, New York State  
13 Health Department. We can call Ulster County  
14 Health Department and have those monthly  
15 operation reports provided for the last  
16 several years.

17 ALJ WISSLER: That would be great.

18 MR. GERSTMAN: Logistically it will be  
19 provided to the Judge?

20 ALJ WISSLER: I'll take it in, and it  
21 will be an Office of Hearings Exhibit, and  
22 I'll make copies for everybody.

23 MS. BAKNER: The next issue I would  
24 like Mary Beth Bianconi to address, if you  
25 could.

(STORMWATER ISSUE)

2543

1 MS. BIANCONI: There was a comment  
2 made by Mr. Habib about the method through  
3 which to determine how much water there is in  
4 any one of the given spring or stream  
5 resources. In an older version of the  
6 engineering reports, there was a formula that  
7 was provided that referenced the infamous  
8 Table 1A for Bonnie View Springs and  
9 referenced the rows, and said add Row A, to  
10 Row B to get Row C, or whatever those letters  
11 were.

12 I would actually like to have  
13 Mr. Trader address what the correct  
14 calculation is. We made a calculation error in



15 doing that. We used the wrong rows. That was  
16 recognized, and there was documentation  
17 submitted back to DEC describing what that  
18 change was, and in the current DEIS, the  
19 correct calculation is provided.

20 MR. TRADER: The correct calculation  
21 to determine the Bonnie View Springs  
22 production would be to add the Bonnie View  
23 side ditch, which is Row D; water flowing  
24 through the Pine Hill water supply meter,  
25 which is Row E; and the Pine Hill water supply  
(STORMWATER ISSUE)

2544

1 overflow, which is Row F.

2 ALJ WISSELER: Do these calculations  
3 exist in the DEIS; what you just did?

4 MR. TRADER: The results are.

5 ALJ WISSELER: Where is that? Is the  
6 formula in there?

7 MS. BIANCONI: In the engineering  
8 report which is in Volume 3, Appendix 7, the  
9 engineering --

10 MR. RUZOW: Your Honor, you're looking  
11 at 51.

12 MR. TRADER: 51B.

13 MS. BIANCONI: -- describes how those  
14 figures were added together. In addition, in  
15 an older version of the EIS, there was -- a  
16 factor had been used on the math to figure out  
17 the flow from Bonnie View Springs -- a factor  
18 had been used to provide what we would  
19 consider a low flow measurement because during

20 that time period when the measurements were  
21 being taken, it was a period of very heavy  
22 rains -- not heavy rains, but it was certainly  
23 not a dry period.

24 So in order to make some kind of an  
25 accounting for lower flow periods, a factor  
(STORMWATER ISSUE)

1 was used. So in some of the older documents,<sup>2545</sup>  
2 you see the little equation and you see a  
3 factor of, I believe it's .7 was used. That  
4 formula was then dropped because we had ended  
5 up with a dry period where we could do actual  
6 monitoring of low flows, which is more  
7 accurate than using a factor. So that was  
8 another concern brought up by Mr. Habib was  
9 that formula. That formula is part of an old  
10 version of the EIS. The new version of the  
11 EIS that you're looking at, you won't see that  
12 factor in there.

13 ALJ WISSLER: That's not in this --

14 MS. BIANCONI: You will not see it in  
15 there.

16 ALJ WISSLER: 51B?

17 MS. BIANCONI: Right.

18 MR. GERSTMAN: When you say the new  
19 version -- new version of the EIS, we're  
20 talking about the Crossroads 51 series?

21 MS. BIANCONI: Yes.

22 ALJ WISSLER: So that I'm clear here,  
23 Mr. Habib used a formula here?

24 MR. TRADER: That formula is not used  
25 in the DEIS.

1 MS. BAKNER: That formula was used in  
2 connection with the Pine Hills water supply  
3 permit modification, and it was then corrected  
4 prior to the issuance of the revised permit  
5 modification in September 2002. To be clear,  
6 it's not a part of the record in this case.  
7 It's a part of the record in the Pine Hill  
8 Water Supply Permit Modification. We can  
9 certainly get your Honor a copy of that for  
10 the record. It's not anything that we have  
11 here today.

12 ALJ WISSLER: I understand that. If I  
13 understand Ms. Bianconi to say that there was  
14 a formula to which this constant was applied  
15 in order to take account of low flow period,  
16 which you didn't have because you had a pretty  
17 wet flow period. So if you multiplied it  
18 times that constant.

19 MR. RUZOW: The sampling period over  
20 which you had data included both a wet period  
21 and dryer periods?

22 MS. BIANCONI: Right, or what we'll  
23 call an average period. It wasn't truly wet.

24 ALJ WISSLER: Can you take me to the  
25 data you're talking about?  
(STORMWATER ISSUE)

1 MS. BIANCONI: The horrible Table 1A.

2 MR. TRADER: Up to April of 2001, I  
3 believe they used the .7 multiplier.

4 ALJ WISSLER: Where is it in the

5 materials?

6 MS. BAKNER: It is in the DEIS. This  
7 is Volume 2, Appendix 3.

8 MR. RUZOW: You want to know where in  
9 the DEIS?

10 ALJ WISSELER: The numbers that you  
11 were talking about, those are now --

12 MS. BAKNER: They're now correct.

13 MS. BIANCONI: -- corrected.

14 ALJ WISSELER: They are now where?

15 MS. BAKNER: In the DEIS, Table 1A.

16 MR. GERSTMAN: Are you talking about  
17 Appendix -- volume 2, Appendix 3 for which  
18 table now?

19 MS. BAKNER: For Table 1A.

20 ALJ WISSELER: volume 2?

21 MR. RUZOW: Appendix 2 --

22 ALJ WISSELER: Volume 2.

23 MR. RUZOW: volume 2, I'm sorry.

24 MS. BAKNER: Appendix 2.

25 ALJ WISSELER: In Volume 2.  
(STORMWATER ISSUE)

□

1 MR. RUZOW: In volume 2, correct. In <sup>2548</sup>  
2 the wildacres Resort tab, Table 1A appears in  
3 its correct form. The mistaken Table 1A  
4 appeared --

5 ALJ WISSELER: why does it appear in  
6 wildacres?

7 MR. RUZOW: It's a photocopy error.

8 ALJ WISSELER: The table is for Big  
9 Indian?

10 MS. BAKNER: That's right. If you  
Page 196

11 look at page 14 of the conceptual design  
12 report.

13 MS. BIANCONI: Page 14 describes  
14 Bonnie View Springs and the monitoring of  
15 Bonnie View Springs.

16 ALJ WISSLER: Right here.

17 (Indicating)

18 MS. BIANCONI: There you go. When you  
19 get down here, it says a low flow occurred,  
20 and it gives you the values. The values are  
21 correct, and they're from the correct table.  
22 That's the only -- Mr. Habib raised a concern  
23 about differences between previous versions  
24 and current versions, and we're admitting to a  
25 calibration error, and we're admitting to a  
(STORMWATER ISSUE)

1 math error which had been fully corrected, and <sup>2549</sup>  
2 we want to make sure it was clarified.

3 ALJ WISSLER: Your instruments?

4 MS. BIANCONI: His instruments, my  
5 math error.

6 MS. BAKNER: For the record, they were  
7 corrected in the permit modification.

8 MR. GERSTMAN: Which is not in the  
9 record.

10 MR. RUZOW: Right, it's a separate  
11 proceeding.

12 MS. BAKNER: Your Honor, we'll provide  
13 you the letters that were sent to Mr. Ciesluk  
14 correcting the record in the other proceeding  
15 so it's a little bit clearer and easier to

16 follow.

17 ALJ WISSLER: Yes, that would be  
18 helpful. Thank you.

19 MS. BAKNER: Your Honor, there's one  
20 more thing we would like to clarify.  
21 Mr. Habib made the comment that you could not  
22 use an 18-gallon tub, or a bucket which is  
23 five gallons as I understand it, to take the  
24 one flow that was measured because it would  
25 just be too much.

(STORMWATER ISSUE)

1 Sam, can you just address that again, <sup>2550</sup>  
2 just so we're sure we have that clear on the  
3 record.

4 DR. GOWAN: Yes, that was the Railroad  
5 Spring. I'm sure you remember walking up.  
6 That was up on the hill above Bonnie View  
7 Springs, and it was coming out of the bank and  
8 flowing down the ditch, quite a good,  
9 substantial flow when we were up there. We  
10 measured that with the flowmeter. You  
11 couldn't measure that with the bucket because  
12 you couldn't get a stream.

13 ALJ WISSLER: This is the same  
14 flowmeter you used for Version 2 or Version 1?

15 DR. GOWAN: It's the same flowmeter.

16 ALJ WISSLER: What is the manufacturer  
17 of that flowmeter?

18 MR. TRADER: Global Water.

19 ALJ WISSLER: Is there a model number?

20 MR. TRADER: It does. We can get that  
21 to you.

22 ALJ WISSLER: I'd like to have that.  
23 Is there any instructions with respect to the  
24 calibration of that instrument?

25 MR. TRADER: Yes.  
(STORMWATER ISSUE)

1 ALJ WISSLER: Is it a calibration that <sup>2551</sup>  
2 you can do in-house, or does it need to be  
3 sent out?

4 MR. TRADER: In-house.

5 MS. BAKNER: We'll be happy to bring  
6 the meter in.

7 ALJ WISSLER: Is there some kind of  
8 maintenance log you guys maintain with respect  
9 to that meter when you calibrate it, when you  
10 service it; anything like that?

11 MR. TRADER: You're supposed to change  
12 that one value every time you make a battery  
13 change, and in this case it was not.

14 MS. BAKNER: We'll be happy to bring  
15 the flowmeter next time.

16 ALJ WISSLER: And whatever manual you  
17 have with respect to it.

18 MS. BAKNER: That would be great.

19 Your Honor, if we can have a second,  
20 we want to check to make sure we have  
21 responded to all of Mr. Habib's questions  
22 because he is only available today.

23 MR. GERSTMAN: Judge, if we might, we  
24 would like to -- after we receive the  
25 response, we would like to be able to submit a  
(STORMWATER ISSUE)

1 written response to some of the comments if we  
2 could.

3 ALJ WISSLER: Not a problem.

4 (4:52 - 4:55 P.M. - BRIEF RECESS  
5 TAKEN.)

6 MS. BAKNER: Your Honor, we do have  
7 two more things we would like to follow up on.  
8 The first one is that there was a comment made  
9 by Mr. Habib that the usage flow -- usage  
10 fluctuates kind of arbitrarily, and we just  
11 want to address that again for the record so  
12 we're sure it's absolutely clear.

13 So, Steve, if you could address that.

14 MR. TRADER: I think what he was  
15 saying was that normal usage from the Pine  
16 Hill system would fluctuate, higher in the  
17 summer, lower in the winter. While that's  
18 true, we weren't measuring that, what we were  
19 measuring was the instantaneous flow through  
20 the meter. The meter has -- I think it's a  
21 three-inch diameter. We have a four-inch pipe  
22 that feeds into that, so there's a  
23 restriction, there's only a certain amount of  
24 water that's going to go through that. I  
25 think that's why you have a consistent 113,  
(STORMWATER ISSUE)

□

1 113.5, 113.4 gallons per minute three months  
2 in a row. It's very similar. That's not a  
3 water usage, that simply what's going through  
4 that part of the water system. You have to  
5 add in the overflow and the side ditch to get  
6 the spring flow.

2553



7 ALJ WISSLER: In particular, you're  
8 looking at the Version 2E, Pine Hill water  
9 supply meter, that one?

10 MR. TRADER: Yes. And if you jump  
11 over to 2001, January, February, March, you  
12 see a lot of fluctuation.

13 ALJ WISSLER: And all these numbers in  
14 Table 2 were what you had in Table 1, but you  
15 multiplied it by that factor, 2.4?

16 MR. TRADER: No, not those numbers.

17 MS. BAKNER: That meter is in the  
18 pipe.

19 MR. TRADER: That was installed by the  
20 Pine Hill Water Company.

21 ALJ WISSLER: So January 18th and May  
22 22nd, 2000, you have a zero reading?

23 MR. TRADER: Yes, it wasn't actively  
24 filling the reservoir. It was all going out  
25 the overflow. The meter had shut. It was not  
(STORMWATER ISSUE)

1 actively filling anymore, so all the spring <sup>2554</sup>  
2 flow goes out the side pipe before it goes  
3 into the reservoir.

4 MS. BIANCONI: It's actually valved.  
5 So essentially -- the water is always present  
6 in the springs. This is a gravity-fed system.  
7 The water is always present there, and whether  
8 you use it or not, it's either going to come  
9 to the pipe or it's going to end up on the  
10 ground. One way or another, the water is  
11 always present, and it's present on a pretty

12 continuous basis all the time, all year-round.  
13 And that's because it's a spring, and that's  
14 what springs do. The water is there all the  
15 time.

16 When water is collected in the  
17 collection box in the spring, it goes through  
18 a series of pipes which goes into one pipe, a  
19 four-inch PVC pipe. At the end of that four  
20 inch PVC pipe right when it goes into the  
21 treatment building, it narrows down to a  
22 three-inch pipe. In that three-inch pipe,  
23 there's a meter, that's also a valve. There's  
24 a float in the reservoir over here. When it  
25 hits a low level, this valve opens, and as  
(STORMWATER ISSUE)

1 much water as can possibly be delivered  
2 through that pipe, goes through the system,  
3 gets treated and goes into that reservoir.

2555

4 when the reservoir level rises up to  
5 the high level alarm, sends a signal back,  
6 this valve now closes. Any water that's  
7 present -- water is constantly present, it's  
8 constantly available -- is going to have to go  
9 somewhere. It's either going to go all over  
10 the ground, this is what they call the side  
11 ditch because it just kind of ends up there,  
12 or it goes out an overflow pipe that's  
13 actually on the spring side of the meter -- of  
14 the valve.

15 MR. RUZOW: I think we saw that.

16 ALJ WISSLER: We did.

17 MS. BIANCONI: So essentially, that's  
Page 202

18 why it's possible to have zero or 113, because  
19 113 is the amount of water that can fit  
20 through a three-inch pipe, given the  
21 characteristics of that water through the  
22 three-inch meter. But zero is simply the  
23 meter is sitting on the other side of the  
24 valve, the valve is closed.

25 ALJ WISSLER: And pressure which is  
(STORMWATER ISSUE)

2556

1 just gravity?

2 MS. BIANCONI: Exactly. Water is  
3 always present. You're either drawing it or  
4 not drawing it, but the water is always  
5 present. That's why you can have that.

6 But when you look -- a related point  
7 Teresa wanted us to make -- you just saw  
8 this.

9 ALJ WISSLER: Yes.

10 MS. BIANCONI: Where these numbers  
11 come from, they were all from those records  
12 you were asking Supervisor Cross about.  
13 That's where these came from. They were  
14 provided to the investigator at the Public  
15 Service Commission. They're daily values for  
16 use that the Pine Hill Water Company, and now  
17 the Town, maintains.

18 And how they get these numbers is they  
19 go -- that meter has a little reader on it  
20 with numbers on it. It's a totalizer. If you  
21 go at 7 o'clock in the morning today, there's  
22 going to be a value on that. In the logbook,

6-25-04z

23 they write down the value. They go back the  
24 next day at 7 o'clock in the morning, 24-hour  
25 period has gone by, they write down the next  
(STORMWATER ISSUE)

1 number. They can simply figure out how much<sup>2557</sup>  
2 water went through by subtracting, doing the  
3 math.

4 So that's where all of these values  
5 come from, but they're not the same values --  
6 when we say 113 gallons of water went through  
7 at this particular time of day, they're not  
8 necessarily related to these two. This number  
9 is how many times did the value open and let  
10 113 gallons of water go through and how many  
11 times it closed. That's based on system  
12 demand.

13 So that, I think, explains a couple  
14 things; number one, is why it's possible to  
15 have zero and 113, yet see fluctuations in  
16 these values. It also explains where these  
17 numbers come from. Basically every day the  
18 operator goes a certain time of day. He tries  
19 to go within an hour or two --

20 ALJ WISSLER: But the numbers on that  
21 table are obviously not the numbers on this  
22 table? (Indicating)

23 MS. BIANCONI: Exactly right.

24 ALJ WISSLER: We're looking at two  
25 different things?  
(STORMWATER ISSUE)

1 MS. BIANCONI: Those are flow, this is<sup>2558</sup>  
2 use, exactly. And use data is available from  
Page 204

3 the County Health Department.

4 MS. BAKNER: Your Honor, I think that  
5 addresses everything we needed to address in  
6 response to Mr. Habib. I just want to  
7 emphasize that we have rather a lot to say in  
8 response to Mr. Schaedle, and we'll be happy  
9 to wait and do that another time.

10 ALJ WISSLER: Mr. Gerstman, any  
11 further response -- you intend to put in  
12 writing and make an exhibit prior to the close  
13 of the record here?

14 MR. GERSTMAN: Yes, Judge, and I'll  
15 come up with, hopefully, a schedule after we  
16 get the transcripts where we'll be able to do  
17 that.

18 ALJ WISSLER: Then at this point, we  
19 are going to be adjourned for the day, and we  
20 will reconvene here on June the 29th.

21 (5:02 P.M. - WHEREUPON, THE ABOVE  
22 PROCEEDINGS ADJOURNED FOR THE DAY.)

23  
24  
25

(STORMWATER ISSUE)

2559

1

2

C E R T I F I C A T I O N

3

4

5

6

7

I, THERESA C. VINING, hereby certify  
and say that I am a Shorthand Reporter and a Notary  
Public within and for the State of New York; that I  
acted as the reporter at the Issues Conference

6-25-04z

8 proceedings herein, and that the transcript to which  
9 this certification is annexed is a true, accurate  
10 and complete record of the minutes of the  
11 proceedings to the best of my knowledge and belief.

12

13

14

THERESA C. VINING

15

16

17 DATED: August 27, 2004

18

19

20

21

22

23

24

25

□