

1 ISSUES CONFERENCE VOLUME 11

2

3 In the Matter of the Applications of

4 CROSSROADS VENTURES, LLC

5

6 for the Belleayre Project at Catskill Park
7 for permits to construct and operate pursuant to
8 the Environmental Conservation Law

9

10
11 Margaretville Fire House
12 Margaretville, New York
13 June 29, 2004

14 B E F O R E :

15 HON. RICHARD WISSLER,
16 Administrative Law Judge

17 A P P E A R A N C E S :

18 WHITEMAN, OSTERMAN & HANNA, LLP.
19 Attorneys for Applicant,
20 CROSSROADS VENTURES, LLC
21 One Commerce Plaza
22 Albany, New York 12260

23 BY: DANIEL RUZOW, ESQ., of Counsel
24 BY: TERRESA M. BAKNER, ESQ., of Counsel

25

26 NEW YORK STATE DEPARTMENT
27 of Environmental Conservation
28 Region 3
29 21 South Putt Corners Road
30 New Paltz, New York 12561

31 BY: VINCENT ALTIERI, ESQ., of Counsel
32 Regional Attorney

33

□

1

2 LAW OFFICE OF MARC S. GERSTMAN
3 Attorneys for CATSKILL COALITION,
4 ROBINSON SQUARE
5 313 Hamilton Street
6 Albany, New York 12210

6-29-04-crossroads.txt

5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

BY: MARC S. GERSTMAN, ESQ., of Counsel
BY: CHERYL A. ROBERTS, ESQ., of Counsel

□

1	CPC PRESENTERS	2562
2		PAGE
3	MERNA HALL	2568
4	AARON BENNETT	2724
5	ERIK KIVIAT, Ph.D.	2739
6	THOMAS ALWORTH	2790
7		
8		
9	APPLICANT'S PRESENTERS	
10		

6-29-04-crossroads.txt

11 KEVIN FRANKE 2654, 2777
 12 RICHARD FUTYMA 2776
 13 CHRISTON ROBBINS 2777
 14 ALBERT FRISENDA 2786

15

16 DEC
 17 PRESENTERS

18 JEFFREY RIDER 2690

19 .

20

21

22

23

24

25

□

2563

1 CPC
 2 EXHIBITS

3

4

65 CROSSROADS VENTURES LLC 2567
 DRAFT EIS APPENDIX 9 -
 REFERENCES FROM MR.
 GARABED

6

66 TOXICITY OF ACIDIFIED 2567
 CHITOSAN FOR CULTURED
 RAINBOW TROUT -
 AQUACULTURE MAGAZINE -
 NOVEMBER 7, 1999

9

67 HARD COPY OF POWER POINT 2568
 PRESENTATION "FOREST
 FRAGMENTATION AND LAND
 PARCELIZATION IN THE
 CATSKILL MOUNTAINS:
 DOCUMENTING THE PAST &
 PROJECTING THE FUTURE
 BASED ON EMPIRICAL
 RELATIONS"

10

11

12

13

14

67A CD OF POWERPOINT 2569
 PRESENTATION MARKED AS
 CPC 67

15

16
17
18
19
20
21
22
23
24
25

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21

68	"THE EFFECTS OF POPULATION GROWTH ON TIMBER MANAGEMENT AND INVENTORIES IN VIRGINIA" - DAVID N. WEAR	2653	
69	*TO BE MARKED IN THE FUTURE*		
70	RESUME OF AARON BENNETT	2722	
71	THE DEC POLICY SYSTEM "ADOPT-A-NATURAL RESOURCE	2723	
72	PHOTOCOPY OF TWO COLOR PHOTOGRAPHS "VIEW OF PANTHER, GIANT LEDGE, WITTENBERG & CORNELL MOUNTAINS FROM SIMON'S ROCK AND ALSO VIEW OF SLIDE AND BALSAM MOUNTAINS FROM SIMON'S ROCK	2724	2564
73	"MONITORING BIRD POPULATIONS BY POINT COUNTS"	2736	
74	"IMPORTANT BIRD AREA TECHNICAL COMMITTEE MEMBERS SECOND ROUND OF SITE IDENTIFICATIONS 2003 - 2004	2736	
APPLICANT'S EXHIBITS			
57	"THE EMPIRE STATE'S FORESTS -- TRENDS IN A ROBUST RESOURCE"	2645	
68	"POTENTIAL IMPORTANT BIRD AREA MAP - 6/28/04	2653	

22
23
24
25

2565

1 (June 29, 2004)

2 (9:32 A.M.)

3 P R O C E E D I N G S

4 ALJ WISSLER: Today is June 29th, the
5 Issues Conference in the matter of the
6 applications of Crossroads Ventures, LLC is
7 continued.

8 May I have the appearances of counsel
9 for the record.

10 MR. RUZOW: For the Applicant, Dan
11 Ruzow and Teresa Bakner.

12 MR. ALTIERI: Vincent Altieri for
13 staff.

14 MR. GERSTMAN: Marc Gerstman, Cheryl
15 Roberts for the Catskill Preservation
16 Coalition.

17 ALJ WISSLER: Forest impacts, I
18 believe, is the issue for this morning.

19 Anything preliminarily before we
20 begin?

21 MR. GERSTMAN: Judge, we had -- there
22 have been some requests for documents from
23 Mr. Garabed concerning the location of various
24 citations in the DEIS to the volume of the
25 detention ponds. He has provided that here
(FOREST IMPACTS ISSUE)

2566

1 for me. I'd like to add it to our exhibit
2 list. Also attached is an Article entitled,
3 "Toxicity of Acidified Chitosan for Cultured
4 Rainbow Trout." It's from Aquaculture, a
5 magazine, November 7th, 1999. I would like
6 those marked and entered as exhibits.

7 ALJ WISSLER: It will be CPC 65 and
8 66. 65 will be Mr. Garabed's references?

9 MR. GERSTMAN: Yes.

10 ALJ WISSLER: And 66 will be the
11 article with respect to chitosan.

12 ("CROSSROADS VENTURES LLC DRAFT EIS
13 APPENDIX 9 - REFERENCES FROM MR. GARABED"
14 RECEIVED AND MARKED AS CPC EXHIBIT NO. 65,
15 THIS DATE.)

16 ("TOXICITY OF ACIDIFIED CHITOSAN FOR
17 CULTURED RAINBOW TROUT" - AQUACULTURE MAGAZINE
18 - NOVEMBER 7, 1999 RECEIVED AND MARKED AS CPC
19 EXHIBIT NO. 66, THIS DATE.)

20 ALJ WISSLER: Mr. Gerstman, is this
21 presentation an exhibit that you're going to
22 want to put in?

23 MR. GERSTMAN: Yes, it is, Judge, I
24 was going to do that.

25 ALJ WISSLER: A handout that we'll
(FOREST IMPACTS ISSUE)

□

2567

1 follow along?

2 MR. GERSTMAN: Yes. If your eyesight
3 is really good, you'll be able to follow along
4 on the handout, and we've also burned it on
5 CD.

6 ALJ WISSLER: Do we want to enter that
Page 6

7 before we begin?

8 MR. GERSTMAN: Yes, Judge.

9 ALJ WISSLER: So 67 is what?

10 MR. GERSTMAN: The hard copy.

11 ALJ WISSLER: Of?

12 MR. GERSTMAN: The Power Point
13 entitled, "Forest Fragmentation and Land
14 parcelization in the Catskill Mountains."
15 would you like to make it 67A as the CD?

16 ALJ WISSLER: Doesn't matter. 67A it
17 is.

18 (HARD COPY OF POWER POINT
19 PRESENTATION "FOREST FRAGMENTATION AND LAND
20 PARCELIZATION IN THE CATSKILL MOUNTAINS:
21 DOCUMENTING THE PAST & PROJECTING THE FUTURE
22 BASED ON EMPIRICAL RELATIONS" RECEIVED AND
23 MARKED AS CPC EXHIBIT NO. 67, THIS DATE.)
24 (CD OF POWERPOINT PRESENTATION MARKED
25 AS CPC 67 RECEIVED AND MARKED AS CPC EXHIBIT
(FOREST IMPACTS ISSUE)

1 NO. 67A, THIS DATE.)

2568

2 ALJ WISSLER: Mr. Gerstman.

3 MR. GERSTMAN: Thank you, Judge.

4 Judge, I'd like to introduce you to
5 Professor Merna Hall. Her curriculum vitae is
6 attached to the Catskill Preservation
7 Coalition Petition for Party Status as
8 Exhibit M.

9 Professor Hall, would you please tell
10 the Judge a little about your background.

11 PROFESSOR HALL: I'm a professor in

12 the faculty of environmental studies at the
13 State University of New York's College of
14 Environmental Science and Forestry. That's a
15 half-time appointment. My other half-time, or
16 I like to say three-quarter's time, is doing
17 consulting work principally in the area of
18 spatial ecology and land use change modeling.

19 A lot of the work I've engaged in over
20 the past three years has been primarily
21 looking at land use change in the tropics,
22 working with the Nature Conservancy and
23 Winrock International in their effort to do
24 science on the establishment of carbon
25 sequestration projects. Some of the parties
(FOREST IMPACTS ISSUE)

□

1 who are already involved in that include a ²⁵⁶⁹
2 number of major American corporations; so
3 that, I hope, explains a little bit who I am.

4 I teach two courses at the University.
5 One is in geographic modeling, which is the
6 kind of work that you'll see applied here
7 today, and the other is in urban ecology.

8 MR. GERSTMAN: Professor Hall, have
9 you written any publications or have any
10 articles published in any professional
11 journals?

12 PROFESSOR HALL: I have a cover story
13 in Bioscience Magazine this last February in
14 which my work on the change in glaciers'
15 extent and vegetation in Glacier National Park
16 as a consequence of global climate change was
17 featured.

18 In addition, I have a number of
19 articles on land use change, particularly with
20 respect to agriculture in the tropics. And I
21 have numerous reports on the website, on
22 various websites that are about to be
23 publications on our work in Latin America, as
24 well as the work that we are just completing
25 now here in the Catskills and in the Thames
(FOREST IMPACTS ISSUE)

2570

1 watershed in Connecticut. It's a watershed
2 that runs north of New Haven up into
3 Massachusetts. It's part of this effort.

4 MR. GERSTMAN: For a complete list of
5 publications, I refer you to her CV which is
6 attached to the CPC petition.

7 Professor Hall, you mentioned the term
8 "spatial ecology." Could you briefly tell us
9 what that is.

10 PROFESSOR HALL: Well, ecology, for
11 those of you who don't know, is the study of
12 the interaction of organisms with the biotic,
13 which would be the plants, and other organisms
14 in their environment and the abiotic
15 environment, which is the meteorological
16 system and the underlying rock structure,
17 et cetera. In particular, I focus on
18 human-dominated ecosystems because I'm very
19 interested in the interaction of humans and
20 the environment, both their impacts on the
21 environment and environmental impacts on
22 humans.

23 Spatial means that we are able to
24 analyze these relationships, looking at
25 landscapes using what are called Geographic
(FOREST IMPACTS ISSUE)

1 Information Systems and computer models. I do²⁵⁷¹
2 my modeling in Fortran, which some people say
3 is an outdated language, but very efficient
4 for modeling and understanding the
5 interactions of all of these components of an
6 ecosystem, including humans.

7 So what spatial modeling -- spatial
8 ecology allows us to do is not just look at
9 one place isolated, but to look at the impacts
10 of surrounding areas on that, on each place in
11 the landscape. I hope that adequately
12 describes it.

13 MR. GERSTMAN: Are you familiar with
14 the Draft Environmental Impact Statement for
15 the project that we're here to talk about?

16 PROFESSOR HALL: Yes, I am.

17 MR. GERSTMAN: Have you prepared a
18 Power Point presentation concerning the issues
19 of forest fragmentation and land parcelization
20 in the Catskills?

21 PROFESSOR HALL: Yes, I have.

22 MR. GERSTMAN: Was that study prepared
23 especially for the purpose of reviewing this
24 project?

25 PROFESSOR HALL: No, it was not.
(FOREST IMPACTS ISSUE)

1 MR. GERSTMAN: When did you start the²⁵⁷²
2 work that was done for that study?

3 PROFESSOR HALL: It was the autumn of
4 2002, I believe. I'm losing track of time.
5 Yes, I think it was 2002, October.

6 MR. GERSTMAN: The Power Point is here
7 if you would like to begin and do that
8 presentation.

9 PROFESSOR HALL: This work I'm about
10 to present to you was funded by the USDA
11 Forest Service out of their growing concern
12 for the loss of the working forested landscape
13 in the United States, and that means --
14 relates to two factors. One, is that over the
15 period from 1992 to 1997, 10 million acres of
16 private forest land were lost to development.

17 In addition to that, they're concerned
18 because the remaining forest land is becoming
19 increasingly fragmented and parcelized. By
20 parcelization, we mean there are more and more
21 owners of forest land, and there are -- so
22 each parcel becomes a smaller -- becomes
23 smaller units, and it makes it difficult for
24 the forest industry to continue in rural areas
25 because there is less timber brought to the
(FOREST IMPACTS ISSUE)

□

1 mills. New forest owners, people who own
2 typically 10 to 17 acres are no longer
3 interested in forestry. They're generally
4 interested in having the forest around them.

5 So parcelization is causing a lot of
6 concern. It's one of the four major concerns
7 right now listed by the Forest Service about

2573

8 what's going to happen to sustaining the
9 forest and timber industry and wood products
10 industry in the United States.

11 The other issue is fragmentation. You
12 see two different images. The upper one where
13 you see clear-cutting of forest, we consider
14 this still a forest. Its use is forest. It
15 might not seem like a forest to some who are
16 concerned about conservation, but it is
17 nonetheless forest in terms of its use. The
18 lower image is not a forest. The forest is no
19 longer used as a forest. It's been converted,
20 in this case, to a subdivision.

21 These are the two big issues that the
22 Forest Service is concerned about, and there
23 is a strong belief that parcelization is the
24 first step leading to fragmentation. I hope
25 I've made it clear why that's a concern, but
(FOREST IMPACTS ISSUE)

□

1 basically it's because it's just harder and ²⁵⁷⁴
2 harder to sustain the mills and to keep
3 providing timber to feed them. (Indicating)

4 Some of the potential consequences of
5 forest fragmentation, as I said, are more than
6 just the loss of the working forested
7 landscape. Of course, this is the Forest
8 Service's main concern because it makes for
9 severe economic effects. It also causes the
10 need to buy more timber from outside the US.

11 Third, of course is an issue that I
12 know you're all dealing with, is the increase
13 in runoff from impervious surfaces, and water

14 turbidity from soil erosion. Many people in
15 this area were very interested in our study,
16 especially those from New York City because of
17 the impacts it might have on water quality for
18 the City. (Indicating)

19 Loss of wildlife habitat, another
20 concern, contribution to CO2 emissions from
21 loss of forest, and making it more difficult
22 for the US to meet some kind of carbon
23 balance. And finally, more so in the west
24 than here, but an issue, again, of very high
25 concern to the Forest Service is that -- the
(FOREST IMPACTS ISSUE)

2575

1 more the forest becomes fragmented with
2 development, it requires more and more
3 initiative and dollars and manpower to fight
4 forest fires to protect homes. (Indicating)

5 MR. GERSTMAN: Based upon your review
6 of the project that's the subject of this
7 proceeding, can you identify any of those
8 particular issues of concern or consequences
9 that have importance in connection with the
10 development of these parcels?

11 PROFESSOR HALL: Locally you mean?

12 MR. GERSTMAN: Yes.

13 PROFESSOR HALL: Definitely the first
14 one is, I think, very important. The local
15 forest industry and the foresters we have
16 spoken to here are very concerned about this
17 issue. Also, of course locally, are the
18 issues related to water, Nos. 3 and 4. 5,

19 loss of wildlife habitat is also a local
20 concern, as this is one of the last forested
21 landscapes in the northeast, as I'll show you
22 in some pictures that are to follow.

23 (Indicating)

24 MR. GERSTMAN: Judge, as we move
25 forward through the Issues Conference, you
(FOREST IMPACTS ISSUE)

1 will find, and certainly through our briefing,²⁵⁷⁶
2 we expect to argue that the issues that you're
3 hearing about today also have implications in
4 connection with secondary growth. The
5 Important Bird Areas, which you have already
6 heard about from Dr. Burger, cumulative
7 impacts, aquatic habitat, and several others,
8 and we will make the connections as we go
9 forward, and also in our briefing.

10 PROFESSOR HALL: The challenge really
11 for the country and for communities is that
12 usually by the time you see forest
13 fragmentation, it's usually too late to do
14 anything about it. Secondly, that maintaining
15 land in forest is seldom possible unless the
16 ability of the forest to generate revenue is
17 also maintained.

18 So there is a lot of concern about tax
19 implications for forest owners, et cetera; and
20 that once a threshold is passed where people
21 find that they can make more money off of
22 selling the land than maintaining it in
23 forestry and selling timber that -- any
24 development in a region tends to accelerate

25 the process of people selling off forest land
(FOREST IMPACTS ISSUE)

2577

1 for other uses.

2 In many areas, it will require the
3 support of urban populations to maintain
4 working forests. By that, we mean that if
5 communities are willing to come up with
6 different kinds of incentives to get people to
7 build and reinvest in urban infrastructure in
8 order to save our wild lands, this is probably
9 what's going to be necessary to stop what we
10 call urban sprawl into both our agriculture
11 and forest lands.

12 MR. GERSTMAN: Let me interrupt you
13 for one second. We've heard from the
14 Coalition of Watershed Towns concerning their
15 perception that the Forest Preserve in the
16 Memorandum of Agreement in connection with the
17 New York City watershed presents certain
18 constraints on the ability of local developers
19 and development to take place in the local
20 landscape. What I believe is one of the
21 things that we're suggesting is that the
22 indirect benefits and the direct benefits of
23 the forest, plus the working of the MOA,
24 provide this area with an opportunity,
25 essentially the golden egg as Mr. Alworth has
(FOREST IMPACTS ISSUE)

2578

1 previously identified it, to have a
2 sustainable environmental development.

3 In addition, in connection with the

4 first point, in terms of the time that you see
5 forest fragmentation, it's usually too late,
6 we believe in this case where there's a
7 significant land use development that has the
8 potential to accelerate parcelization and
9 fragmentation, and in fact should be
10 identified as a significant adverse
11 environmental impact, that SEQRA requires that
12 a hard look be taken of that project, and that
13 in fact, through SEQRA, the agency, DEC and
14 the Commissioner, would be able to counter
15 that particular consequence of this project
16 with respect to forest fragmentation.

17 PROFESSOR HALL: The challenge, as we
18 see it, is as population grows and
19 concentrates, the working forests and farms
20 dwindle, and as a result of that, we have
21 parcelization, which I have explained, and
22 fragmentation, less intact forest area; and
23 many regions of the US are already approaching
24 critical threshold densities, which this
25 region is not so far.

(FOREST IMPACTS ISSUE)

2579

1 This is just to give you an idea
2 what's happening across the United States from
3 1950 to 1990. We're looking here simply at
4 the increase in dense human population.
5 Usually it is quite impressive to people when
6 they see it illustrated like this. This is
7 from the University of California at Santa
8 Barbara website. (Indicating)

9 Now, there is a theory, and various

10 investigators have been studying the effects
11 of population density on forest fragmentation
12 and the ability of areas to maintain a timber
13 extraction industry. Here we're looking at
14 New York State's population density, and from
15 that is derived this map of forestry's future.

16 So you see the areas where, because of
17 high population density, it's very unlikely,
18 areas where it's difficult and areas where
19 it's still considered probable; and if you
20 look, you can see that the Catskill region we
21 are talking about is still in the probable
22 area. That's based on population density.

23 I would like to point out, however,
24 that we do not see a clear match in the data
25 that we've examined so far between local
(FOREST IMPACTS ISSUE)

1 population growth and forest cover. We think²⁵⁸⁰
2 that in some of the areas we're looking at
3 here, the change in forest cover is actually
4 being driven by people who live outside of the
5 area, and I'll show you a slide to illustrate
6 that. (Indicating)

7 The question with respect to the
8 proposed development is do areas where
9 population is not growing rapidly, since
10 probably we could make the case that it isn't
11 happening here, still exhibit significant land
12 use change that reduces the capacity of
13 working lands? We would argue that this is --
14 I'll show you the evidence that we have

15 examined so far that would indicate that, in
16 fact, there is significant change even without
17 local population growth. It seems to be
18 driven by the predominance of ownership of
19 this land from people who do not live here.
20 (Indicating)

21 How does development that attracts
22 non-permanent residents accelerate forest
23 fragmentation and parcelization? Those are
24 questions that we're asking and I hope to
25 answer for you as we go along.
(FOREST IMPACTS ISSUE)

1 what drives parcelization? A variety²⁵⁸¹
2 of things are being investigated, and we are
3 taking this study further, and we're going to
4 actually be doing surveys of local landowners,
5 especially of land that has been parcelized,
6 to find out what has been the driving factors
7 here. But from the literature, and I have
8 numerous papers on this, some of the factors
9 that are identified are death rate. Often
10 when people pass away, they divide their land
11 up and give it to their children, and then the
12 children sell it off or if the children hold
13 on to it, they're no longer interested in
14 forestry, as it simply becomes perhaps even a
15 second home for them or a land that they just
16 hold for a long time.

17 The need to pay inheritance taxes,
18 often they're faced with that, so they sell
19 off the land for that.

20 Uncertainty about the future of
Page 18

21 forestry in their area. Often this is
22 driven -- has been driven in some studies we
23 have seen -- by people's concerns that because
24 of limitations on how they're able to use the
25 land, that they decide to sell it off. And
(FOREST IMPACTS ISSUE)

2582

1 that's often in conflict with the
2 environmental community.

3 Urbanization, simply just sprawling
4 out into the landscape.

5 Increased income. As people have more
6 income, they often decide that they don't need
7 the land for forestry, and they will sell it
8 off or no longer use it -- certainly not for
9 timber extraction.

10 Locally higher land values is always
11 an accelerator of land sales for other uses
12 than forest. And the tax structure itself can
13 be an impediment to people staying in
14 forestry, and therefore parcelizing and
15 selling their land.

16 I guess we started our project in
17 October 2001 because this article is from
18 2002, and we saw it and took note of it. It
19 was an article in the New York Times on May
20 10th, and quite interesting, and we felt it
21 correlated a lot with the ownership data that
22 we looked at. It reads: "Utter the words
23 Delaware County at a party in Manhattan and
24 you will likely get one of two very different
25 reactions. People will either raise their
(FOREST IMPACTS ISSUE)

1 eyebrows knowingly, and indicate they would
2 prefer that their fellow New Yorkers never
3 discover it; or they will give the more
4 typical response and ask: where's Delaware
5 County? John Houshman [sic] knows. He
6 discovered this part of the Catskills in 1991
7 when he was thinking about buying a ranch in
8 Montana. I really wanted a place that was
9 secluded and had mountains and wildlife, he
10 said, but I couldn't bear the thought of only
11 being able to go to it twice a year."

12 This is just an interesting ad, of
13 course, extolling the virtues of this
14 beautiful region from the Catskill real estate
15 website; and Mr. Houshman goes on and says,
16 "Trust me, buy a home up here and within five
17 years you will be living here." This is one
18 of the -- sort of unseen forces -- although
19 lots of local people tell us they see it --
20 that's attracting people to the region, and
21 also going to drive more and more
22 parcelization of privately owned forest land.

23 Population pressures. As population
24 density increases, the difficulty of keeping
25 working forests intact increases as well, and
(FOREST IMPACTS ISSUE)

1 I showed you some slides about that earlier.
2 Some of the pressure is competition for land,
3 but most is economic and social. When you
4 reach a certain population density, there are
5 often conflicts between people who have moved

6 into the area and those who are still trying
7 to use the land for agriculture or forestry.
8 People don't like to hear chainsaws. They
9 don't like to see logging trucks. They don't
10 like to smell pigs, and so there are a lot of
11 reasons that as you get more and more people,
12 it just becomes very difficult for people to
13 continue working the land. And also the
14 prices usually -- taxes are driven up, and so
15 people are -- it's attractive to them,
16 therefore, to sell their land, either because
17 taxes become higher or because there's a good
18 market.

19 MR. GERSTMAN: Professor Hall, when
20 you talk about population density, you're
21 talking about both the actual population
22 residing in an area but also the second
23 homeowners as well, people who use their --
24 essentially the area as their recreation or
25 second home?

(FOREST IMPACTS ISSUE)

1 PROFESSOR HALL: Yes. Because this is ²⁵⁸⁵
2 a unique area where second homes is a
3 significant factor, definitely people who have
4 second homes are very much annoyed sometimes
5 by these kinds of activities.

6 MR. GERSTMAN: You include the second
7 homeowners as part of the population density
8 equation?

9 PROFESSOR HALL: Yes, although there
10 are no data on that. You can't get data that

11 tell you how many people actually, say, are
12 here on Fourth of July weekend. You can't get
13 that kind of data, but you can see it in the
14 satellite imagery, you can see that the
15 forests -- that there are more and more homes
16 or areas being cleared of forests.

17 So as I said, there's less tolerance
18 for rural land uses, et cetera. We've been
19 over most of these things. (Indicating)

20 I like this one, though, that I think
21 is quite true. There's a decision to get out
22 while the getting is good. And having grown
23 up on a farm myself and watched farmers go
24 through that where they decided to get out
25 while the getting is good is very apropos.
(FOREST IMPACTS ISSUE)

□

2586

1 MR. GERSTMAN: Let's focus for one
2 moment on the second bullet which has to do
3 with higher land prices, home sites and golf
4 courses. As you know, this project involves
5 the proposed construction of two golf courses.
6 It also involves the proposed construction of
7 some residential home sites and time shares on
8 the mountain. In your opinion, would this
9 development increase both the secondary growth
10 aspects of -- would result in secondary growth
11 and also result in higher land prices in this
12 area?

13 PROFESSOR HALL: This slide, by the
14 way, was not prepared for this conference.
15 This slide is part of our general presentation
16 and was prepared by my colleague, Mary Tyrrell

17 at Yale University. I forgot to say that this
18 project is a joint study of Yale School of
19 Forestry and SUNY's College of Environmental
20 Science and Forestry. So this was not
21 prepared just with this in mind.

22 Now let me say, most all of these
23 things are taken from the various studies that
24 we have read and are reporting on here, and
25 our principal investigator was Neil Samson,
(FOREST IMPACTS ISSUE)

1 who at the time we started, was a Weyerhaeuser²⁵⁸⁷
2 fellow at the Yale School of Forestry, and is
3 now head of the Samson Group, and for years
4 was the director of American Forests. So this
5 comes from his studies, along with Lester
6 Decouster.

7 The feeling is, with respect -- you're
8 asking me how do I relate this to the local
9 situation?

10 MR. GERSTMAN: Yes.

11 PROFESSOR HALL: First of all, higher
12 land prices makes it attractive for people to
13 sell their land. Secondly, people are
14 attracted when they come to a place to play
15 golf from elsewhere, and they are attracted to
16 that region, and they want to build homes. As
17 I said, I don't have any study myself showing
18 this empirically, but I can think of hundreds
19 of examples in the west, where I spend my
20 summers, particularly in the Flathead valley
21 in Montana where when the first little golf

22 course went in and soon, we had home sites
23 surrounding it. The region has just -- it's
24 just boomed, and a recent study by Dennis
25 Swainson [sic] showing what's happening to the
(FOREST IMPACTS ISSUE)

2588

1 American West, especially in regions around
2 National Parks, and this happens to be around
3 a National Park, where people are attracted to
4 the region for recreation and for scenic
5 beauty.

6 Because people are affluent, they see
7 these as -- these are nodes or magnets that
8 attract people to come and build a second
9 home. As I said, I don't have any report at
10 my fingertips or published paper to document
11 that, other than Swainson's work, which is in
12 a different landscape, it's in the west, but I
13 think the driving forces are much the same.

14 Land tenure changes. We definitely
15 have more people moving into rural areas in
16 what we call sprawl. Forests are being used
17 for home sites and not production of
18 commodities, and the question is will
19 production land uses be feasible in the
20 future? Changing values, people inherit land,
21 they have different values, and they will use
22 the land differently. And the forest products
23 industry themselves are selling their lands.
24 You see that all over the Northeast.

25 (Indicating)
(FOREST IMPACTS ISSUE)

2589

1 So the impact on forestry is we have
Page 24

2 more and more smaller forest parcels with more
3 neighbors, and these make it more expensive to
4 manage for forest products. People get less
5 money for their timber because there's sort of
6 a threshold of efficiency. If you have a
7 small property, it's much more costly per tree
8 to go in and take out the trees than when you
9 have large properties.

10 They may find their management
11 activities constrained by other local
12 concerns, and they may get taxed for
13 development values, and these parcels are more
14 likely to be sold for development.
15 (Indicating)

16 So our objectives were, in doing this
17 study, principally we wanted to explore what
18 was happening in some of the last remaining
19 forested landscapes of the Northeast. The
20 Forest Service wanted us to do this to see if
21 we could determine from satellite imagery the
22 impacts on -- if we could determine the amount
23 of fragmentation and parcelization, or both,
24 that was taking place in these landscapes, and
25 they wanted us to use this land use change
(FOREST IMPACTS ISSUE)

□

1 model that we had used previously, principally²⁵⁹⁰
2 in Latin America, but to test it here and see
3 what it told us about what's happening to
4 private forest land in the Northeast.
5 (Indicating)

6 So we were also interested in how

7 these processes affect communities. We met
8 twice with stakeholders in the Catskill region
9 before we did the modeling and afterwards to
10 present our results and get feedback from
11 them, and also in Connecticut, we met with
12 stakeholders there twice.

13 MR. GERSTMAN: Professor Hall, could
14 you give us a representative sample of the
15 some of the stakeholders you met with in this
16 region?

17 PROFESSOR HALL: We met with several
18 forest landowners, people who are engaged in
19 timber extraction on their own land, people
20 from local planning boards, from the Catskill
21 Forest Landowners Association, I believe it
22 is, from the watershed ag. counsel, from DEC,
23 DEP, EPA, Catskill Center. That's a few.

24 MR. GERSTMAN: Thank you.

25 PROFESSOR HALL: Another one of our
(FOREST IMPACTS ISSUE)

□
1 objectives was to see if we could develop from²⁵⁹¹
2 this, a tool that people could use in the
3 planning process to help them get ahead of the
4 situation, and to help them sustain forest
5 environments and a forest economy. That was
6 our goal.

7 Our project methods were as follows:
8 One, to identify factors that are correlated
9 with past patterns of land use change, to
10 identify areas of intact forest, where those
11 same factors are present today, and to use a
12 dynamic modeling tool called Geomod to project

13 possible future scenarios based on what we
14 have seen in the past.

15 Let me just talk a little about the
16 modeling process. A good model is one that
17 uses data collected from sometime in the past,
18 explores, statistically or otherwise, the
19 relation of dependent variables to independent
20 variables; in other words, what factors are
21 causing a certain response in a system. Then
22 it makes a projection and validates its
23 projection against either data that has been
24 held out of the original set that was not used
25 in the calibration process, or data from a
(FOREST IMPACTS ISSUE)

□

1 later point in time. That's what we did here. ²⁵⁹²
2 And I hope I can explain it in a way that
3 you'll be able to understand how we built the
4 model and why we have good confidence in it.

5 Our other methods were to choose sites
6 that have large areas of intact forest, I
7 already said that, some development pressure
8 in an active conservation community. We
9 hosted community workshops, as I said, and
10 from those meetings, we derived a list of
11 potential factors that local people thought
12 were important in explaining what was
13 happening in their area.

14 These were the two areas of our study.
15 You see the two rectangles defining the areas
16 that were studied, and I think the next slide
17 gives you an idea why these areas were

6-29-04-crossroads.txt
18 selected. This is an earth nightlight
19 satellite image showing these two forested
20 landscapes in the Northeast. (Indicating)

21 One of our reasons for also looking at
22 the Catskill-Delaware Watershed region was, of
23 course, because of -- it's critical to New
24 York water supply, large areas of intact
25 forest. We assume, because of its proximity
(FOREST IMPACTS ISSUE)

2593

1 to New York City, that it was under some
2 threat of expanded development, and that many
3 local and regional organizations were involved
4 here in the preservation of forests and a
5 forest-based economy. (Indicating)

6 This is a rectangle that shows the
7 actually physical area that we analyzed.
8 These are little pieces that were cut out of
9 Albany County and Otsego County, so we have
10 centered -- we hadn't included all of the
11 Cannonsville Reservoir, but the rest are
12 included, and the red shows you those lands
13 that were excluded from the study because
14 they're not candidates for change, as they are
15 city- or state-owned lands. (Indicating)

16 The next slide shows you how much of
17 each county area was included in our analysis.
18 (Indicating)

19 The hypothesis we developed with the
20 folks here were that parcelization is more of
21 a current factor than fragmentation, but it
22 will be hard to detect or predict. That is
23 true, partly because of the dearth of data,

24 and also you can't see parcelization from a
25 remotely sensed product like the satellite
(FOREST IMPACTS ISSUE)

1 imagery, its changes in ownership boundaries, ²⁵⁹⁴
2 so it is more difficult to analyze.
3 (Indicating)

4 The second theory that we developed
5 with folks here, and as I said, these slides
6 were prepared long before I ever knew about
7 the issues here, were that forest land change
8 is driven by distance from New York City,
9 distance from major roads, distance from
10 growth nodes such as ski resorts and new
11 resort development, watershed regulations,
12 taxes, age of landowners, and the population
13 of permanent residents versus housing units,
14 i.e., second homes. (Indicating)

15 So we tried to assess the importance
16 of these factors and either driving forest
17 fragmentation and parcelization in this region
18 or simply explaining where it would occur.
19 (Indicating)

20 The model that we used is -- as I
21 said, is called Geomod. It's a spatial and
22 temporal Geographic Information System based
23 model that quantifies factors associated with
24 land use change, and simulates the rate and
25 pattern of that change into the future. This
(FOREST IMPACTS ISSUE)

1 model was developed by, actually by my ²⁵⁹⁵
2 husband, Dr. Charles Hall, professor at EFS,

3 along with graduate students under an
4 initiative from the Department of Energy to
5 explore the contribution of tropical
6 deforestation to the global carbon budget.

7 There are two things -- what we need
8 to build Geomod, there are two important
9 factors in this model that we need to assess.
10 One is how much change per time has been
11 occurring in the past, and where? The first
12 is possible through a variety of means. One
13 is to look at satellite imagery and simply
14 look at the change in forest cover, since
15 that's what we're interested in, over time and
16 look at the rate of change.

17 The second is to actually be able to
18 compare demographic or socioeconomic data to
19 that change in forest cover and see if there's
20 a correlation between the two. The latter,
21 however, it's necessary to really have more
22 than two points in time, always you always
23 have a linear relationship. So we only had
24 two points in time because the classification
25 of satellite imagery is a very expensive and
(FOREST IMPACTS ISSUE)

□

1 time-consuming process, so we had a 1992 image²⁵⁹⁶
2 and a 2001 image. Therefore, in order to come
3 up with the rate, looked at the rate of change
4 between those two points in time in the
5 satellite imagery, and projected that forward
6 ten years.

7 we also didn't have economic data at a
8 resolution that would allow us to explore the

9 relation between the economics of the region
10 and changes in forest cover. We didn't even
11 have it at the county level, so -- and people
12 couldn't even provide it for us at the state
13 level really -- so that was of great
14 disappointment to us; whereas, we did have it
15 in Connecticut.

16 Pattern drivers then are explained
17 where people have historically preferred to
18 develop the land. As ecologists, we have a
19 theory that they tend to go where they're
20 going to get the highest economic return on
21 investment, and before our highly
22 energy-subsidized era of history, that meant
23 that energy investment was their legs and arms
24 and a plow and a horse, and so people tended
25 to like flat land and river valley land where
(FOREST IMPACTS ISSUE)

□

1 the soils were rich. We still see that 2597
2 imprint so much on the landscape here that I
3 think it's sort of overwhelming some of our
4 other analyses of all these other factors
5 because the historic imprint here is still
6 very strong from that time in history.
7 (Indicating)

8 These are the two images that we used.
9 These are the classifications, which I know
10 you can't see, but basically the
11 classifications are open water -- we have no
12 perennial ice and snow in these images. These
13 are just the legends that come with a larger

14 image, and we windowed out our area. Low
15 intensity residential, high intensity
16 residential, commercial/industrial,
17 transportation, bare rock, sand and clay,
18 quarries, strip mines, gravel pits,
19 transitional areas. There was none of that in
20 the images here. Deciduous forest, evergreen
21 forest, mixed forest, shrub land. Orchards,
22 vineyards, grasslands, row crops -- pasture
23 hay, row crops, fallow, urban recreational
24 grasses, woody wetland and emergent wetlands.

25 So those are the classifications that
(FOREST IMPACTS ISSUE)

2598

1 are determined from analyzing spectral
2 reflectance of land cover as the light. The
3 short wave radiation is bounced back to the
4 satellite, and then you go through a long
5 process of ferreting out these different
6 sectoral responses in determining what the
7 land cover is. (Indicating)

8 We re-classified all of those classes
9 into two classes -- three with water, and the
10 woody wetlands -- or emergent wetlands. We
11 basically included in the forest class
12 everything that was deciduous evergreen, mixed
13 forest or woody wetland; and in the
14 non-forest, we included the residential,
15 commercial, industrial -- hay, pasture, row
16 crops, any kind of human use of the landscape
17 other than forest. So you can see already
18 some significant changes. (Indicating)

19 We have had some concern about the

20 absolutely immense amount of change in this
21 region, so we went in and did an accuracy
22 assessment of this part of our imagery, and we
23 got -- I think it's 92 percent correct, so we
24 feel pretty confident. That's quite good. We
25 used aerial photography as our validation map.
(FOREST IMPACTS ISSUE)

2599

1 (Indicating)

2 The table you see here is a lot of
3 numbers, but it's basically summarizing by
4 county how many acres of forest there were in
5 1992 within these counties in the portion
6 that's included in our study area, and how
7 much non-forest, how much forest in 2001, how
8 much non-forest. (Indicating)

9 So the percent forested in '92 total
10 was 87 percent, by 2000, was 79 percent.
11 That's just the private forest land. That
12 includes some reforesting land as well, which
13 we have in this region. Then, we look simply
14 at -- this includes reforesting land. This
15 tells us how much -- how many acres in each
16 we're reforesting and what the net acres of
17 forest were lost. (Indicating)

18 This is quite an interesting factor
19 that the actual standing mature forest that we
20 observed in '92, this much was lost. When you
21 add back in what appears to be reforesting,
22 then this is the net number of acres.
23 (Indicating)

24 When we include the public forested

25 land, the area of our analysis went from
(FOREST IMPACTS ISSUE)

2600

1 88 percent forested to 81 percent forested in
2 a nine-year period, which coincides with this
3 study that I mentioned earlier that was in the
4 Journal of Forestry showing how much private
5 forest land had been lost in approximately the
6 same period of time, 1992 to 1997.

7 (Indicating)

8 I might say even though New York is
9 one of the states that -- in the literature,
10 it says that it's reforesting. That's for the
11 whole state, and I think there are certain
12 areas of the state, as we've seen here, where
13 the conversion is now going the other way.

14 (Indicating)

15 This is a summary simply of the change
16 in forest, non-forest by county just done
17 graphically to give you an idea of the impact.
18 This is in acres. (Indicating)

19 MR. GERSTMAN: Professor Hall, how
20 would you view the rate of change that you're
21 showing from 1992 to 2001 both in the prior
22 slide and this slide? would you characterize
23 it as something of concern, significant in
24 terms of loss of forest land?

25 PROFESSOR HALL: I would consider it
(FOREST IMPACTS ISSUE)

2601

1 very significant. Everyone we've shown this
2 presentation to has been quite alarmed, most
3 especially the people from the Department of
4 Environmental Protection from New York City

5 because they're very interested in what this
6 may imply for water quality -- at what point
7 they're asking is too much -- is too much too
8 much? At what point would water quality be
9 impacted? No, this is quite --

10 ALJ WISSLER: What is your answer to
11 that question?

12 PROFESSOR HALL: We don't know yet.
13 We have put forth a proposal with -- to the
14 Department of Environmental Conservation to go
15 forth with this study and to connect our land
16 use change projections to a hydrological model
17 and a fatent [sic] transport model that would
18 look at sediment rate and nutrient delivery to
19 the reservoirs and the streams. And we put
20 forth that proposal, and we believe we're
21 going to be funded to do that.

22 MR. RUZOW: Did you say DEC or DEP?

23 PROFESSOR HALL: We've put forth the
24 proposal to DEC.

25 This is summarizing in the watersheds
(FOREST IMPACTS ISSUE)

□

1 themselves the loss of the `92 forest. Now ²⁶⁰²
2 remember, there is some reforestation, so we
3 see in the imagery, although you have to
4 imagine that in a nine-year period, that for
5 something to go from non-forest to forest,
6 it's not very forested yet, it takes a long
7 time for forest to grow, but it's being picked
8 up by the satellite in a spectral reflectance
9 that would say it's forest. (Indicating)

10 So we have a net change in forest from
11 Cannonsville of 10 percent; Schoharie, 3;
12 Pepacton, 5; Ashokan, 2; and very little in
13 the Neversink because most of that is public
14 land anyway in the Rondout. But then you see
15 the loss of the '92 forest itself is
16 generally -- between nine percent more, and as
17 little as one percent more, so the loss of the
18 mature standing forest is -- maybe the more
19 important statistic to look at in terms of
20 water quality. (Indicating)

21 Then we also looked at the total in
22 all the basins and outside the basins. So we
23 see a little bit more higher rate of change in
24 private forest land, forest cover outside the
25 watershed, that area that is included in our
(FOREST IMPACTS ISSUE)

1 study, than inside the watershed, which makes ²⁶⁰³
2 sense.

3 MR. GERSTMAN: Just a correlation,
4 Judge, as you heard from Dr. Kiviat and you
5 will hear from -- further from aquatic habitat
6 specialists -- the loss of forest land has a
7 direct impact on the quality of the surface
8 waters, and we believe will have a significant
9 impact on the quality of surface waters in the
10 area adjacent to the project.

11 PROFESSOR HALL: Like I said, we
12 wanted to compare population growth to the
13 forest cover changes, and we plotted the
14 population growth over time from census data,
15 and the most pronounced, of course, is in

16 Ulster County -- remember, not all of Ulster
17 County is in our study area, nor are any of
18 all of these counties -- but it's generally
19 more flat, except in Sullivan also it's more
20 of a rise, but the population growth is really
21 very flat over time from 1890 to the present
22 in three of the counties that we're looking
23 at. (Indicating)

24 This slide is not in your handout, I
25 added it last night because I have been
(FOREST IMPACTS ISSUE)

1 wanting to do this for a long time, to put the ²⁶⁰⁴
2 two side by side, so we could actually see
3 between 1990 and 2000 what the population
4 change had been versus what the change in
5 forest cover had been.

6 So there definitely seems to be
7 something else, perhaps relating back to the
8 article from the New York Times, that seems to
9 be driving change in forest cover here. Even
10 though there's a great deal of land that's
11 reforesting in Delaware County, there is also
12 a loss of 7 percent. (Indicating)

13 Then in Greene County, we see actually
14 more population change than we see change in
15 forest cover. (Indicating)

16 We see a loss of population in this
17 period in Schoharie County, but a 3 percent
18 loss in forest cover. (Indicating)

19 In Sullivan -- so again, I think local
20 population may be decreasing, but outside

21 population may be actually increasing. In
22 Sullivan, they're about neck and neck.
23 (Indicating)

24 In Ulster, more population growth than
25 change in forest cover, and they're about
(FOREST IMPACTS ISSUE)

2605

1 matched here. (Indicating)

2 From this data, it's pretty hard to
3 say that we could predict forest cover change
4 as a function of population growth. In some
5 areas, we could; but in some areas, we
6 couldn't. So it's a more complicated picture
7 than what we might find in the developing
8 world where we almost always find a very tight
9 correlation between population growth and
10 deforestation. (Indicating)

11 This is the work of Rene Germain, who
12 is a professor in the forestry faculty at ESF
13 and works with local foresters here in the
14 Catskills working on sustainable forest
15 practices. He and his graduate student
16 looked at the change in parcel size by going
17 to the tax records and comparing the change in
18 acreage, size classes, and how many acres in
19 each acreage size class between 1984 and 2000.
20 There is no data base for 1984 except those
21 musty books in the county offices that one has
22 to go through.

23 So this student spent enumerable hours
24 with the digital tax parcel map provided by
25 the New York City DEP for just the watersheds,
(FOREST IMPACTS ISSUE)

1 sat there with the digital maps, went to the
2 books and digitized on screen, removed the
3 lines from a subsample of the parcels. You
4 couldn't possibly do all the parcels, so he
5 selected through random sampling parcels in
6 the entire watershed, and re-created the 1984
7 map by looking at where the new parcel lines
8 were drawn. You understand? (Indicating)

9 So what we see in this region, that is
10 typical around the United States, is that the
11 large acreage is the one that makes for the
12 most protective timber industry, are actually
13 acreage in the 100-plus size class is dropping
14 as it is in the 50 to 100, and the 1 to 5, 5
15 to 10 and 10 to 50 acreage size classes. We
16 actually see more acreage now in those units.
17 (Indicating)

18 In the next slide, we look at the
19 number of parcels, and again, these -- the
20 100-plus, we have fewer parcels, and we see a
21 huge increase in the 1 to 5 and 5 to 10 acre
22 parcel size class in this region.
23 (Indicating)

24 Finally, the study mean shows that the
25 average went from about -- I think it's 17.5
(FOREST IMPACTS ISSUE)

1 to about 14.3 over the entire sample data set. 2607

2 MR. GERSTMAN: I notice that Delaware
3 County is not included. Can you tell us why?

4 PROFESSOR HALL: Yes. Delaware County
5 is not included because they were not able to

6 access any records for 1984 -- in the past.

7 So we have the current 2000 records, tax

8 parcel records from the DEP, but there was no

9 data that he could use to re-create the 1984.

10 This is also, I believe, an inserted

11 slide, not in your packet that I added last

12 night, just to help clarify some things.

13 (Indicating)

14 MR. GERSTMAN: These are in the Power

15 Point that was provided?

16 ALJ WISSLER: The CD?

17 PROFESSOR HALL: This one was only for

18 Greene County -- in fact, it still says

19 that -- but last night I was able to finish

20 for the whole area, so I could print this out.

21 ALJ WISSLER: It's not part of the CD

22 that you gave us?

23 PROFESSOR HALL: In the package you

24 have, I believe it shows these results just

25 for Greene County.

(FOREST IMPACTS ISSUE)

1 MS. ROBERTS: But was it burned into

2608

2 the CD?

3 PROFESSOR HALL: No, it was not.

4 ALJ WISSLER: There is also another

5 page?

6 MR. RUZOW: The population versus

7 forest change slide.

8 PROFESSOR HALL: That was also new.

9 MR. RUZOW: That wouldn't be in the CD

10 either?

11 PROFESSOR HALL: No, it's not. Those

12 two things were done because we were still
13 trying to get to them, we hadn't finished them
14 yet, and I finished them last night, and I
15 thought I might as well show them to you
16 because they actually are interesting pieces
17 of information that we had intended to do.

18 what this is showing us that is really
19 very interesting, is that if you look at the
20 sample data that was, as I said, random
21 sampled out of all the parcel data for just
22 within the watershed, you will see that the
23 change in forest cover in non-divided parcels
24 is less than that in divided parcels.

25 (Indicating)

(FOREST IMPACTS ISSUE)

2609

1 So our hypothesis, in fact, that in
2 divided parcels is 50 percent increase over
3 what you see in the non-divided, which
4 supports our hypothesis which was that
5 parcelization leads to fragmentation. In
6 other words, what you're seeing here is a
7 loss, greater loss in forest cover in divided
8 parcels between -- those areas that were
9 parcelized between 1984 and 2000, then you see
10 in the non-divided. That's a very significant
11 finding. I don't think it's been shown by
12 anyone else yet. This is our finding and
13 we -- as I said, it supports our original
14 hypothesis. (Indicating)

15 MR. GERSTMAN: Could you explain --
16 briefly again summarize how it supports that

6-29-04-crossroads.txt
17 hypothesis and how it's significant?

18 PROFESSOR HALL: We believe that once
19 land is parcelized, sold off into smaller
20 units, that this probably accelerates the
21 change of the use from forest -- at least from
22 forest use to some other use. Now, from
23 satellite imagery, we can't tell what the use
24 is when land is in forest. We don't know if
25 it's being used for timber extraction, for
(FOREST IMPACTS ISSUE)

2610
1 forestry or is simply just, you know, in
2 conservation. I mean a landowner has decided
3 not to do that, but this allowed us to see
4 that forest cover was lost on more land that
5 had been parcelized than land that had not
6 been parcelized.

7 So we do believe now from this -- it's
8 a 50 percent increase, that there is some
9 acceleration through the parcelization
10 process. It always seemed logical to us, but
11 we didn't really have any evidence to support
12 that until we completed this part of the
13 study.

14 MR. GERSTMAN: If one were to show
15 that the Crossroads project that we're here
16 today talking about would result in increased
17 secondary growth and the purchase of home
18 sites in this area, your professional opinion
19 would be then that that would also
20 accelerate -- decrease the amount of forested
21 land in the area adjacent to the project?

22 PROFESSOR HALL: That is our concern,
Page 42

23 and that is the Forest Service's concern, is
24 that as more development comes in, there is an
25 acceleration of the parcelization process
(FOREST IMPACTS ISSUE)

1 because landowners see the opportunity to sell²⁶¹¹
2 off their land, and people who are coming to
3 the region attracted by -- whether it's a new
4 resort or a national park or whatever, see a
5 place and fall in love with it, and are
6 interested in having a home there. So that is
7 our concern there.

8 MR. GERSTMAN: Would you expect that
9 type of attraction to an area to be compounded
10 if you were going to develop, for instance,
11 two hotels with two golf courses adjacent to
12 an expanded ski area?

13 PROFESSOR HALL: As a professional, I
14 cannot pull a peer review publication out of
15 my pocket and say here is the proof. From my
16 observation in many parts of the United
17 States, I have seen that acceleration once a
18 recreation or resort development has gone into
19 an area.

20 ALJ WISSLER: So I understand it. If
21 we took various types of recreational nodes, I
22 think was the term you used?

23 PROFESSOR HALL: Yeah.

24 ALJ WISSLER: There's no study that
25 would say that a particular use will draw more
(FOREST IMPACTS ISSUE)

1 people than a particular other use? 2612

2 PROFESSOR HALL: None that I'm aware
3 of. I haven't explicitly investigated that
4 literature to look at that. I think it would
5 be worthwhile to do. I can point to one study
6 I'm very familiar with about --

7 ALJ WISSLER: Sounds like the basis
8 for another grant.

9 PROFESSOR HALL: Exactly. Another
10 study though, the one in the west showing that
11 National Parks definitely have accelerated the
12 deforestation/development pattern. Every
13 National Park gateway around the west.

14 MR. GERSTMAN: We will try and provide
15 that study for you, references for you, Judge.

16 We also have in our -- both in the New
17 York City DEP offers of proof, the Attorney
18 General's offers of proof and our own, have
19 suggested that secondary growth impacts of
20 this project are much more significant than
21 have been evaluated in the DEIS, and we will
22 be exploring that further in connection with
23 our cumulative impact argument.

24 PROFESSOR HALL: This is just to show
25 you the towns that were included in the tax
(FOREST IMPACTS ISSUE)

1 parcel analysis, so you see that primarily 2613
2 within the watersheds, and this was DEP
3 provided. (Indicating)

4 We also then looked at the ownership
5 statistics looking at that same database, the
6 tax parcel database, and we found that in the
7 privately owned land, that 444,000 acres are

8 owned locally versus 482,000 that are owned by
9 people whose home address listed in the data
10 base is outside this region, as far away as
11 Japan. So you see that the number of parcels
12 is greater for local owners, but the actual
13 acreage is larger for those from outside the
14 area.

15 ALJ WISSLER: Do you have those kinds
16 of statistics for other years?

17 PROFESSOR HALL: No, we only have it
18 for these two because that was part of that
19 very laborious process. There is no digital
20 record of ownership of land of tax parcel
21 boundaries except from 2000, and from now on,
22 counties will be updating that information
23 digitally, but before this database was
24 created, there was nothing digital.

25 ALJ WISSLER: So we're not in a
(FOREST IMPACTS ISSUE)

1 position at this point to suggest what, if ²⁶¹⁴
2 any, trends exist?

3 PROFESSOR HALL: We have two points in
4 time. Possibly, since we're already at 2004,
5 we could do some of that.

6 The public land excluded from the
7 analysis is shown in this map, just so you're
8 aware that this was not included in our
9 analysis, except to look at distance from it
10 to see if that was important to determining
11 where people have settled.

12 MR. RUZOW: This is city and state

13
14
15
16
17
18
19
20
21
22
23
24
25

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18

lands?

PROFESSOR HALL: It does not include private conservation easement lands.

MR. RUZOW: Land held at that point in time in title by the state and the city?

PROFESSOR HALL: I don't know the word "entitled."

MR. RUZOW: No titled.

PROFESSOR HALL: Owned by.

MR. RUZOW: Owned by, that means they have the fee ownership --

PROFESSOR HALL: Yes.

MR. RUZOW: I'm trying to understand, (FOREST IMPACTS ISSUE)

2615

Marc, to tie it into Mr. -- from Catskill Center's future accusations by the City or things in the pipeline. I'm trying to understand.

MR. GERSTMAN: These are owned as far as I understand.

PROFESSOR HALL: We only have this data because it was provided to us by the DEP.

This is our final rate then that we used based on what we saw in those two points in time. (Indicating)

ALJ WISSELER: Did we miss a slide?

MR. GERSTMAN: In terms of rate of development of divided versus non-divided parcels within the New York City watershed?

PROFESSOR HALL: That's the one that we just saw a few minutes ago, now been completed for the whole region. I had moved

19 it to there. And it shouldn't say in Greene
20 County, this is for all, the entire region.

21 (Indicating)

22 MR. GERSTMAN: So the Greene County is
23 subsumed within these statistics?

24 ALJ WISSLER: You're going to provide
25 copies?

(FOREST IMPACTS ISSUE)

2616

1 MR. GERSTMAN: Yes.

2 PROFESSOR HALL: This is for all
3 counties.

4 MS. BAKNER: All counties but
5 Delaware; right?

6 PROFESSOR HALL: Right -- yes. Yes,
7 because we didn't know what was parcelized in
8 Delaware exactly. Thank you very much.

9 So this is just the numbers that we
10 used in order to be transparent -- you can't
11 see them, so it's not very transparent -- but
12 these are the percent of private lands in
13 forest. When we get to 2001, the satellite
14 image, 77 percent of private lands are in
15 forest. Each county is different. We project
16 out by county, we did our analysis by county,
17 and then we get to 2011, and we show that
18 66 percent of private land will be forested
19 simply based on the rate of change that we
20 observed between '92 and 2001. It's linear,
21 because we had no other data to fit a trend
22 line to. (Indicating)

23 Again, as part of this additional work

24 that we're hoping to do, we're hoping to have
25 at least four points in time to analyze the
(FOREST IMPACTS ISSUE)

1 change in the region before we start talking ²⁶¹⁷
2 about changes in water quality. But we still
3 feel that it's perfectly acceptable to project
4 only ten years into the future by back-casting
5 ten years, that that's not an unlikely -- that
6 the difference in the scenarios will not be
7 much different.

8 ALJ WISSLER: This also assumes that
9 the economics of the area remains constant
10 too; in other words, I think when you began
11 your presentation by suggesting that people
12 are ultimately driven by appropriate economic
13 choices. So we chose flat land by the river
14 because that's easier to till because that's
15 economic demand. So this also assumes that
16 the economic demand remains constant and does
17 not diminish?

18 PROFESSOR HALL: And even more than
19 perhaps the local economics, the state
20 economics, New York State. That was certainly
21 a boom period from '92 to 2001. If we are
22 right in assuming that a lot of the economic
23 activity here is driven by people coming from
24 outside and the infrastructure and services to
25 service that group of people, then we are
(FOREST IMPACTS ISSUE)

1 assuming it is more than just local economy, ²⁶¹⁸
2 that it's state economy.

3 How the model works. The model begins
Page 48

4 with a Time 1 land use map, 1992. We look at
5 each of these spatially distributed factors,
6 like distance from local roads, distance from
7 secondary roads, distance from growth nodes,
8 slope of the land, elevation of the land, a
9 whole variety of factors that you'll see, and
10 we run each one through a calibration
11 procedure that looks at how much in each
12 category of, let's say, distance from roads
13 has been developed. We always find that the
14 first class within the first distance interval
15 from roads has the most development in it.
16 That's always true everywhere in the world.
17 (Indicating)

18 Then from that, we create a map that
19 we call the likelihood map. Some people in
20 the conservation community call it the risk
21 map. Some people in the carbon world call it
22 the opportunity map. So it's the map that
23 allows the model to pick based on the
24 weightings that it determined here on the past
25 where people had developed the land to pick
(FOREST IMPACTS ISSUE)

□

1 the next cells in succession on the map to 2619
2 project a time to map. When I say cells,
3 satellite imagery senses the ground at about a
4 30-by-30 meter resolution. So these maps are
5 really grid cells of rows and columns, each 30
6 meters in width. (Indicating)

7 So then we go through the validation
8 procedure. We look at the simulated map and

9 compare it to the actual map of 2001, and see
10 how well we did by analyzing the Kappa
11 statistic. The Kappa statistic is
12 complicated, but not very.

13 Basically what it tells us is how much
14 better did your model do than throwing random
15 darts at the map. It's a mathematical
16 calculation that's been developed, used a
17 great deal in the spatial analysis world. But
18 it's important here because if we simply use
19 percent correct, you get a whole lot of cells
20 correct simply because there is a -- because
21 of inertia, I guess. There's a whole lot of
22 the map that's not going to change anyway, and
23 you're going to get that correct. If you have
24 very little change between two points in time,
25 you can get a very high percent correct, but
(FOREST IMPACTS ISSUE)

1 you can really miss a lot of the actual points²⁶²⁰
2 of change. (Indicating)

3 So we used the Kappa because it is a
4 better indicator to tell us how much better
5 the model did over what we call a random
6 model, which would be like throwing darts.
7 This is our calibration map for '92.
8 (Indicating)

9 This is the validation map for 2001.
10 (Indicating)

11 Here is how the model calibrates.
12 This is a new slide. I put it in last night
13 because I thought I didn't know how you would
14 understand unless I gave you some example.

15 This is for one of the counties. This is
16 looking at distance from what we call urban
17 areas, areas that in the '92 map were in
18 residential, commercial or industrial in that
19 map.

20 We see that in the first distance
21 class, we have about 27 percent developed, and
22 it just goes down very nicely as you move away
23 from those areas. (Indicating)

24 This is another example, distance from
25 local roads. Again, you see quite a clear
(FOREST IMPACTS ISSUE)

1 trend, and there is -- there were none of this ²⁶²¹
2 in those classes. There were none of these
3 classes in this particular county.

4 Now, what it does then when it creates
5 that likelihood map that the model uses for
6 picking, is that it gives for every cell
7 that's still in forest that's in the first
8 distance class from roads, it gives it a 22.

9 ALJ WISSLER: Excuse me, what would be
10 a distance class?

11 PROFESSOR HALL: I believe -- I would
12 have to look at my report, but I believe that
13 the distance class for local roads was 300
14 meters for each class, something like that,
15 but it's in our report. I can't remember all
16 the details. These were probably also 300
17 meters, but the local roads were much more
18 dense than what we would have called urban
19 areas in some of these counties.

20 I put this in, this was distance from
21 ski areas. This was a much less powerful
22 predictor than something like this because
23 it's kind of random. One of the reasons that
24 distance from ski areas didn't give us as high
25 a correlation as we thought we would get, is
(FOREST IMPACTS ISSUE)

□

1 that, remember we include in our analysis a ²⁶²²
2 lot of highly developed areas in Ulster and
3 Sullivan County that are a long way from ski
4 areas, and they are sort of overwhelming the
5 analysis in terms of where the majority of
6 land use change is going to occur in this
7 large rectangle that we analyzed.
8 (Indicating)

9 If somebody would pay us to go back in
10 and look at distance from ski areas in a
11 smaller window, we might see a high
12 correlation as we zoomed in closer to areas
13 where ski areas are located. If I show you on
14 another map, you'll see again how there's a
15 preponderance of the development in -- the
16 window that we windowed out is in areas
17 outside the watershed. The preponderance of
18 it.

19 MR. RUZOW: You'll supply us with a
20 copy of this as well?

21 MR. GERSTMAN: Yes, you'll get all
22 this.

23 PROFESSOR HALL: This is actually how
24 it works. These would be distance classes
25 of -- from what we call urban areas or

1 urbanized areas; really it's developed areas.
2 It's from anything that was classified as
3 developed.

4 So distance from developed areas, this
5 is the map. Then the program goes in and
6 says -- comes up with those charts we just
7 saw, and then it assigns those numbers to each
8 forested cell. So the black areas are lands
9 that are -- you know, have very little
10 likelihood or are excluded from the analysis
11 or are already developed -- and areas in this
12 green are the areas most likely to be
13 developed as we move down the roads. You see
14 along Route 28, some of this green, and you
15 see, of course, a lot of it down here in
16 Ulster County, just based on one factor, one
17 factor. We do this for each factor. Here is
18 another one. (Indicating)

19 Here it is for local roads, and you
20 see what I mean about how dense the local
21 roads are, so there aren't nearly as many
22 classes, but probably the same distance class.
23 And here -- here it's saying that we used 150
24 meters in the first class, 250 -- 250, 250
25 meters in each distance class for local roads.

1 (Indicating)

2 Then we have how it weighted the
3 landscape. Remember, each county is being
4 analyzed individually in the model. So the

5 weightings are different by county. Then the
6 model goes in and, by county, selects which
7 cells to change to non-forest for 2001.

8 (Indicating)

9 Then we do the validation procedure.

10 I don't even remember if this is zoomed out
11 from this project or another project, but this
12 is just to give you an example of what the map
13 might look like when we zoom in. So the green
14 would be everything that's simulated as forest
15 and, in fact, is forest in the validation
16 period. (Indicating)

17 The light green is something that the
18 model simulated as non-forest, but in fact was
19 still in forest. (Indicating)

20 The yellow is simulated as forest but
21 in reality is non-forest. (Indicating)

22 And finally, the red is simulated as
23 non-forest, and it really was non-forest in
24 the validation period. (Indicating)

25 what happens is that if you analyze
(FOREST IMPACTS ISSUE)

□

1 pixel by pixel, we call them, these 30-meter²⁶²⁵
2 cells, pixel by pixel, the validation
3 procedure is very harsh because you might have
4 come close, 30 meters off in your simulation,
5 but you're penalized because you're 30 meters
6 off.

7 So there are other methodologies
8 developed now that allow you to expand the
9 window of -- for close hits or close misses
10 because there is, in fact, in spatial

11 analysis, a thing called spatial
12 autocorrelation; that things that are close
13 together tend to be alike. So what one study
14 has shown in Massachusetts in the Ipswich
15 watershed was that -- their modeling efforts
16 there, but they only used two factors, really
17 couldn't get -- at 1000 meters resolution,
18 which is one kilometer, they are very high
19 validation statistics. But as they move down
20 to 30-meter, they actually did better with the
21 random model than with the actual model
22 because we don't have data that corresponds to
23 30-meter resolution satellite imagery. Our
24 data is generally of a much coarser
25 resolution, so trying to match these two
(FOREST IMPACTS ISSUE)

□

2626

1 scales makes this procedure difficult.
2 (Indicating)

3 The statistics, I'll show you. If we
4 had expanded and said: Okay, we said this
5 would be non-forest here, but right next-door
6 it was, would look better if we had used this
7 other procedure. But we didn't, we took the
8 course of most penalty in the model.
9 (Indicating)

10 we have now all of these factors that
11 we analyze. Just follow with me. Don't try
12 to read it all. You'll just go nuts. We
13 looked at population density, distance from
14 these developed nodes in the '92 map;
15 elevation, population over 65 from the census

16 data, distance from state lands, distance from
17 local roads, distance from agricultural land,
18 slope of the land, distance from secondary
19 roads, distance from ski areas, owner-occupied
20 housing, distance from primary roads, distance
21 from bodies of water, distance from Route 28,
22 distance from New York City.

23 Aspect, that is which way the land
24 faces in terms of the sun. Distance from --
25 this is from rivers, and finally, the effect,
(FOREST IMPACTS ISSUE)

2627

1 whether anything could be determined by
2 looking at which watershed basin the
3 development occurred in. (Indicating)

4 There are two ways you can run the
5 model. This is that Kappa statistic I'm
6 talking about. So these are ranked right now
7 in order of importance by these Kappa
8 statistics. What this side is versus this
9 side is that the model was written to run two
10 ways. You can either say: Okay, now you have
11 this likelihood map, and the model can go and
12 pick all the high value cells on the map, and
13 then you do the validation. Or you can say to
14 the model: You can only pick high value cells
15 within a specified distance of already
16 developed areas. (Indicating)

17 Because in some locations, we'll find
18 a salt and pepper kind of development; and in
19 other areas, we find a sprawl kind of
20 development, so the model is written to test
21 one and the other, and see how well it does in

22 validation.

23 So we did much better in this region
24 with the sprawl. Although we have some salt
25 and pepper development, the overwhelming
(FOREST IMPACTS ISSUE)

1 abundance of development happens close to land²⁶²⁸
2 that's already developed. That's an important
3 factor, I think, to take with you today.
4 (Indicating)

5 Then we broke it down by county. So
6 of all these factors, those top five that you
7 saw in the last slide for the entire region,
8 distance to developed areas, elevation, slope,
9 distance to local roads, and secondary roads
10 were a top five factors for the whole region,
11 but each county sorts out a little bit
12 differently. (Indicating)

13 Now, you may say, well, there's hardly
14 any difference between 90.8 and 90.59. And
15 one of the reasons that I think that is
16 happening is that almost -- so many of these
17 things are also correlated with that
18 topography factor that dates back to the
19 history of this region, which is where the
20 primary development occurs in the river
21 valleys at the lower elevations and on the
22 flattest land. (Indicating)

23 So we have a high correlation among
24 some of these independent drivers, but the
25 important thing is that even though they seem
(FOREST IMPACTS ISSUE)

1 close, when we got below -- when we added a
2 sixth driver to these five, our results began
3 to drop off. So none of these alone could
4 produce what these five could.

5 Even population density, which was
6 close to secondary roads -- when we added it
7 to the model, it caused our validation
8 statistic to go down. So that was true for
9 each county, and we used the five factors in
10 each county that gave us the best validation
11 compared to the 2001 map. (Indicating)

12 I want you to notice, people often do,
13 they say why would the distance from Route 28
14 be the most important factor in Sullivan
15 County, since Route 28 doesn't run through
16 Sullivan County? But it's because everything
17 that's there -- you remember those graphs
18 where things kind of went like this, or for
19 you it was like this, everything -- the
20 development there is all in the far distance
21 classes from Route 28, so it actually served
22 for some strange reason as -- gave the model
23 ability to pick the right cells, those that
24 were in Sullivan County farthest from
25 Route 28, and then approaching Route 28 as you
(FOREST IMPACTS ISSUE)

□

1 went northward, but that's how it worked.
2 (Indicating)

2630

3 Based on that analysis, those five
4 factors for each county, this is the final
5 statistically derived, best driver combination
6 based on testing of each factor, each

7 combination of factors between '92 and 2001,
8 and I zoomed in just to show you here, this is
9 the project, Big Indian here, and wildacres
10 here; and you can barely see, but they're
11 outlined in white.

12 So this is the likelihood map. So the
13 red are the areas of high likelihood of
14 development, depending on how fast development
15 occurs. Yellow is the next class, and then
16 green is the least likely. And the black is
17 all the area that's already developed or
18 excluded, so they're not candidates for
19 change. (Indicating)

20 This is zoomed into a 10-mile radius,
21 and I guess I added this and zoomed in even
22 closer so that you can see that we show almost
23 no area as having likelihood for development
24 on the east side; but on the west side, we
25 have considerable area that is likely to be
(FOREST IMPACTS ISSUE)

□

2631

1 developed. (Indicating)

2 We now -- want to just show you --
3 this is a visualization of the simulated
4 results. I hope you can see it. The pinkish
5 land is developed land, the brown is the
6 protected areas, publicly-owned land, and then
7 the green is the forest. Should I run it
8 again? It's 2001 to 2011.

9 MS. ROBERTS: This is all assuming
10 that the project is not going to be built?

11 PROFESSOR HALL: This is what we call

12 our baseline analysis. This is what we
13 projected would happen in this area based
14 simply on the rate of change and the location
15 of change and the important factors
16 determining that in the -- from '92 to 2001.

17 ALJ WISSLER: This is on the CD?

18 PROFESSOR HALL: I don't know if we
19 burned this on.

20 MR. GERSTMAN: It is, yes.

21 PROFESSOR HALL: I zoomed in just
22 because I thought from whole huge region, you
23 couldn't see much about what we thought would
24 happen in this region; but the model shows
25 this for '92 and 2001 and 2011. Then this was
(FOREST IMPACTS ISSUE)

1 another view. And there is some development²⁶³²
2 projected for 2011 in here. (Indicating)

3 MR. RUZOW: I think that's reversed.
4 If you look at the slide, it's either
5 upside-down or backwards.

6 PROFESSOR HALL: It's looking south.
7 The top is south. I went around to try to get
8 a better view. You can joystick the maps
9 however you want them.

10 MR. GERSTMAN: So would you identify
11 where Route 28 is on the map?

12 PROFESSOR HALL: Route 28 is here.
13 (Indicating)

14 MS. BAKNER: This is baseline, you
15 said?

16 PROFESSOR HALL: This is baseline.
17 This is without any impact considered from the
Page 60

18 project.

19 This is a summary of the -- just
20 the -- again, you have seen this rate already
21 down here. Summary of the rate of change in
22 just the private forest land, going from a
23 total of 77 percent to 66 percent, and for the
24 entire region, we projected a loss of total
25 forest of around 162,000 acres. I'll show you
(FOREST IMPACTS ISSUE)

2633

1 a slide that I put in at the end that
2 summarizes what that means in terms of total
3 forest cover. This is -- the rate you just
4 saw was for just the private forest land, to
5 consider how much forest for the whole region
6 if you include the publicly owned land and the
7 reforesting land. I'll show you that in a
8 minute. (Indicating)

9 what does this mean in terms of
10 fragmentation? The rate we projected, and the
11 simulations that we have run, show when we
12 calculate what we call the forest continuity
13 index, which is an estimate of fragmentation
14 in the forest -- is that simply using the
15 business-as-usual scenario, we would go from a
16 fragmentation index of 187, that's the area of
17 forest blocks, of contiguous areas of forest
18 divided by the perimeter of those blocks.

19 2001, it went to 150, and under our
20 baseline projections given as, your Honor, you
21 mentioned, given the same kind of economic
22 development, which it has to be assumed if we

23 only use that time period, would go to perhaps
24 104, which means that we have almost --
25 landscape almost twice as fragmented as we had
(FOREST IMPACTS ISSUE)

2634

1 in 1992. (Indicating)

2 Then this is summarizing the county
3 results for private forest lands from `92 to
4 2011. So we see the sharpest decreases in
5 forest cover in Delaware County and in Ulster
6 County empirically, and also in our
7 simulation. (Indicating)

8 Then looking at the total forest per
9 county, which includes public lands and
10 reforestation in acres, we see, again, the
11 sharpest declines in Ulster County and in
12 Delaware and in -- in the Schoharie, we see
13 very little change in terms of acres of loss.
14 So that's summarizing for you by county.
15 (Indicating)

16 I have added these conclusions. I
17 felt it was necessary, and I just want to read
18 it to you: "Our conclusions are that the --
19 based on our analysis so far -- development in
20 the Catskills appears to be driven in some
21 areas, but perhaps not all, by the increasing
22 number of non-local landowners desiring a
23 piece of rural forested America based on our
24 analysis of ownership patterns; and the
25 establishment of the facilities and services
(FOREST IMPACTS ISSUE)

2635

1 to support that weekend/vacation time
2 population. In the five counties that

3 surround the heart of this region, the most
4 important biophysical factors that explain
5 where people select for development are
6 elevation and slope. The socioeconomic
7 factors are distance to already developed
8 areas showing a tendency to cluster,
9 population density and the economic
10 infrastructure of roads."

11 MR. GERSTMAN: Let me interrupt you
12 for a second. Your conclusion suggests that
13 the biophysical factor that's significant for
14 development of this region are both elevation
15 and slope. How do you -- can you explain that
16 further?

17 ALJ WISSLER: Those are the five
18 elements you referred to before; right?

19 PROFESSOR HALL: Those were the five
20 factors that gave us the highest validation
21 between our simulated 2001 and the actual
22 2001. And as I said, I think there's a big
23 imprint on this landscape from its entire
24 history of settlement on the flattest land and
25 in the river valleys, and at the lower
(FOREST IMPACTS ISSUE)

26 elevations. And that was borne out by this 2636
27 analysis.

28 we could not analyze that land that
29 had changed between '92 and 2001, and look at
30 where that development has been occurring
31 because that would be cheating. Now, it would
32 be very interesting to do; but as I said, in

8 the good modeling procedure, you have to take
9 data from -- you cannot take data from your
10 validation period and use it to calibrate a
11 model, that's a circular thing, and you would
12 be cheating. So we only looked at the
13 development up to '92, where it was located.

14 we would love now to get a 2004 land
15 use map and just calibrate the model based on
16 that change that happened between '92 and 2001
17 and see where that -- what factors are
18 explaining where that change has occurred, and
19 then validate against a 2004 image. That
20 would be very, very interesting, because I
21 think, based on the satellite imagery, when
22 you zoom in and look, there's much more
23 sprinkled development happening between '92
24 and 2001.

25 Again, we would speculate that in an
(FOREST IMPACTS ISSUE)

□

2637

1 energy-subsidized world, unlike our
2 grandfathers or great-grandfathers had, people
3 are willing to spend the money to put in a
4 road going up a mountain, and you will find
5 more and more homes on the mountaintop. And
6 certainly that's true as I've flown over quite
7 a few times in the region, you would see homes
8 in locations that you might never have seen
9 them back in the early 1900s.

10 Our further conclusion is that given
11 the rate and pattern of fragmentation detected
12 and projected, plus the evidence that
13 parcelization accelerates fragmentation, the

14 future of forestry in the wood products
15 industries in the Catskills could be impaired
16 in the near future without judicious land
17 planning efforts on the part of the community
18 who share a stake in the forest economy.

19 MR. GERSTMAN: Is there a point at
20 which population density, again, including
21 local residents and also second homeowners, is
22 there a point at which population density
23 essentially bottoms out the opportunity to use
24 land for forestry?

25 PROFESSOR HALL: There are a number of
(FOREST IMPACTS ISSUE)

1 studies that address that; one I have here by ²⁶³⁸
2 David Wear, in which their findings show that
3 somewhere between 20 people and 70 people per
4 square mile, that timber industry shows a
5 decline in its ability to thrive.

6 MS. BAKNER: Can you spell wear?

7 PROFESSOR HALL: W-E-A-R. And I have
8 another paper, too, that talks about that. So
9 somewhere between 20 people and 70 people per
10 square mile.

11 Now, the counties in our region -- but
12 remember, we didn't analyze the full county,
13 and there's a very large difference in these
14 counties between the really heavy population
15 centers, and as you move towards the center of
16 the Catskill Park, let's say -- but in
17 Schoharie County, the population density in
18 the 2000 census was 49 people per square mile;

19 in Greene, 69; Ulster, 134; Sullivan, 67; and
20 Delaware, 33. (Indicating)

21 Certainly in certain areas of those
22 counties, I think you would say that there's
23 no likelihood of forest extraction, timber
24 extraction, but as I said, each of those
25 counties -- to use those numbers is a bit --
(FOREST IMPACTS ISSUE)

2639

1 the population is not evenly distributed over
2 that whole area. So you would have to analyze
3 the less populated areas to find out what the
4 population density is in those, and that can
5 be done using the census data. (Indicating)

6 So I added that, furthermore, our
7 projections of loss of forest cover,
8 fragmentation, we projected for each
9 watershed -- this percent decline in forest
10 cover, the largest being in the Cannonsville,
11 and also quite strong in the Pepacton, and I
12 know the other water -- the other reservoir
13 that's affected by the project, I believe, is
14 the Ashokan, less pronounced, in fact, much
15 less pronounced, the effects there based on
16 our study of using just baseline statistics.
17 (Indicating)

18 I then prepared this imagery just
19 because I thought it would be another useful
20 view for you looking at the '92. I hope you
21 can see the little rusty brown is the
22 developed land. Here is the proposed project.
23 (Indicating)

24 MR. RUZOW: Is this in the CD?
Page 66

25 PROFESSOR HALL: Yes. This is 2001,
(FOREST IMPACTS ISSUE)

2640

1 and this is 2011. We'll go back and do it
2 again. Then we will -- I'll show you
3 something else interesting, another effect of
4 forest fragmentation that is of concern; in
5 this case, it's the nature conservancy has
6 delineated these forest matrix blocks which
7 they have determined are important to the
8 preservation of biodiversity in this region
9 because they're defined principally by large
10 areas of intact forest, as well as the fact
11 that no roads run completely through them.
12 (Indicating)

13 when we look at our 2011 results, the
14 blue is the state- and city-owned land, that
15 was non-candidate for forest change in the
16 model; and the green is land that we projected
17 would still be in forest; the rusty brown is
18 land that's likely to be developed based on
19 the past 10 years, and this is a delineation
20 of the project location which sits within one
21 of these areas. And also, as you can see from
22 the projections, is a rather significant area
23 of land. (Indicating)

24 MR. GERSTMAN: The Nature Conservancy
25 blocks that you were identifying in a previous
(FOREST IMPACTS ISSUE)

2641

1 screen are identified here by the red outlined
2 areas?

3 PROFESSOR HALL: Yes, this is just

4 zoomed in closer to the proposed development
5 just to show you where their boundaries are.

6 MR. RUZOW: Can you just go back to
7 the prior slide for a second?

8 PROFESSOR HALL: Sure. They have
9 identified seven areas as -- of significant
10 importance to biodiversity preservation in
11 this region. (Indicating)

12 Then this slide is not included. You
13 can have it. I put it in -- I really wasn't
14 going to show it. I put it in in case anyone
15 asks because I can't remember all these
16 numbers, but this is just various ways of
17 looking at the forest cover in this region
18 from '92 to 2011; and I have to zoom in, but
19 we showed -- if you want to look at total
20 forest cover, including the already set aside
21 lands and the reforesting land, the whole
22 region was 87 percent forested in 1992 and --
23 each of these -- and those two -- so from 87
24 to -- can anyone see that?

25 MR. GERSTMAN: No.
(FOREST IMPACTS ISSUE)

2642

1 MR. RUZOW: No.

2 PROFESSOR HALL: Just a second here.
3 76.

4 MR. RUZOW: Is that the whole county
5 or just the portion within the watershed?

6 PROFESSOR HALL: Of the area that we
7 analyzed, if you include our projections and
8 you include all the existing protected land,
9 that's taking into account no future set aside

10 forest because we have no idea what it will
11 be, and the land that's reforesting, it went
12 from 87 percent in '92 to 76 percent in 2011.
13 Assuming a business-as-usual scenario.

14 That's it.

15 MR. GERSTMAN: Given what you know
16 about the project and your hypotheses as you
17 framed them on page 13 of the handout, what
18 would you expect the result to be in terms of
19 forest fragmentation and parcelization in the
20 vicinity of the proposed project?

21 PROFESSOR HALL: On the private forest
22 lands which was our concern in this study, I
23 would expect, based on a number of things that
24 we have analyzed here -- one, because we saw a
25 preponderance of development -- we got better
(FOREST IMPACTS ISSUE)

1 validation statistics when we -- when the ²⁶⁴³
2 model selected cells for development that were
3 close to a land already developed -- I would
4 expect that we will see more development close
5 to any nodes of new development.

6 Number two, I would expect, given the
7 fact already that this area is highly
8 attractive to people from outside the region
9 based on our analysis of the ownership
10 statistics within the watershed, that people
11 will be attracted to the resort, which is good
12 for business, but will probably be enticed, as
13 was Mr. Housman in the article that we showed
14 from the New York Times, that there are a

15 certain number of people who will be roaming
16 the real estate offices and looking for land
17 to develop, and that that will in fact
18 accelerate the process of people selling off
19 their land or parcelizing their land when they
20 see an opportunity to sell it to interested
21 people who will be coming here in greater
22 numbers attracted by the development.

23 MR. GERSTMAN: As you said, the
24 increased rate of parcelization will result in
25 the increase in fragmentation of the forest?
(FOREST IMPACTS ISSUE)

1 PROFESSOR HALL: And we've also shown²⁶⁴⁴
2 that conclusively, there's about a 50 percent
3 increase in fragmentation on divided parcels
4 over land that is not divided.

5 MR. GERSTMAN: In your evaluation of
6 this issue, have you found that the
7 demographic of people who own second homes and
8 the large amount of acreage owned by people
9 outside the area to be unique in this area? I
10 have no way of judging. To have the use of
11 the tax parcel database is an amazing gift to
12 be able to analyze that, and we don't have
13 that.

14 In our Thames watershed study in
15 Connecticut, we did not have tax parcel data
16 that we could evaluate in terms of addresses
17 of owners. But let me just say, in our
18 meetings with people there, the preponderance
19 that people there told us -- that the
20 preponderance of people there were people who

21 were willing to commute now two hours to
22 Worcester, to Portsmouth -- not Portsmouth --
23 in Rhode Island -- Providence, Rhode Island,
24 and even to Boston; whereas, here when we met
25 with people here, they were talking right from
(FOREST IMPACTS ISSUE)

1 the beginning about the fact that they knew a ²⁶⁴⁵
2 lot of the land here was owned by people from
3 outside. So that's just anecdotal evidence.

4 MR. GERSTMAN: May I have one moment?

5 ALJ WISSELER: Yes.

6 (11:30 - BRIEF PAUSE.)

7 MR. GERSTMAN: Judge, do you have any
8 questions for Professor Hall?

9 ALJ WISSELER: No. I'll need a revised
10 Exhibit 67.

11 MR. GERSTMAN: We'll print the entire
12 new one.

13 ALJ WISSELER: And I'd like 67A to
14 match your revised 67.

15 MR. GERSTMAN: We'll do printouts --
16 we'll provide a new CD, and we'll print out a
17 new hard copy.

18 ALJ WISSELER: Okay.

19 We'll take a break here for 10 minutes
20 or so.

21 (11:31 - 11:43 A.M. - BRIEF RECESS
22 TAKEN.)

23 ALJ WISSELER: Applicant's 57 and 58.

24 ("THE EMPIRE STATE'S FORESTS --
25 TRENDS IN A ROBUST RESOURCE" RECEIVED AND
(FOREST IMPACTS ISSUE)

1 MARKED AS APPLICANT'S EXHIBIT NO. 57, THIS
2 DATE.)

3 ("POTENTIAL IMPORTANT BIRD AREA MAP -
4 6/28/04 RECEIVED AND MARKED AS APPLICANT'S
5 EXHIBIT NO. 58, THIS DATE.)

6 ALJ WISSLER: Mr. Gerstman, I believe
7 you had a couple more things you wanted to put
8 in the record.

9 MR. GERSTMAN: Yes, thank you, Judge.
10 First we will submit for the record
11 the two articles that were referred to by
12 Professor Hall in her presentation. The first
13 is the "Effects of Population Growth on Timber
14 Management and Inventories in Virginia," and
15 one of the authors is David wear; and the
16 second article was an article -- publication
17 and study done by Dennis Swainson, having to
18 do with the "Impact of Development on Forest
19 Parcelization and Forest Fragmentation."

20 Professor Hall, you wanted to talk
21 about the two further issues you wanted to
22 just to clarify the impacts locally of this
23 project.

24 ALJ WISSLER: Are you going to put
25 those in evidence?
(FOREST IMPACTS ISSUE)

1 MR. GERSTMAN: Yes.

2 ALJ WISSLER: The wear article is 68.
3 You just have a couple questions, and then
4 we'll mark them. And 69 will be the second
5 article.

6 MR. GERSTMAN: That's fine.

7 In terms of the issue of population
8 density in Delaware County, can you comment on
9 that issue?

10 PROFESSOR HALL: I think that it
11 wasn't completely clear that we do not see a
12 correlation between -- we see a high
13 correlation between population growth and
14 changes in forest cover, forest fragmentation
15 in Ulster County, which is where part of this
16 project is located. In Delaware County, we
17 saw absolutely no correlation between local
18 population growth and forest fragmentation.
19 So we were led to believe that, based on our
20 ownership statistics, that it's being driven
21 by people coming from outside the area and
22 developing second homes, particularly in that
23 region.

24 Also I would say that, because we
25 included in Ulster County, an area of both
(FOREST IMPACTS ISSUE)

□

1 very high population growth and development, 2648
2 and then also regions like up here which are
3 much different from that which you would find
4 down in the Hudson River Valley, we might find
5 if we zoomed in to just the more local part of
6 Ulster County, we might find there, too, a
7 disjunct between population growth over time
8 and forest fragmentation, but that part has
9 not been done.

10 MR. GERSTMAN: How would you

11 characterize the potential impact on community
12 character which would result from accelerated
13 forest parcelization and fragmentation?

14 PROFESSOR HALL: Our concern when we
15 started this, and the concern of the Forest
16 Service and their willingness to fund us in
17 this, was very much the fact that they are
18 concerned about the loss of timber as an
19 economic -- as being a viable -- the timber
20 extraction and wood products industry no
21 longer being economically viable in the United
22 States due to these processes of fragmentation
23 and parcelization.

24 when we talk about the loss of the
25 working landscape, we talk about the loss of
(FOREST IMPACTS ISSUE)

2649

1 the local economy, and we talk about,
2 basically changing the whole character of a
3 region from one that draws its livelihood, a
4 great deal of its livelihood anyway, from the
5 natural resources that are there to one that
6 is based on entirely something else when you
7 begin to have more and more development.

8 MR. GERSTMAN: You have heard me
9 allude to Mr. Alworth's characterization of
10 the forest in this area as the golden egg.
11 Would it be fair to characterize the project
12 as -- sort of an analogy -- that that would be
13 the way of -- what's that expression,
14 something about killing the goose that laid
15 the golden egg.

16 MR. RUZOW: Your Honor, this is silly.
Page 74

17 ALJ WISSLER: Yes. It's something you
18 might want to brief.

19 MR. GERSTMAN: I can brief. In terms
20 of forestry-related industries, would you also
21 include, for instance, the use of the forest
22 for outdoor recreation as part of that
23 characterization of the community?

24 PROFESSOR HALL: I think that that is
25 certainly one of the functions of the forest,
(FOREST IMPACTS ISSUE)

1 and certainly one of the functions of the U.S.²⁶⁵⁰
2 Forest Service, it's not simply interested in
3 timber extraction, and we, at the forestry
4 college, are not just training people how to
5 be good foresters but also how to maximize the
6 use of the forest for all kinds of purposes,
7 including recreation.

8 So, yes, the forest -- and also of
9 course we train people in wildlife management
10 as well. We see forests as very important to
11 the livelihood of our country, and also to the
12 restorative service that it provides to
13 people.

14 MR. GERSTMAN: You talked about the
15 study and the acceleration of second
16 homeownership, the use of the area by retirees
17 with the development of the type of resort
18 that's envisioned here, and the secondary
19 growth that might be associated with it.
20 Could you explain what that study -- I'm not
21 sure if it's the Swainson study or another

22 one -- can you explain what that study
23 concluded with respect to the attractiveness
24 of an area for development of that nature?

25 PROFESSOR HALL: Well, Montana, I
(FOREST IMPACTS ISSUE)

2651

1 believe its title is: "Northern Rocky
2 Mountain" -- I'm sorry, I don't have it here,
3 but what he does is he looks at national parks
4 in particular in the Rocky Mountains as nodes
5 attracting people, first of all, for the
6 aesthetic qualities that are there, and that
7 as people are exposed to this, they come in
8 and develop hotels and resorts, and then that
9 retired people -- people retiring also see
10 these -- there's some momentum in development
11 as desirable places to live because they would
12 have more of the services that might not have
13 been there previous to development.

14 So it's a -- there seems to be a
15 snowballing effect is what he points out in
16 areas of natural beauty, and that eventually,
17 even the people in the Chamber of Commerce who
18 you think would have been very interested in
19 promoting development, begin to feel that it's
20 actually a negative because all of the
21 aesthetic beauty that was there at one time is
22 destroyed. And then there seems to be less
23 attraction to people from outside.

24 So it's kind of a circular thing that
25 happens. It's not -- you know, it's good for
(FOREST IMPACTS ISSUE)

2652

1 a lot of people in terms of -- especially
Page 76

2 people in the building industries -- that seem
3 to especially like the fact that there is
4 development going on in the area, and that's
5 understandable; but basically our concern in
6 our study is once you pass a certain threshold
7 of development and parcelization of land,
8 you're just not going to have a viable timber
9 industry any longer.

10 And if you look at a map of the United
11 States, there are not a lot of
12 timber-producing areas in the country, and
13 timber imported from abroad is going to get
14 more expensive because oil is getting more
15 expensive.

16 MR. GERSTMAN: Would you say that the
17 conditions that were present that led
18 Mr. Swainson to his conclusions concerning the
19 northern Rocky Mountains are the same types of
20 conditions that are present in the area
21 surrounding the vicinity of the proposed
22 Crossroads development?

23 PROFESSOR HALL: They're almost
24 identical with respect to Whiteface Mountain
25 Ski Area, north of Kalispell, Montana -- was
(FOREST IMPACTS ISSUE)

1 once a sleepy little ski area, and now it is ²⁶⁵³
2 an absolutely booming development of
3 condominiums, golf courses, time shares,
4 second home and box stores lining a four-lane
5 highway going up to it; and that's all
6 happened basically within 10 years.

7 MR. GERSTMAN: Judge, any questions
8 from Professor Hall?

9 ALJ WISSLER: No.

10 MR. GERSTMAN: Thank you, Ms. Hall.

11 ALJ WISSLER: 68 and 69, why don't we
12 put those in.

13 MR. GERSTMAN: We don't have 69 here.
14 68 would be -- 68 would be the Article
15 entitled, "The Effects of Population Growth on
16 Timber Management Inventories in Virginia,"
17 and David Wear is one of the authors; and we
18 will provide copies as soon as we are able.

19 And the Swainson article concerning
20 the northern Rocky Mountains would be
21 Exhibit 69, and I don't have that with us here
22 today, but we will provide that.

23 ("THE EFFECTS OF POPULATION GROWTH ON
24 TIMBER MANAGEMENT AND INVENTORIES IN VIRGINIA"
25 - DAVID N. WEAR RECEIVED AND MARKED AS CPC
(FOREST IMPACTS ISSUE)

2654

1 EXHIBIT NO. 68, THIS DATE.)

2 ALJ WISSLER: Mr. Ruzow, Ms. Bakner.

3 MS. BAKNER: We're ready. The first
4 exhibit that we entered was Applicant's -- I'm
5 referring to 58; and I would like Mr. Kevin
6 Frank from LA Group to please describe how
7 this document was created.

8 MR. FRANKE: Basically what we have
9 done is we've taken CPC 49 that was submitted
10 as part of Dr. Burger's testimony, I believe
11 it was last week or the week before,
12 particularly the bottom portion of CPC 49, and

13 what we've done is we have overlaid that on
14 top of recent aerial photography of the area,
15 and just indicated some points of reference on
16 the map, as well as areas of fragmented forest
17 within the area put forth by Dr. Burger as an
18 Important Bird Area, for the primary reason
19 being it represented a large area of
20 unfragmented forest.

21 MS. BAKNER: Could you run through
22 some of the things that you have tagged here.

23 MR. FRANKE: Sure. For reference, we
24 have indicated the location of the Pine Hill
25 wastewater treatment plant, Lost Clove Road,
(FOREST PRESERVE ISSUE)

1 as well as the Turner mansion at Belleayre ²⁶⁵⁵
2 Highlands, which we stopped at during our site
3 visit. (Indicating)

4 In terms of other labels on there, the
5 Belleayre Mountain Ski Center is shown, as
6 well as the former Highmount Ski Area, which
7 is on the project site, as well as some open
8 field areas off of old Baker Road which is a
9 road off of Rider Hollow Road to the
10 southwest -- south/southwest of the project
11 site.

12 Actually by showing these, it
13 indicates that the area shown -- at least in
14 the vicinity of the project site -- certainly
15 is not unfragmented forest. (Indicating)

16 MR. GERSTMAN: I'm sorry, I can't hear
17 a word you're saying, Kevin.

18 MR. FRANKE: The figure obviously
19 illustrates that the area previously shown on
20 CPC 49 is not an unfragmented forest,
21 particularly in the immediate vicinity of the
22 project site.

23 MS. BAKNER: Kevin, if you could go
24 here to the figure that's included in the
25 Draft Environmental Impact Statement,
(FOREST PRESERVE ISSUE)

1 Figure 2-5, and just indicate for the record²⁶⁵⁶
2 what that figure shows, particularly in
3 relation to roadways, areas to be developed,
4 et cetera.

5 MR. FRANKE: DEIS Figure 2-5
6 illustrates the project assemblage which is
7 the entire lands of Crossroads Ventures, and
8 what's shown on Figure 2-5 within this
9 assemblage are the lands proposed to be
10 developed which are shown -- this brownish
11 gray. Shown in green are those portions of
12 the project assemblage to remain undeveloped.
13 (Indicating)

14 This is on a USGS base map which
15 includes the roads that we've traveled on as
16 part of our site visit, including woodchuck
17 Hollow Road near Belleayre Highlands, Lost
18 Clove Road to the southeast of Big Indian
19 Plateau, as well as County Route 49A, Todd
20 Mountain Road, very western portion of the --
21 wildacres portion of the project site.
22 (Indicating)

23 MS. BAKNER: Kevin, can you point out
Page 80

24 what's known as the former Adelstein parcel on
25 the western side --
(FOREST PRESERVE ISSUE)

1 MR. FRANKE: The Adelstein parcel is ²⁶⁵⁷
2 the westernmost portion of the project site.
3 We actually passed it on the eastern side;
4 part of our driving tour, we stopped to look
5 down the power line right-of-way. Dr. Kiviat
6 was interested in seeing that.

7 So it would have been on our
8 right-hand side as we proceeded up County
9 Route 49A where we made the turn, came down
10 Todd Mountain Road which essentially runs
11 through the Adelstein parcel. (Indicating).

12 MS. BAKNER: Thank you very much. I'm
13 sorry. Kevin, the areas that are in tan
14 there, as opposed to the areas in green, what
15 do the areas in green represent?

16 MR. FRANKE: The areas in green
17 represent those areas to remain undeveloped,
18 and as part of the project will have some kind
19 of permanent preservation associated with
20 them, be it conservation easement or other
21 similar protective measure that will preclude
22 future development on this assemblage of
23 various tax map parcels.

24 MS. BAKNER: Can you point out where
25 the former Highmount Ski Center is; it's hard
(FOREST PRESERVE ISSUE)

1 to see that that is, in fact, tan but it is. ²⁶⁵⁸

2 MR. FRANKE: It's not shown in tan

3 because it's not proposed -- no more existing
4 development is proposed except for the very
5 base area. The ski slopes are actually in
6 this area here. (Indicating)

7 MS. BAKNER: So that's, in fact, not
8 going to be subject to a conservation
9 easement?

10 MR. FRANKE: That would not be. Maybe
11 portions of it, but not the entire area.

12 MS. BAKNER: I just wanted to point
13 that out since it could be misleading.

14 Kevin, in light of what the aerial
15 photograph shows here, do you think that the
16 methodology used by Dr. Burger was
17 particularly effective at identifying
18 unfragmented areas --

19 MR. FRANKE: I think the precision on
20 the mapping could have been much greater than
21 it was, possibly --

22 MR. GERSTMAN: I'm sorry. I know
23 you're talking that way. I can't hear.

24 MR. FRANKE: I'm sorry. No, I don't.
25 I think the precision of the mapping could
(FOREST PRESERVE ISSUE)

1 have been higher. Obviously there are other²⁶⁵⁹
2 sources out there that clearly show the nature
3 of the landscape more precisely than possibly
4 the mapping that Dr. Burger had used.

5 MS. BAKNER: Was it hard for LA Group
6 to come by this aerial photo?

7 MR. FRANKE: No, it's publicly
8 available information.

9 MS. BAKNER: We have also introduced
10 today Applicant's Exhibit 57. Can you explain
11 where you found this?

12 MR. FRANKE: That, I found on an
13 Internet search, probably within an hour's
14 worth of time yesterday. It's a USDA Forest
15 Service report, the New York State's Forest
16 and Trends in Forest Resources within New York
17 State.

18 MS. BAKNER: This is Applicant's
19 Exhibit 57.

20 I just want to direct you to the first
21 page of the report. I would just note for the
22 record that it indicates, sort of consistent
23 with the history of the Catskills: "That
24 throughout New York, by 1880, most of the
25 forest land was cleared for agriculture,
(FOREST PRESERVE ISSUE)

1 leaving only about 25 percent of the land in ²⁶⁶⁰
2 forest." Then it notes that the 1993
3 inventory shows 62 percent of the land in
4 forest, and it remarks that: "In view of the
5 population growth and development that has
6 taken place since colonial settlement began
7 around 1625, the present level of forest cover
8 is remarkable."

9 The other thing I want to draw your
10 attention to is the top of the next page where
11 it says that: "The New York forest is a
12 regrown resource. In fact, the New York
13 forest today is 23 percent greater in area

14 than it was in 1953. Today, after decades of
15 large increases, there are more acres in
16 forest than at any time in this century. But
17 in recent years, the amount of the New York
18 forest has been fairly stable."

19 I'm sure, your Honor, that you can go
20 ahead and read this on your own. Below, it
21 specifically refers to the significance of
22 state-owned preserve land within the
23 Adirondack and Catskill Parks, noting that it
24 is reserved from cutting, and the impact that
25 has on the availability of timberland for
(FOREST PRESERVE ISSUE)

2661

1 commercial purposes.

2 It also notes that timbering depends
3 on private landowners, and it talks about the
4 volume of timber increasing, and this is under
5 large volume increases and larger diameter
6 trees; saying that between 1980 and 1993, the
7 total growing stock volume rose by 32 percent.

8 The reason -- I'm sorry, on the next
9 page, I just want to direct your attention to
10 the top 12 species. It's a little bar chart.
11 We have -- I just want to note that we have
12 American Beech at 24 percent. And I note that
13 in relation to its occurrence on the site;
14 beech, maple, those are very common,
15 apparently given the total billion cubic feet
16 in the top 12 species.

17 The point of bringing this here today
18 is to show you, your Honor, that unmodeled but
19 collected data obtained by the Forest Service,

20 even though it admittedly dates from 1995,
21 shows a substantially different picture than
22 the satellite imagery that this study that
23 Dr. Hall has been talking about relies upon.
24 We just want to note for the record that
25 satellite imagery apparently has its
(FOREST PRESERVE ISSUE)

2662

1 limitations in terms of modeling, and
2 accurately predicting, or even seeing what's
3 on the ground at any one time.

4 The biggest impact in the Town of
5 Shandaken is clearly the ownership by the
6 State and by DEP of property, particularly in
7 more recent years and continuing into the
8 foreseeable future, New York City DEP
9 ownership of property is going to have a big
10 impact on what's available to whatever forest
11 industries continue to exist in this area.

12 Similarly, the documentation that was
13 provided earlier by the Coalition demonstrates
14 that there's quite a bit of acreage within the
15 town or nearby the town that's slated for
16 further protection as open space, presumably
17 rendering that property also unavailable to
18 the timber industry.

19 In Dr. Hall's recitation of her study,
20 and all the new information that was presented
21 today, she went into detail on how they looked
22 at ownership records. Based on her testimony
23 today, it doesn't appear that the ownership
24 records would have covered a number of

6-29-04-crossroads.txt
critical issues. One is the recent
(FOREST PRESERVE ISSUE)

25

□

2663

1 acquisition of land by DEP in two methods,
2 outright fee ownership which can take as long
3 as a year to go from having a land contract to
4 actually transferring title --

5 MR. RUZOW: Actually, it's more than a
6 year, your Honor, it's anywhere from 18 months
7 to two years, so the 2001 data of actual
8 ownership -- and we can verify this with New
9 York City's land acquisition data that we
10 had -- by this spring, they indicated an
11 acquisition of some 53,000 acres, not
12 conservation easements, that's a separate
13 number, of land in the New York City watershed
14 west of Hudson. But in 2001, which was only
15 four years after the go-ahead from the MOA,
16 and it took a while for the solicitation, my
17 best estimate -- we'll check it -- was only in
18 the 20,000 acres at that point in time, which
19 title had actually transferred.

20 So a major data gap in Ms. Hall's
21 study, not her fault, she's doing a study and
22 picks a point a time, is the fact that there
23 is and continues to be significant land
24 acquisition in this area by New York City.
25 Some 7500 acres in the Ashokan Basin alone has
(FOREST PRESERVE ISSUE)

□

2664

1 been acquired by New York City, several
2 thousand of those since the 2001 cut-off in
3 terms of land acquisition.

4 In the Pepacton, there was some 3500
Page 86

5 acres, just within the past two years. That
6 trend is a fundamental factor impacting this
7 work, and you could not take it into
8 account -- and from a trend analysis project
9 it forward -- because it excluded publicly
10 owned lands from that trend analysis. And
11 that's a major underpinning of the
12 assumptions.

13 MS. BAKNER: To proceed, as far as the
14 ownership title and how you would do the title
15 search in the county records base, we don't
16 know because we don't have the actual data,
17 but it doesn't seem that transfer of
18 conservation easements would show in a typical
19 owner-to-owner transfer. The way the county
20 records, land transfer records work, it's
21 usually purchase -- outright purchases that
22 are recorded as part of the chain of title,
23 and the conservation easements can be placed
24 even in separate books.

25 So it's not clear whether they
(FOREST PRESERVE ISSUE)

2665

1 accounted for those numbers of acres that
2 would have been protected. If they could, and
3 we respectfully request that they share the
4 full report with us, including the appendices,
5 as well as the compilation of data for the
6 model so that we can take a look at it and see
7 other ways in which it may have failed to
8 fully account for quasi public, if you will,
9 ownership or prevention of future timbering

10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15

due to conservation easements.

MR. RUZOW: The other factor that is missing in their assumptions is that New York City doesn't have a limit on the amount of acreage that can be acquired by the City for protection of the watershed. There's a dollar amount that's set aside, and that's supplemented as they choose to, but it's not a fixed limit on what the City can acquire. It's a willing-seller/willing-buyer market, and the as long as the acreage is over ten acres, has some nexus to streams, steep slopes or water bodies, the City can acquire that land.

So forest parcels, even of the size of ten acres -- indeed, the City has acquired (FOREST PRESERVE ISSUE)

many parcels -- you can look at the map. This²⁶⁶⁶ may or may not have been included, but the shaded areas, the New York City lands in purple on Exhibit 3-B, the purple-shaded areas are the New York City lands with fee acquisitions complete as of 12/03. And you can see the relative size of these parcels, and where they are.

Many of the areas that -- based on the scale of the maps that are projected for development, in the simplistic analysis that we have heard about this morning, are encompassed in those areas of potential future growth. So without taking into account that as a projection of the City's activities, you

21 Over the course of the last 20 years,
22 we have represented three paper companies that
23 have had mills go out of business in the north
24 country because of the absence of large tracks
25 of land, both in the Catskills and in the
(FOREST PRESERVE ISSUE)

1 southern Adirondacks, and State ownership had²⁶⁶⁸
2 a great factor in that.

3 But since this is all argument, I feel
4 comfortable in suggesting that to you. We
5 will look at producing in response to this
6 some folks from the timber industry who will
7 talk about that that is a fundamental factor
8 in affecting the working forest in New York.

9 There are very few paper mills left in
10 New York State, and so the market for paper
11 products is fairly limited now that IP has
12 basically consolidated the ownership of most
13 of the paper production in the north country.
14 You have only one or two mills left that are
15 actually producing and buying timber in this
16 rather wholesale sort of way.

17 MS. BAKNER: One of the main points of
18 the research, as it was expressed here today,
19 was that there's no correlation between
20 changes in population density which are
21 absolutely flat in this particular area, this
22 subset of Ulster County and Delaware County;
23 but that somehow if data were available
24 regarding second homeownership or
25 out-of-towners who own homes, that that would
(FOREST PRESERVE ISSUE)

1 somehow validate the statistical analysis.

2 We just want to emphasize for the
3 record that no data on second homeownership or
4 outsiders in the area of any sort, scientific
5 or otherwise, has been presented in the
6 context of this particular study. So any
7 conclusions with respect to that would only be
8 speculation and therefore are not admissible
9 in the typical SEQRA proceeding.

10 They also try to establish a
11 correlation between proximity of roads and
12 likely future development. We just note for
13 the record that we couldn't tell from the
14 pictures that you saw up there, but in the
15 Catskills, there are roads, different kinds of
16 roads. There are private roads, which are not
17 maintained by the municipalities, such as the
18 ones that we're proposing for our resort, and
19 there are public roads. And you have
20 different sorts of rights and liabilities in
21 terms of right to build associated with those
22 roadways.

23 So there's not necessarily any kind of
24 simple correlation between development and
25 transportation corridors if you have not
(FOREST PRESERVE ISSUE)

1 carefully identified the type of road that it²⁶⁷⁰
2 is.

3 MR. RUZOW: There are some other
4 factors. Again, as Ms. Hall indicated, this
5 is Part 1 of a study. It may have its place

6 in certain planning circles, and indeed the
7 report itself when you read the conclusions,
8 its utility for microplanning purposes at a
9 local level or a state level or a regional
10 level, it may -- this may be good enough for
11 looking at and forecasting, but it has no
12 application, in our judgment, in the
13 decisional process on an individual project.
14 It was never intended for that. It can only
15 give you an idea of what might happen, but
16 it's not one that is appropriate for either
17 adjudication -- because it's not capable of
18 being adjudicated -- or use in a process and a
19 procedure where the rights of an applicant to
20 develop property are at issue.

21 For land use planning purposes, if
22 planning boards and the county boards, which,
23 by the way, which were not consulted, based on
24 our review of the appendices to the report,
25 none of the planning boards either in the
(FOREST PRESERVE ISSUE)

□

1 counties or any of the towns involved in this²⁶⁷¹
2 region were involved. There was a Roxbury
3 Planning Committee of some kind, which is not
4 a planning board unless it's misstated in the
5 appendix, was consulted as part of this.

6 So their involvement, the officials
7 who are either elected or appointed to
8 positions that were responsible for land use
9 planning in this region were not consulted in
10 the development of this study. That is a
11 major flaw if the study is going to be used

12 for purposes of planning at a local level.

13 On the other hand, if it's a tool to
14 give to them at some point in the future and
15 to say: Gee, you ought to look at this, take
16 this into account in your own land use
17 comprehensive planning development -- that's a
18 different matter. I want to draw that
19 distinction. This is not the type of a study
20 that is appropriate.

21 And also, as Professor Hall indicated,
22 this is page 1. If you look at page 16 of --
23 at least the appendix that was attached to
24 Exhibit O of the CPC study, it's not included
25 in the overhead production but in the report
(FOREST PRESERVE ISSUE)

□

1 itself, there's a list of independent
2 variables on page 16, "Factors Affecting
3 Location of New Development Areas."

2672

4 You'll see included in the New York
5 column, the X indicates that the factor was
6 taken into account, used in some way in the
7 analysis. And then the blank spaces, most of
8 which concern many fundamental economic or
9 social factors, including zoning, for example,
10 zoning regulations, which were ignored; and
11 then a whole list of, "Did not investigate due
12 to project resource constraints." These are
13 all important issues in a socioeconomic aspect
14 of a study that they have yet had the
15 opportunity to include -- because they
16 couldn't fund it.

17 So you have a whole variety of the
18 things that were not taken into account, most
19 fundamental, at least in our judgment, is the
20 zoning regulations because they and the -- in
21 addition to the zoning regulations, the New
22 York City Watershed Regulations which are not
23 taken into account in this -- they have
24 fundamentally changed. You have heard from
25 CWT and Kevin -- Kevin Young and Jeff Baker,
(FOREST PRESERVE ISSUE)

2673

1 and from the town supervisors themselves --
2 the fundamental way in which the New York City
3 watershed Regulations have affected what can
4 be developed. That's missing from this study.
5 It may be appropriate for future aspects of it
6 that might, in effect, validate some of the
7 projections in 2011, but it's simply a linear
8 projection based on the 1992 to 2001, and then
9 through the modeling and the spatial indices,
10 applying that to 2011. None of the factors
11 that were at play in a meaningful way,
12 particularly the New York City Watershed Regs
13 were reflected in that. It took too long.

14 Moreover, the study doesn't take into
15 account the sources of some of the
16 parcelization, because that was not part of
17 the study. If you look back in the late -- in
18 the late 1970's and through the mid '80's,
19 that's when Delaware County, through the
20 federal dairy buyout lost most of the dairy
21 industry in Delaware County. That had a
22 fundamental consequence on the land use

23 development patterns in Delaware County
24 because that area, that time in New York, you
25 had the late 1980's with development booms;
(FOREST PRESERVE ISSUE)

1 and if you recall from newspaper articles of ²⁶⁷⁴
2 those days, the subdivision of the Catskills.
3 And through use of linear lots running along
4 roadways, you were subdividing the Catskills.
5 That was the time in New York when that was
6 occurring. Because of the bust in the real
7 estate market in 1990, and through 1992 and
8 just until about 1993, those properties didn't
9 get developed. But if your task was to look
10 at the -- what in 1992 was on the books of
11 what was subdivided and the size of parcels,
12 you would see all those filed subdivision
13 maps.

14 Post, when things improved post `97
15 after the watershed agreement was signed
16 because there was a cloud over development in
17 the watershed between 1991 and 1997, and then
18 the post economic boom from `97 through 2001
19 and the 9/11 incident, which stayed developed,
20 we heard, for a little while, but then it
21 picked up again as people wanted to look
22 closer to home. You have a whole bunch of
23 socioeconomic factors that are driving the
24 levels of development and explain where the
25 development is going.
(FOREST PRESERVE ISSUE)

1 Now you have a different cloud over ²⁶⁷⁵

2 the action of development in subdivisions
3 because you have New York City's Watershed
4 Regs, which play a fundamental role in what
5 can be developed in the future in terms of new
6 opportunities for development.

7 These aspects, which all are worthy of
8 study, at an academic level and then
9 eventually through testing use by local
10 planning boards -- this is premature. This is
11 not something that will enlighten this
12 proceeding in any meaningful way because the
13 data isn't there, and the correlation of these
14 very important factors, in addition to things
15 that Professor Hall has done, will -- maybe
16 advance the understanding of future
17 activities. But one important thing that she
18 said as well, and we have looked at it,
19 development along the corridors.

20 The historical corridors, the hamlet
21 areas. These were areas which are supposed to
22 grow. You're not going to see much in terms
23 of forest fragmentation in those areas because
24 geographically the hamlet area is already
25 walled in by the mountainsides.

(FOREST PRESERVE ISSUE)

1 Along Route 28, it's an area that New
2 York City expressed concern, we heard that in
3 community character, that there could be areas
4 of further development. The limitations there
5 are zoning, and the City's Watershed Regs and
6 distance from the water courses which run
7 alongside. All of those factors are

2676

8 inhibiting factors in terms of future
9 development.

10 It's indeed why the strength of
11 feeling by the other parties who are not here
12 today, the Coalition and Delaware County and
13 the two towns, is so strong, because the areas
14 left to be developed are so limited. The use
15 of this study -- if we were to have a
16 voir dire -- assuming we ever got that far --
17 over the appropriateness of this study to be
18 used in an adjudicatory proceeding, we would
19 argue strenuously that it is simply not right
20 for such consideration; and secondly, that
21 this type of study and the kinds of issues
22 being raised about speculative future
23 development, with or without the project, are
24 not things that can impact -- or should impact
25 the Commissioner's decision on whether or not
(FOREST PRESERVE ISSUE)

□

1 we meet the statutory standards for issuance²⁶⁷⁷
2 of a permit, or whether in some way these
3 factors should be taken into account and, in
4 effect, burden the project itself.

5 To the extent these things are
6 relevant, they can and should be considered by
7 the local planning boards that are responsible
8 for the local land use changes here and by --
9 under statute -- directly responsible, and
10 because SEQRA doesn't change between or among
11 agencies, it's simply not appropriate for this
12 proceeding to consider them any further.

13 We would certainly respond to these
 14 comments as part of a response in a final EIS,
 15 but it is simply not something that is
 16 appropriate for decision-making on an
 17 individual project basis.

18 One further factor, and this was a
 19 weakness in terms of the community character
 20 position taken by New York City's consultants,
 21 it doesn't take into account floodplains,
 22 areas that are, in effect, regulated
 23 floodplains along these corridors. Just
 24 because development has occurred in one piece
 25 doesn't mean that agencies will now allow the
 (FOREST PRESERVE ISSUE)

2678

1 next piece to be developed.

2 we all walked through the village of
 3 Margaretville. The 1996 flood, the January
 4 flood, changed the dynamics of development in
 5 Margaretville because the federal buyout took
 6 out all that property for future development;
 7 and New York City, in a cooperative venture
 8 with the village, purchased that land to
 9 prevent it from any further development, and
 10 made little pocket parks out of it. That made
 11 perfect sense for that local regulatory
 12 decision to be made, both regulatory and in
 13 terms of land use planning, but it took out of
 14 all that future development or redevelopment
 15 within the hamlet areas, the immediate hamlet
 16 areas.

17 So floodplains play a big role here,
 18 and again, because of costs, because of

19 opportunity, this particular study didn't have
20 the opportunity to factor all those things
21 into its projection of what things might look
22 like in 2011.

23 I don't want to sound too critical,
24 and I apologize if I sound too critical of the
25 study; it has its place, but it is a work in
(FOREST PRESERVE ISSUE)

1 progress, and it has no place whatsoever from²⁶⁷⁹
2 a regulatory point of view at this point in
3 time. At best, it is a tool land use planners
4 can take, and should take into account in the
5 future and as it's further developed, and use
6 it for that purpose. But it has no place in
7 this regulatory forum.

8 Two last things. The opportunities
9 for recreational development, intense
10 recreational development in the Catskills are
11 limited. The ski centers in the Catskills
12 represent the principal source of large-scale
13 recreational development in the Catskills.
14 There are three large ski centers. There is
15 Belleayre, there is Windham, and there is
16 Hunter. Those are the sources.

17 If you look at those areas in the
18 Catskills, those are the primary areas for
19 larger-scale economic development in the
20 Catskills in terms of reaching a balance
21 between protecting the environment from future
22 development or encouraging it in other places
23 willy-nilly -- they are centers. This project

24 is tied to one of those ski centers as the
25 private side of what is a public investment.
(FOREST PRESERVE ISSUE)

1 So there really is limited opportunity in that ²⁶⁸⁰
2 regard.

3 With respect to the theorems of the
4 study though, this is an underlying assumption
5 that state forest preserve land and its
6 recreational activities, and attracting people
7 into the region is going to be bad for the
8 forest industry. As I'm listening to what I'm
9 hearing about the Montana experience and the
10 Rockies experience, that somehow park lands,
11 are sort of their own worst enemy, because
12 they're going to encourage that sort of
13 development. That may be a hypothesis, I may
14 have gotten that hypothesis wrong; however,
15 tourism is the fundamental economic
16 opportunity for the Catskills.

17 Every one of the studies that we read,
18 every one of the land use planning documents
19 that we read, the Catskill Forest Preserve
20 Public Access Plan that we have heard about
21 already all presume that we want to bring
22 people here. And as a corollary to that --
23 some may want to stay longer than others, some
24 may have already done that, and that's the
25 source of it. But that's the basis of the
(FOREST PRESERVE ISSUE)

1 economic model that's being pitched for this ²⁶⁸¹
2 region since manufacturing has gone on its way
3 out, timbering has largely gone on its way

4 out. There's small-scale activities, but
5 they're not anything that are going to expand
6 the basic economy in any meaningful way.

7 Then, when you look more closely at
8 the area that we're affecting, in particular
9 because there's emphasis on the Big Indian
10 side of the resort as being the more fragile
11 areas and as part of the strategy of the
12 opponents to the project to attack that
13 because maybe we can live with the western
14 parcel, the wildacres, it ignores the fact
15 that the Town of Shandaken is 72 percent
16 already owned by New York State. The New York
17 City has grown from about five percent,
18 because of the reservoirs, to close to 6 or
19 7 percent, and growing, because they're
20 continuing to acquire land.

21 If you look at all the other physical
22 constraints on building, the opportunity for
23 development is incredibly limited in terms of
24 the percentage of land that remains. It's
25 always been historically since the 1700's,
(FOREST PRESERVE ISSUE)

□

1 along the river corridors, that that's the
2 only place people basically have inhabited in
3 any material way, and the hamlets.
4 Phoenicia -- we've passed through them all --
5 Mount Tremper, Phoenicia; on this side, Pine
6 Hill. There's just a limit to where people
7 can grow, so the suggestion that simply
8 multiplying out what has happened in the last

2682

9 ten years, and the assumption that it's going
10 to continue to grow, and it's hard with the
11 scale of the slides in here to see, but where
12 you see most of the growth or the red areas,
13 the projected red areas, are not to the
14 Ashokan basin, but to the Pepacton in the
15 north. You can see it up in this area.
16 (Indicating)

17 That is the area that is northwest of
18 the site. That is the area that begins -- and
19 they follow out these little roads, and you
20 can see them dotted along the little houses.
21 By definition, in terms of that model, they
22 just keep multiplying out along these roads,
23 and out in this area. (Indicating)

24 Our project -- whether our project
25 affects that part of the basin, which is in
(FOREST PRESERVE ISSUE)

□

1 the Pepacton basin -- part of it is in the
2 Pepacton, part of it may be actually in the
3 Schoharie basin at a certain point in there.
4 whether we're going to accelerate that and to
5 what extent, it's sheer speculation on
6 everybody's part. To the extent it occurs,
7 it's the subject of local land use control;
8 whether or not larger parcels are subdivided
9 or acquired by New York City, are factors that
10 none of us have control over.

2683

11 Moreover -- your question was a good
12 one regarding the economic factors. If you
13 look at this period of time, we had the
14 lowest -- at least for a portion of this

15 period of time -- we've had the lowest --
16 continuous low interest rates in the history
17 of the country. We've had a stock market
18 crisis that occurred in a post-2001 era where
19 money was coming out of the markets and going
20 into real estate.

21 We're going to hear probably on Friday
22 that interest rates are going up, and God help
23 us if they go up a lot. But those economic
24 factors are as much a factor of -- and the
25 cycles -- of what ten years you take, as
(FOREST PRESERVE ISSUE)

□

1 anything else is. They're all cycles. You ²⁶⁸⁴
2 can't reliably look at only part of this
3 picture and then rely on it for determining
4 the rights of applicants for permits in a fair
5 and balanced way. It doesn't work that way.
6 And that aspect of the study which they have
7 not had the funds for, maybe they will get the
8 funds for and try to project it out is a
9 meaningful and fundamental aspect. Using the
10 words of -- no, I won't do that.

11 One interesting last comment I'll make
12 is that this project has not contributed to
13 parcelization as it's been described. We
14 haven't been an assembly of parcels in order
15 to get to this site. We didn't take large
16 acreage and cut it up and divide it up. We
17 acquired some 14 parcels on the wildacres
18 parcel, and some 12 parcels on Big Indian to
19 consolidate it, and that allows us to protect,

20 in perpetuity, some 1370 acres of forested
21 land in a meaningful way. That is ignored by
22 everybody. That is important, but it's the
23 converse of what we're hearing.

24 Allegedly, the parcelization is going
25 to cause increased fragmentation of the forest
(FOREST PRESERVE ISSUE)

1 in other places, but on this assemblage, it ²⁶⁸⁵
2 will help secure it -- and you can see it
3 here. what we have done, again, looking at
4 Figure 2-5, and we'll talk about this -- you
5 can look at it also on Figure 3 -- CPC Exhibit
6 3-B -- is we have taken property that adjoins
7 the Belleayre Ski Center intensive use area --
8 state policy, intensive use area -- and
9 bordered it with lands, that some will be
10 developed, some will be preserved. On the
11 west side, the Big Indian, which looking at
12 2-5, you can see how it's configured, and
13 consolidated this area.

14 The northern boundary is Route 28. It
15 is a natural barrier for purposes of forest
16 fragmentation because it, by definition, is an
17 area that fragments or at least creates a line
18 against which the forest abuts. And this is,
19 in our judgment, a natural area to expand, and
20 is quite limited.

21 If through this type of study
22 additional parcels should be added to the Open
23 Space Priority Plan or New York City's
24 Acquisition Plan along what is another
25 roadway, the only place where people live in

□

2686

1 this region, that's fine, but that's a land
2 use planning concept on a macroscale that is
3 unrelated to an individual decision on a
4 project. We think this reinforces the
5 appropriateness of this particular location in
6 terms of the balances of choices that are to
7 be made.

8 One further factor. We think it
9 effects -- there are a couple of factors that
10 we think are potentially greater influences of
11 forest fragmentation than this project. One
12 is New York City's Land Acquisition Program.
13 New York City's Land Acquisition Program is
14 raising the price of land, and also to the
15 extent it continues to buy up developable
16 parcels, it will push people to seek to
17 acquire additional ag. lands, the lands that
18 were abandoned in the federal farm buyout,
19 many of which are, as being observed, are
20 being restored to forest because they're left
21 fallow and no one is tilling them.

22 So over the next ten-year horizon, you
23 may see, particularly in the Canonsville basin
24 and parts of the Pepacton, more reforestation
25 naturally occurring unless somebody acquires
(FOREST PRESERVE ISSUE)

□

2687

1 them and starts cutting timber or putting in
2 fields again. But it will create larger lot
3 subdivisions because they acquire developable
4 land, even in the 10- or 40-acre range, and

5 the pressure is there, irrespective of our
6 project, for everybody to get their own back
7 40, from the wealthy folks from New York City
8 because that's who's buying the land -- we
9 agree, it's already here. They will drive
10 more land to be parcelized. That's a factor
11 that is present, and we are all living with.

12 This other thing is that our
13 project -- we're criticized for it -- we have
14 some 331 units, vacation units, time share
15 units that provide opportunities for a lot of
16 people to come to the region without having to
17 buy their own back 40. we have clustered that
18 development in and around the golf courses so
19 that we're getting the double benefit of
20 consolidating where that is. It doesn't
21 require -- it doesn't allow people to clear
22 other areas on the site for forest to decide
23 what -- a lawn they want here or something
24 else. And it consolidates them all in one
25 place.

(FOREST PRESERVE ISSUE)

1 while the numbers of people, visitors ²⁶⁸⁸
2 who will come conceivably could be fairly
3 large, the opportunity here to have a lot of
4 visitors and have a piece of the Catskill
5 environment in a more efficient, from a land
6 use perspective, a more efficient manner,
7 because it's a lot more dense, is a very
8 positive thing.

9 No one can project -- but the answer
10 is no one can project reliably how many of

11 those people who will come and visit or stay
12 at the hotel and want to get a piece of
13 property of their own. We don't believe
14 there's a reliable way of projecting that.
15 Some might. Whether they can do it or not is
16 going to be a factor of the land that is
17 available off our property.

18 As we said, New York City is on a --
19 is a pace acquiring as much of that as they
20 can. The reality is, being able to put in a
21 septic system, unless you have a very large
22 piece of property and a lot of money under the
23 New York City regs, is a limited opportunity
24 and window.

25 In the cauldron of all the things that
(FOREST PRESERVE ISSUE)

2689

1 are involved in this, we think that the
2 project actually may benefit -- by providing
3 an alternative opportunity for people to
4 participate and have a vacation experience in
5 this region without having to buy new lands as
6 well. Thank you.

7 ALJ WISSELER: That's it?

8 MS. BAKNER: Yes.

9 MR. ALTIERI: We would like to take
10 ten, your Honor, or take five before we
11 present.

12 ALJ WISSELER: Okay.

13 (12:46 - 12:55 P.M. - BRIEF RECESS
14 TAKEN.)

15 ALJ WISSELER: Mr. Altieri.

16 MR. ALTIERI: First, it is staff's
17 view that the DEIS appropriately identified
18 and analyzed forestry impacts in general. The
19 DEIS also addressed the timber industry, and
20 it's staff's view that for DEIS purposes, it
21 was adequately addressed and analyzed.
22 Heretofore, we don't hear a substantive or
23 significant issue regarding forestry, although
24 some of the comments that were raised today
25 may be addressed in the final EIS.

(FOREST PRESERVE ISSUE)

1 Having made these comments, I'll call ²⁶⁹⁰
2 on Jeff Rider just to raise two points.

3 MR. RIDER: We discussed here --

4 MR. ALTIERI: What is your position
5 with the DEC?

6 MR. RIDER: My position with DEC is
7 I'm a senior forester by title. Again, my
8 jurisdiction, so to speak, is Sullivan and
9 Ulster Counties, the majority of which is
10 inside the Catskill Park blue line. I also
11 have some properties that I manage outside of
12 the Catskill Park for or on behalf of the
13 State.

14 A couple of things, just for
15 clarification, nothing more. We heard
16 statements as far as DEP-owned lands and
17 DEC-owned land and what's available for timber
18 harvesting and what isn't. Inside the
19 Catskill Park, in DEC forest preserve lands,
20 they're protected by constitution, and you can
21 not remove timber on those lands. So it is

22 correct that those lands cannot have timber
23 production. However, on New York City DEP
24 lands, both lands that they owned in fee and
25 potentially lands that they have easements on
(FOREST PRESERVE ISSUE)

2691

1 can be actively managed for timber.

2 Many times DEP has not actively
3 managed their timber based on public
4 perception. They were chastised quite a
5 number of years ago for a cutting that they
6 did down by the Ashokan Reservoir in
7 Boiceville. Due to that, they backed off for
8 a number of years on a lot of timber
9 harvesting; however, in recent history, due to
10 blow-downs or due to studies that have shown
11 that watershed management, watershed quality
12 is generally increased with active management
13 of your timbered lands, meaning a healthy
14 forest, actively managed, healthy vibrant
15 forest is better for watershed. So just to
16 note, that not all DEP lands are off the books
17 as far as the timber industry.

18 Lands that they own or that they
19 purchased through easement, meaning that they
20 don't own the lands in fee but they have an
21 easement on there, maybe a development
22 easement, many times the property owners are
23 allowed or hold the right to continue timber
24 harvesting at least for a period of time.

25 As far as impacts on the local timber
(FOREST PRESERVE ISSUE)

2692

1 industry, we see more effect on local industry
2 based on public perception in that as we see
3 more and more non-resident or second
4 homeowners move into the area, maybe have come
5 more from urban areas and urban background,
6 they're not familiar with land management,
7 forestry, and they were brought up with the
8 perspective that forestry is a bad thing, that
9 cutting trees is a bad thing -- so there's
10 more perception, as you have more and more
11 land owners -- you also have fragmentation and
12 parcelization, you have more and more owners
13 on the same pieces of land. A lot of that
14 land is taken out of production just based on
15 a perception.

16 So as Ms. Hall said, there is high
17 demand in the forest industry for trees and
18 timber production, and it's getting harder and
19 harder to find areas where they can actually
20 harvest trees and manage.

21 There's many things that also affect
22 the timber industry. Their practices alone --
23 if a forest is not professionally managed by a
24 forester for perpetuity, many times you have
25 companies that will come in and, for economic
(FOREST PRESERVE ISSUE)

□

1 return, they take the biggest and best
2 species, and what's left behind is species
3 that have low value and will not increase in
4 value over time. If it's done properly, a
5 harvesting plan is instituted, harvest timber
6 in perpetuity, and if done correctly, after

2693

7 you harvested a stand, the per-acre value of
8 that remaining stand is higher than what you
9 had just removed, so in perpetuity you should
10 increase the value of your stand over time,
11 meaning you're leaving your biggest and best
12 species, whether it be seed trees or crop
13 trees that -- right now they're only 12 inches
14 in diameter, if you let them go for another 20
15 years, they may be 15 or 20 inches in diameter
16 where you increase your value on your land.

17 so it's a little clarification on the
18 timber industry around the area.

19 MR. ALTIERI: Do you have any
20 questions, Judge?

21 ALJ WISSLER: No.

22 MR. ALTIERI: Could you -- I think
23 this was a question the Judge had prior
24 regarding first forest growth. Could you
25 define it, just for the record, and then
(FOREST PRESERVE ISSUE)

1 identify any regulations or standards
2 regarding the cutting of first forest growth.

2694

3 ALJ WISSLER: That's a question that
4 goes way back.

5 MR. RIDER: I certainly wasn't present
6 for that. Essentially -- there's many
7 definitions out there. You have old growth,
8 first growth, second growth, third growth,
9 et cetera. Typically, a lot of times, old
10 growth and first growth people use them
11 interchangeably, and they're not necessarily

12 interchangeable terms. Old growth typically
13 is referred to growth that was here when you
14 got here. It's something that's been around
15 for a long time. It's the original forest
16 that was expected that was here.

17 You don't necessarily see that in the
18 Catskills, and by that I mean --

19 MR. ALTIERI: When you say original
20 here when we first came here; does that
21 mean -- is that the measurement, colonial
22 times?

23 MR. RIDER: What you see in that area,
24 irregardless of the Catskills, but using the
25 Catskills as an example, forest is constantly
(FOREST PRESERVE ISSUE)

1 changing. It's either wind throw, ice storms,²⁶⁹⁵
2 insects, disease, that type of thing changes
3 your forest continuously. And what you saw
4 here 300 years ago that you may have
5 considered old growth that was here when you
6 got here is not what you see today. The
7 forest is constantly changing, and what you
8 see today may not necessarily be what we see
9 100 years from now on these mountain tops.
10 It's going to change just due to its own
11 environmental factors that effect it, not only
12 by man but the natural factors.

13 So old growth, essentially -- when you
14 consider old growth, you look at Mike Kudish's
15 work, he defines old growth as essentially
16 what was here, what was the original growth.
17 First growth is what has arrived after the old

18 growth, meaning the old growth was affected
19 somehow, some way, whether it was
20 environmental factors -- predominantly
21 environmental factors before the timber
22 industry arrived.

23 You have first growth. If you look at
24 some of the maps, he has a map that's been
25 produced, showing much of the old growth areas
(FOREST PRESERVE ISSUE)

1 as being in the high peaks in the Catskills, ²⁶⁹⁶
2 predominantly on state-owned forest preserve
3 lands. That's typically areas in high
4 elevations, remote settings. For one reason
5 or another, they were not timbered due to
6 remoteness, where they were not cleared and
7 farmed due to thin soils or remoteness, so
8 they remained first growth which is
9 essentially the oldest growth that we have out
10 there.

11 Beyond that, generally below 2900 feet
12 in elevation, most of the forests here in the
13 Catskills have been inundated, to put it
14 mildly, by man's own usage. Tan barking where
15 the hemlock is removed, subsequent flush of
16 hardwoods that came in after that which
17 brought in the hoop makers and the furniture
18 factories and the acid factories and the
19 charcoal kilns and things like that. That's
20 when you get into second growth.

21 A lot of that second growth which was
22 your pinewood species was stripped off again

23 and you end up with a whole third growth.
24 Many of the lands you see, including the
25 applicant's lands have been logged year after
(FOREST PRESERVE ISSUE)

2697

1 year after year, so you end up with second
2 growth, third growth, fourth growth, just new
3 generations of trees that have come along, and
4 subjective to whatever we throw at them.

5 MR. ALTIERI: As to first growth
6 forest, are there any regs or standards
7 regarding the cutting of first forest growth?

8 MR. RIDER: No, there's none that I'm
9 aware of. There's no regs in New York anyway
10 that I'm aware of, that prohibit the cutting
11 of old growth or first growth vegetation.
12 Many times you see local town ordinance where
13 they may restrict clear-cutting, for instance,
14 or they may have a timber harvesting ordinance
15 where you need -- you're required to get a
16 permit in order to go harvest trees on your
17 land. But I'm not aware of any ordinance out
18 there that prohibits the cutting of what's
19 considered first growth.

20 MR. ALTIERI: Thank you.

21 ALJ WISSLER: That's it?

22 Mr. Gerstman.

23 MR. GERSTMAN: Only 10 or 15 minutes,
24 your Honor. First, we would like to take
25 Crossroads Exhibit 58 which is the map
(FOREST PRESERVE ISSUE)

2698

1 introduced by Mr. Franke, explained by
2 Mr. Franke, and we weren't aware that the
Page 114

3 issues concerning IBA were going to be raised
4 today. I'd like to have the opportunity to
5 send this to Dr. Burger and provide a written
6 response if that's okay with your Honor.

7 ALJ WISSLER: Yes.

8 MR. GERSTMAN: Mr. Ruzow talked about
9 the issue of whether or not the scientific
10 study that was conducted by Professor Hall and
11 her colleagues has any applicability in the
12 evaluation of a project that has a potential
13 adverse impact on the surrounding forest.

14 First, we have identified this issue
15 pursuant to SEQRA relative to several others
16 that we believe are relevant for adjudication
17 and for which we believe we have made a
18 significant offer of proof, including ones
19 that I mentioned before: Secondary growth,
20 the impact on Important Bird Areas, cumulative
21 impact, impact on aquatic habitats, and the
22 impact on community character due to the
23 area's sensitivity to the change in the
24 economy from a forest-based economy to a very
25 intense use that would be envisioned and would
(FOREST PRESERVE ISSUE)

2699

1 be associated with the project as it's
2 envisioned by Crossroads Ventures.

3 After Mr. Ruzow determines that the
4 model has no applicability, and in fact is too
5 vague, it might be good for macro-evaluation,
6 land use planning, and should not be used in
7 this type of project review, he goes on to

8 speculate on the types of things that have a
9 greater impact than the model would have in
10 predicting the impacts to the forest. He
11 includes the issue of, for instance, the
12 decline of the forest product industry, and
13 Mr. Rider has correctly pointed out that DEP's
14 holdings may allow for use of timbering and
15 harvesting of wood.

16 In fact, DEC in the Adirondacks has
17 engaged in an extensive conservation easement
18 program, whose goal is to provide for the use
19 of forest products and to allow for extraction
20 of forest products from those State-owned
21 lands or private-owned lands, I'm sorry, for
22 which a conservation easement has been
23 purchased by the State.

24 Many of the things that Mr. Ruzow was
25 speculating about are legitimate speculation,
(FOREST PRESERVE ISSUE)

□

1 but they don't impact the usefulness of this ²⁷⁰⁰
2 model to evaluate the significant adverse
3 impacts that this project will have on the
4 surrounding forest. We think that is the key
5 here. We are talking about a standard under
6 the State Environmental Quality Review Act
7 which requires the Commissioner to determine
8 whether or not there are substantive and
9 significant issues which should be adjudicated
10 with respect to those SEQRA findings. We
11 believe this is a relevant issue that has to
12 be adjudicated under SEQRA. We believe that
13 the Commissioner would not be able to make

14 SEQRA findings without making this evaluation.

15 I would like to ask Professor Hall to
16 identify some of the issues that Mr. Ruzow and
17 Ms. Bakner have raised concerning her study
18 and Crossroads Exhibit 57 which is the Empire
19 States Forest Products Trends in a Robust
20 Resource.

21 PROFESSOR HALL: A couple of things
22 that I am -- feel compelled to point out, one
23 of which is that this data ends where our data
24 begins. This is New York State data, and we
25 have carefully examined the local trends in
(FOREST PRESERVE ISSUE)

1 this region, and we have shown with satellite²⁷⁰¹
2 imagery that deforestation predominates over
3 reforestation. In fact, the deforestation
4 numbers far exceed the small amount of land
5 that's reforesting. Satellite imagery was
6 called into question, and modeling called into
7 question. There is no difficulty in
8 classifying satellite imagery and seeing
9 what's forest and what's non-forest. The
10 issues in satellite image classification where
11 there are some problems is determining whether
12 it's urban grass or pasture, whether it's
13 shrub land or cropland, but the patterns are
14 very clear in the data as to loss of forest
15 cover. So I want to make sure you understand
16 that's the case.

17 I also know that people like to call
18 science and modeling into question frequently.

19 We try to be as quantitative and robust in our
20 methods as possible. We don't use rhetoric,
21 we use analysis, and we're peer reviewed. Our
22 work is peer reviewed by our peers, so we
23 can't just get up and say: This was the
24 trend, blah, blah, blah. We have to show the
25 data, and we have to be transparent about how
(FOREST PRESERVE ISSUE)

2702

1 we analyzed it. It has to be submitted for
2 peer review before it's actually accepted, and
3 this work will be submitted for peer review.

4 Perhaps that's why it was
5 characterized as premature. I don't think
6 it's premature in that we've applied this
7 model, as I said, in locations all over the
8 world, and it's being used and listened to as
9 a good -- excellent tool for projecting future
10 likelihood of land use change patterns --
11 rates and patterns. I would characterize it
12 not as premature and not as simplistic, but
13 rather as state of the art, and most of my
14 colleagues -- not most of -- my colleagues
15 would also. It's a very complicated process.

16 I tried to be as transparent as I
17 could. If I had more time with you, and I
18 could sit down with you, I could take you
19 through everything, but you would probably be
20 bored to death. But it's not a simplistic
21 process. It's complex and therefore difficult
22 perhaps, to make a person understand exactly
23 how we derive our findings, but there's
24 nothing hidden about it, and I can show you

25 quantitatively the numbers and how we get to
(FOREST PRESERVE ISSUE)

1 those numbers. So we feel very confident in²⁷⁰³
2 the work that we've done so far.

3 There was a criticism that we had not
4 included some factors relating to zoning and
5 other restraints on land based on the MOA;
6 however, we asked right before we ever got
7 started, we asked DEP officials and DEC
8 officials both, we sat down with them. At
9 these meetings, asked them if there were lands
10 that we should leave out of the analysis that
11 were not susceptible to change from forest
12 cover to non-forest cover, were there any
13 lands we should leave out, and with the
14 exception of lands within a certain distance
15 of streams, they said, "No, you should include
16 it all. It's all candidates for change." So
17 it's not that we left that out.

18 we also -- we included the newly
19 acquired New York City Land Acquisition Plan
20 up to 2001, and we have the digital map of
21 that, and that was part of the land that was
22 excluded from our analysis. There is
23 undoubtedly more recent acquisitions. I would
24 hate to show you -- I could show you if I had
25 the GIS system here -- in terms of the whole
(FOREST PRESERVE ISSUE)

1 area that we studied, those lands to date that²⁷⁰⁴
2 were just identified as newly acquired lands
3 are a very, very small percent of the

4 watershed, and I know they want to acquire
5 more land, and hopefully they can, but it
6 hardly could change the results of our
7 modeling effort at this point.

8 The criticism was made that the
9 planning boards were not involved. The
10 planning boards were invited. People choose
11 to come or not to come. A woman from Cornell
12 Cooperative Extension attended our meetings,
13 and she was working very closely with the
14 Sullivan County Planning Board, and she said:
15 Oh, my God, I wish we had this model about six
16 months ago when we started this process to
17 look at what's projected for our region. We
18 also had a person from the Town of Roxbury
19 Planning Board at our meetings. Much of our
20 data that was not included in the analysis was
21 not for funding constraints --

22 MR. GERSTMAN: Referring to, as
23 Mr. Ruzow had, page 16 of Exhibit O of the CPC
24 petition.

25 PROFESSOR HALL: -- but simply because
(FOREST PRESERVE ISSUE)

1 the data either did not exist or did not exist²⁷⁰⁵
2 spatially or does not exist at a resolution
3 that would be comparable to the satellite
4 imagery. Often models don't need to be more
5 complicated. What we try to do in models
6 actually is try to ferret out the major
7 relationships with the least amount of data
8 possible because you -- as I showed you today,
9 we had 18 different factors that we analyzed,
Page 120

10 which is more than we have ever analyzed in
11 any other application of this model. And
12 after the first six factors, our ability to
13 mimic reality actually fell off. So to add
14 more information would not necessarily have
15 helped us produce a model that could mimic
16 what's actually happening in the landscape.

17 Something was said about development
18 along Route 28 being appropriate; and, yes, of
19 course it is. But we also show lots of
20 development that was not along Route 28 which
21 was later pointed out after that statement was
22 made up in that northern region and that was
23 because wherever we have nodes of development
24 already started, the model performed better in
25 validation when it grew off of nodes than when
(FOREST PRESERVE ISSUE)

□

1 we just let it pick and choose places all over ²⁷⁰⁶
2 the landscape that had high likelihood of
3 development, which is why we contend that the
4 project will be a node that will accelerate
5 development because we saw that looking at our
6 two points in time. There was definitely a
7 trend or a pattern of development that was
8 node-based.

9 MR. GERSTMAN: Notwithstanding
10 Mr. Ruzow's statement concerning the lack of
11 available information concerning what's
12 referenced at page 16 of Exhibit O of CPC's
13 petition, that doesn't impact your evaluation
14 on whether your model is valid to predict

15
16
17
18
19
20
21
22
23
24
25

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20

trends in land use?

PROFESSOR HALL: Absolutely not. The pattern is visible in the satellite imagery. Perhaps the word "premature" was used because I said we would like to look at a longer time period, but we can clearly see what's happening between 1992 and 2001, and we can evaluate the pattern and what were important factors in giving us the ability to predict a 2001 landscape from '92. So we feel that all of these other things would actually probably

(FOREST PRESERVE ISSUE)

2707

not have increased our ability -- increased our validation statistics.

I would ask since we have been -- we certainly didn't mean to demean -- I don't know if that was the intent -- ski areas or the importance of tourism to this region. Simply to say that wherever you have development, and if you have -- you will have fragmentation and you will have parcelization; and, yes, this impacts the forest industry. That's just a fact. We have no axe to grind, simply to present to you the facts as we have evaluated them.

I also wanted to say in response to the gentleman's comments, Jeff Rider, that we have often seen in other studies, and in our knowledge from the forestry school, that when land is parcelized, it is often high graded, which means that the biggest trees and the most valuable trees are taken off before the

21 land is sold off because the people buying it
22 still get a forest and they don't really
23 care -- they're not even aware necessarily
24 that they have lost a \$5,000 tree. And this
25 is a very common event. Just happened in my
(FOREST PRESERVE ISSUE)

2708

1 neighborhood last year. I think I covered
2 most of --

3 MR. GERSTMAN: I might have a couple
4 questions for you. I believe Ms. Bakner
5 mentioned that you did not have data
6 concerning second homeownership; is that
7 accurate?

8 PROFESSOR HALL: No, that is not
9 accurate. We have shown, I think, to the
10 extent where possible, that we have land that
11 is owned by -- a great deal of land that is
12 owned by people outside of this area. We have
13 also shown that divided parcels are those
14 lands that are more likely to be developed in
15 some way. We do not have, perhaps, the real
16 estate office data to show you where second
17 homes have actually been built, if that's the
18 contention. That would probably be useful.

19 MR. GERSTMAN: would you say that
20 your -- the Geomod model has applicability
21 both on the macro and micro scale for
22 evaluating environmental impacts, i.e., those
23 associated with forest fragmentation and
24 parcelization?

25 PROFESSOR HALL: It does. Sometimes
(FOREST PRESERVE ISSUE)

1 you can zoom in too far. We found in what we
2 call frontier environments where there's very
3 little land use change, that actually when you
4 step back and zoom out, you can see
5 encroaching development coming toward a
6 region, so we have sometimes struggled a bit
7 with what's the appropriate scale. We picked
8 this scale, in fact, for this study so that we
9 could get some of the development, pick out
10 some of that development that's happening in
11 the major corridors that surround the area,
12 and look at whether that tended to be
13 sprawling toward -- moving toward this area --
14 and it did, appeared to be.

15 MR. GERSTMAN: I believe it was
16 Mr. Franke sitting over there at the table
17 with Mr. Ruzow and Ms. Bakner who suggested
18 that this project has resulted in the
19 assemblage of properties, and therefore
20 represented a trend that's contrary to the one
21 that you identified in your study. Do you
22 have any comment on that?

23 PROFESSOR HALL: Well, it was like
24 apples and oranges. The issue for us with
25 parcelization is that it breaks the land into
(FOREST PRESERVE ISSUE)

1 land units that are not manageable for
2 forestry. What they're doing in consolidating
3 land for this development project is just a
4 wholly different kind of activity. So it
5 seems to me that they're really somewhat

6 unrelated. I would say, although this wasn't
7 in response to my talk, that it seemed to me
8 if you were going to talk about land that
9 you're setting aside in this project versus
10 the land that will be developed, again, issues
11 of fragmentation in terms of wildlife, but I
12 am not the wildlife expert here, are
13 important.

14 I would suggest that a quantitative
15 analysis such as we did in our study
16 calculating the forest continuity index or
17 fragmentation index, as is commonly done in
18 landscape ecology and wildlife studies, would
19 be preferable to giving us some idea of what's
20 going to be there over just simply saying
21 certain acreage will be set aside.

22 MR. GERSTMAN: In fact, what
23 Dr. Kiviat has testified to is that if you
24 understand the nature and the scope of the
25 wildlife and the flora and fauna on the
(FOREST PRESERVE ISSUE)

1 project, your mitigation could be designed to ²⁷¹¹
2 project against the harshest impacts of
3 development as opposed to the mitigation
4 really being dictated by how you want to
5 configure your golf course, which is what's
6 happened here.

7 PROFESSOR HALL: Absolutely.

8 MR. GERSTMAN: I also want to suggest
9 that under no terms will the Catskill
10 Preservation Coalition accept the mantle that

11 Mr. Ruzow tries to put on us, that somehow we
12 are against development and against tourism.

13 In fact, many of our members have
14 worked very hard and very diligently to
15 promote the economy of this region, to find
16 models that work in a sustainable manner,
17 consistent with the forest landscapes and
18 other aspects of community character.

19 To the extent that that mantle -- that
20 he's trying to throw that label on us -- we
21 throw it right back and suggest that, in fact,
22 the project itself will potentially,
23 ultimately result in significant impacts to
24 the golden egg, which Mr. Alworth
25 characterized as being the key to the ultimate
(FOREST PRESERVE ISSUE)

□

1 sustainability of the environment and the
2 economy in this area.

2712

3 what we heard from Mr. Ruzow and
4 Ms. Bakner essentially is speculation, legal
5 argument, no hard and fast facts which they
6 are putting up against the state-of-the-art
7 science of spatial modeling that you have
8 heard from Professor Hall, which is accepted
9 in the professional and academic circles who
10 are interested in this type of analysis of
11 land use trends, and ecological preservation.

12 So we submit that we have established
13 a substantive and significant issue for
14 adjudication concerning the impacts on the
15 forest in this vicinity, in this region. We
16 have heard no scientific rebuttal to our offer

17 of proof, and we believe this issue ought to
18 go forward to adjudication.

19 PROFESSOR HALL: One other thing.
20 There was the contention that if additional
21 land is acquired by the DEP, that this would
22 significantly impact the results that we
23 presented today. There's a term we use in the
24 carbon sequestration world. It's called
25 leakage. It means if you is you suppress
(FOREST PRESERVE ISSUE)

1 development here, it's just going to pop up ²⁷¹³
2 over here. So it would affect the results I
3 showed you today if I could have put in all
4 the land that is continuing to be acquired.
5 But given the rate that we observed, if that
6 were to continue at that rate, we would have
7 just shown different lands developing.

8 So it's important to think about that,
9 that we have both rate and pattern here, but
10 pattern would just be different, and they
11 would use the same rate; in other words, an
12 equal amount of change.

13 MR. GERSTMAN: Thank you, Judge.

14 MS. BAKNER: On the issue of the
15 pattern would be different, I'm not a
16 forester, I'm not a scientist. What I am is a
17 land use lawyer, and what's relevant to land
18 use in New York State where we're cursed or
19 blessed with home rule, depending on how you
20 look at it, is zoning. You can not possibly
21 predict what's going to happen in the future

22 without an examination of the local
23 community's approved desire for how they want
24 to move forward. And we submit, in no
25 uncertain terms, that the absence of this,
(FOREST PRESERVE ISSUE)

2714

1 admittedly micro, sort of inefficient data
2 that can't be plugged into the model easily,
3 is a real problem here. Because what the
4 people who didn't participate in the analysis
5 with Dr. Hall do is simply decide what the
6 patterns of development will be. You cannot
7 build in New York State unless you get the
8 requisite local approvals and building
9 permits. And we continue to maintain that
10 that's a very important issue.

11 I would state that it's also
12 assessable, and it is, while perhaps not
13 scientific enough for Mr. Gerstman, clearly
14 set forth in the Draft Environmental Impact
15 Statement in AKRF's analysis of potential
16 future or secondary growth.

17 we looked in a macroscale in the Town
18 of Shandaken and the Town of Middletown, we
19 looked at what future growth could potentially
20 result from our proposal. This model, for
21 whatever reason, did not identify the
22 Belleayre Ski Center or our property as a node
23 of future growth. I mean, clearly it is,
24 that's what we're proposing here, and we would
25 submit that the precise information that was
(FOREST PRESERVE ISSUE)

2715

1 provided, accompanied by an economic model
Page 128

2 prepared by AKRF, which is certainly a
3 well-respected firm who does this kind of
4 thing throughout New York State shows a much
5 more complete picture of what's going to
6 happen as a result of our project, or could
7 happen, which is a more efficient method of
8 speculation.

9 I guess what I would like to say is
10 that Dr. Hall's comment at the end regarding
11 wildlife and fragmentation on the site -- it
12 seems to me that there are two competing
13 issues here that are proposed by CPC. One is
14 if we develop the property, it won't continue
15 to be logged for timber purposes, and it may
16 somehow result in other properties not being
17 available to be timbered, which frankly I
18 don't think is a legitimate argument given the
19 fact that 72 percent of the land in the Town
20 of Shandaken, putting aside DEP, is owned by
21 New York State, and therefore incapable of
22 being maintained as a timber resource.

23 Putting that aside, Dr. Kiviat is
24 arguing that we shouldn't clear and change the
25 topography of the land, and Dr. Hall is
(FOREST PRESERVE ISSUE)

□
1 arguing that we should cut and maintain the ²⁷¹⁶
2 timber for forest production, which in some
3 cases can be clear-cutting. There's lots of
4 different management methods. And I for one
5 believe they're absolutely legitimate. We
6 don't have any problems with forestry impacts

7 whatsoever. But you can't have your cake and
8 eat it too. If we cut down the trees on the
9 site, it's going to take a number of years for
10 it to grow back. It's certainly not available
11 for important bird habitat.

12 So I think what we're trying to do in
13 our document -- which, yes, Marc --
14 Mr. Gerstman, is scientific and has been
15 accepted by DEC -- is show what we feel are
16 the likely impacts of the project. We don't
17 feel we're burdened with the academic study of
18 what may happen to timberland in the entire
19 watershed and areas outside it.

20 MR. RUZOW: Your Honor, just two last
21 things. Page 16 in terms of the factors
22 considered and not considered for the study,
23 and the headings available speak for
24 themselves. Most of them are -- they made
25 judgments, and you always have to do this. We
(FOREST PRESERVE ISSUE)

2717

1 heard this from the other modelers about
2 making choices of what you can afford to do,
3 what you can do now, what's easily done, but
4 in my judgment, you can't make judgments
5 about the validity or the usefulness of those
6 other socioeconomic, factors; in particular,
7 zoning, unless you have looked at them and
8 applied them. And again, because of whatever
9 reason -- available resources, decisions that
10 were made along the way -- this image, this
11 particular model chose not to use those
12 factors.

13 The fact that they consulted with DEP
14 and indeed DEC staff with regard to factors to
15 be taken into account of the model in
16 developing their model, and nobody piped in
17 and said, no, you really ought to look at
18 zoning -- doesn't go to the correctness of the
19 judgment that was exercised. And indeed, if
20 zoning were added and a number of the other
21 factors were added later on, I'm willing to
22 bet that the model would be improved, and the
23 validity of the model would be more helpful.
24 But the problem with the model is what CPC is
25 seeking to have it used for, which is to help
 (FOREST PRESERVE ISSUE)

2718

1 determine the rights of an applicant for a
2 permit. And it's never been subject to the
3 standards setting elements that one has to go
4 through to create a standard for
5 decision-making, and will never go through
6 those standards because it's never going to be
7 sought to be used as a determinant of
8 someone's rights.

9 I think what is most troubling to me,
10 and again -- and this is certainly argument --
11 is that the suggestion, the danger -- when you
12 see a visual image, it takes on a different
13 context, both in terms of its underlying value
14 of being able to convey a lot of complex
15 information, as well as it's the danger of
16 accepting it as true. Unless a model reaches
17 the level of sophistication and reliability,

18 and not just preliminary peer review by the
19 same folks, but the socioeconomic review that
20 occurs in standard settings, the danger is
21 enormous for misuse and misunderstanding of
22 the model.

23 It's okay that a scientist can look at
24 this and say: Hah, I know what goes into all
25 of these elements, I know the relative wastes
(FOREST PRESERVE ISSUE)

1 which would be attributed to each one of these²⁷¹⁹
2 things and to where it should be tweaked,
3 et cetera. It's another thing for lay people,
4 including your Honor, and even indeed the
5 Commissioner of DEC, to take an image and say:
6 Ah-hah, gee, that is a telling image, and
7 somehow walk away from that image and say:
8 Gee, what did I see there? How do I separate
9 out what I have heard, et cetera?

10 That is why the strength of feeling
11 and belief that we have as to the dangers of
12 such a model at this preliminary stage of its
13 development for use in an adjudicatory
14 proceeding to determine someone's rights to a
15 permit -- that's the problem. Not that models
16 aren't appropriate in the right setting; but
17 as applied here, they're dangerous.

18 MR. GERSTMAN: Judge, just --

19 ALJ WISSLER: I don't want you to
20 reiterate what you already got on your record.

21 MR. GERSTMAN: I want to correct a
22 mischaracterization of Dr. Kiviat's --

23 ALJ WISSLER: Because we're now just
Page 132

24 getting into things that you guys can talk
25 about in the final brief.
(FOREST PRESERVE ISSUE)

2720

1 Go ahead.

2 MR. GERSTMAN: I agree, I will not
3 reiterate the fact that this is science and
4 what Mr. Ruzow is saying is legal speculation,
5 I won't do that. Dr. Kiviat did not say --

6 ALJ WISSLER: We're going to have him
7 here at 2:30?

8 MR. GERSTMAN: Yes, we are.

9 ALJ WISSLER: We can ask him.

10 MR. GERSTMAN: That's fine. I just
11 want you to understand that Ms. Bakner
12 characterized what he had said in terms of the
13 project was wrong. He was suggesting
14 mitigation could be designed to reflect what's
15 important on the project site. Thank you,
16 Judge.

17 ALJ WISSLER: Okay.

18 MR. GERSTMAN: Professor Hall just has
19 one point.

20 ALJ WISSLER: Go ahead.

21 PROFESSOR HALL: I just don't like my
22 work misrepresented. We did include ski
23 centers. Wherever the land shows clearing of
24 forest, that land was included as a node,
25 because it was an area that was non-forest, so
(FOREST PRESERVE ISSUE)

2721

1 it was included. We didn't decide what to use
2 or not to use. Zoning was in effect in '92

3 and in 2001. We simply evaluated and
4 re-projected the pattern that was visible was
5 not necessary to include zoning as such
6 because zoning was in effect, and we simply
7 evaluated the pattern that happened on the
8 land and determined what factors made those
9 land parcels appealing or attractive somehow
10 by going through all those factors, and then
11 used the best set to project the future.

12 MR. GERSTMAN: Thank you, Judge.

13 ALJ WISSLER: Thank you. We have
14 Dr. Kiviat at 2:30; is that it?

15 MR. GERSTMAN: Yes. Actually, we had
16 wanted to have Aaron Bennett provide a
17 statement on the record concerning Simon's
18 Rock and a trail, and also we have a proposed
19 itinerary for our Belleayre to Balsam hike.

20 ALJ WISSLER: But we can discuss that
21 before Dr. Kiviat this afternoon?

22 MR. GERSTMAN: Yes. Mr. Bennett we
23 can have potentially after lunch and before
24 Dr. Kiviat.

25 ALJ WISSLER: Fine. We're going to
(FOREST PRESERVE ISSUE)

1 break right now for lunch, and we'll break 2722
2 until 2:30.

3 MR. GERSTMAN: Thank you, Judge.

4 (1:39 - 2:40 P.M. - LUNCHEON RECESS
5 TAKEN.)

6 ALJ WISSLER: Back on the record here.
7 Mr. Gerstman.

8 MR. GERSTMAN: Yes, sir, thank you.

9 Ms. Roberts. Your Honor, we would like to
10 call Dr. Kiviat for rebuttal from June 10th.

11 MR. ALTIERI: Marc, was the other
12 gentleman going to go first?

13 MR. GERSTMAN: Did he stay for that?

14 MR. ALTIERI: Yes.

15 MR. GERSTMAN: We can. I'd like to
16 introduce you to Aaron Bennett.

17 I believe this would be CPC
18 Exhibit 70, Mr. Bennett's resume.

19 (RESUME OF AARON BENNETT RECEIVED AND
20 MARKED FOR IDENTIFICATION AS CPC EXHIBIT NO.
21 70, THIS DATE.)

22 MR. GERSTMAN: I'd like to also
23 introduce DEC Policy System -- it's a draft
24 dated January 7th, 1998, concerning
25 Adopt-a-Natural Resource Program. Maybe DEC
(FOREST PRESERVE ISSUE)

1 can clarify what the status of this policy is. ²⁷²³

2 MR. RIDER: It's current.

3 MR. GERSTMAN: This is final as far as
4 you know?

5 MR. RIDER: If it doesn't say draft,
6 it should be final. Sorry, I gave you the
7 draft, but it is a final.

8 MR. GERSTMAN: This is a final policy
9 issued by DEC. It's a draft dated January
10 7th, 1998 entitled, "Adopt-a-Natural Resource
11 Program."

12 (THE DEC POLICY SYSTEM
13 "ADOPT-A-NATURAL RESOURCE RECEIVED AND MARKED

14 FOR IDENTIFICATION AS CPC EXHIBIT NO. 71, THIS
15 DATE.)

16 MR. GERSTMAN: And CPC Exhibit 72 is a
17 sheet with two photographs entitled, "View of
18 Panther, Giant Ledge and Cornell Mountains
19 from Simon's Rock," on the top; and "View of
20 Slide and Balsam Mountains from Simon's Rock"
21 on the bottom.

22 MS. BAKNER: Are these different ones
23 than Dan Sundell put in before?

24 MR. GERSTMAN: Yes.

25 (PHOTOCOPY OF TWO COLOR PHOTOGRAPHS
(FOREST PRESERVE ISSUE)

□

1 "VIEW OF PANTHER, GIANT LEDGE, WITTENBERG & 2724
2 CORNELL MOUNTAINS FROM SIMON'S ROCK AND ALSO
3 VIEW OF SLIDE AND BALSAM MOUNTAINS FROM SIMO'S
4 ROCK RECEIVED AND MARKED FOR IDENTIFICATION AS
5 CPC EXHIBIT NO. 72, THIS DATE.)

6 MR. GERSTMAN: Your Honor, I would
7 like to introduce you to Aaron Bennett.

8 Mr. Bennett is an employee of the
9 Catskill Center for Conservation and
10 Development. He's providing this offer of
11 proof today not, however, as an employee, but
12 as a person familiar with the trails through
13 the forest preserve in the vicinity of the
14 proposed project. And also, I understand
15 Mr. Bennett is a certified licensed hiking
16 guide as well.

17 Mr. Bennett, could you tell the Judge
18 a little about your background.

19 MR. BENNETT: Sure. I grew up in
Page 136

20 Oliveria, which is on County Route 47 there,
21 and still reside there. My degree is in water
22 resource management from SUNY ESF. And as
23 Marc said, I'm employed for the last five
24 years or so at the Catskill Center for
25 Conservation and Development. I just love
(FOREST PRESERVE ISSUE)

2725

1 being outside hiking.

2 MR. GERSTMAN: Would you say you are
3 familiar with the trails through the forest
4 preserve in the vicinity of the proposed
5 project?

6 MR. BENNETT: Yes.

7 MR. GERSTMAN: Particularly I want to
8 talk -- I want you to talk today about Simon's
9 Rock. There has been some issue concerning
10 the view from the Pine Hill/West Branch Trail
11 and the location that's been referred to as
12 Simon's Rock. Can you tell me how you got
13 interested in this area.

14 MR. BENNETT: The last few years, what
15 I've been doing is once in a while after work
16 I'll drive my car up into Rider Hollow and
17 park it and hike up Mine Hollow Trail between
18 Balsam and Haines and hike home from work, and
19 then in the morning, turn around and hike back
20 to my car. I don't know why, but I just like
21 doing it.

22 MR. GERSTMAN: No better reason,
23 Aaron.

24 MR. BENNETT: One day, I think the

25 date was September 9th of last year, 2003, I
(FOREST PRESERVE ISSUE)

2726

1 had a meeting in Pine Hill. I'm the president
2 of the Board of Directors of the Pine Hill
3 Community Center, so after work I decided to
4 hike to Pine Hill. So I did the same thing,
5 and then hiked up to Belleayre Ridge and hiked
6 over Belleayre. And as I was hiking, climbing
7 up Belleayre, I noticed -- I just enjoyed sort
8 of exploring off trail, trying to find views
9 or ledges or anything that would be a good
10 place to camp, anything like that. And I came
11 across this big boulder off next to the side
12 of the trail, and it caught my attention, this
13 ledge; and I walked out to the east and came
14 upon this -- noticed it was a little open area
15 and you could see through the trees. I went
16 out there, and the pictures that you have are
17 ones that I took on that day.

18 MR. GERSTMAN: Referring to CPC
19 Exhibit --

20 MR. BENNETT: 72. And I really
21 enjoyed that spot because it's looking back
22 towards my house, and it's just an interesting
23 and very unique view of Balsam and Slide and
24 Panther Mountain that I haven't noticed from
25 anywhere else in the forest preserve.
(FOREST PRESERVE ISSUE)

2727

1 MR. GERSTMAN: If you were standing at
2 this spot looking towards Panther Mountain
3 from the location where you took this
4 photograph, could you tell the Judge where the

5 proposed Big Indian Plateau development would
6 be.

7 MR. BENNETT: It would be to the left
8 which would be to the north, and probably less
9 than a 90-degree angle.

10 MR. GERSTMAN: Judge, I refer you to
11 CPC Exhibit 5 which has Simon's Rock, has a
12 mark from Simon's Rock noted on the map, and
13 if you would look towards Panther Mountain,
14 you could see the project site, the location
15 of the project site as Mr. Bennett has
16 described.

17 MR. BENNETT: So I continued on
18 because I had a meeting, so I couldn't explore
19 too long and ended up -- I had learned about
20 the trail that goes down Giggle Hollow to Pine
21 Hill, and there's a number of other trails
22 that do that, but I had never been on the
23 Giggle Hollow one. I cannot recall where I
24 learned of it, if it was Belleayre's brochure
25 for the day use area. I know the recent one
(FOREST PRESERVE ISSUE)

1 has a trail on it that leads down to the day ²⁷²⁸
2 use area from Belleayre, or if it was the
3 event that was referred to earlier, I don't
4 know.

5 Anyway, I'm walking and see the sign,
6 "Trail to Belleayre Day Use Area," and I go
7 down and follow the markers down to the day
8 use area, go to my meeting, come home, and go
9 back the next day. The whole thing with

10 Simon's Rock was, it sort of caught my -- it
11 just was a very unique spot for me.

12 The local forest ranger -- we live
13 about a mile and a half from one another, and
14 I run into her quite often. And I asked her
15 if she knew of this place, and she said she
16 wanted to make sure we were talking about the
17 same place. So we talked about going up there
18 together to check it out. She told me the
19 story of how it got its name. It was named
20 after a forest ranger that she knew when she
21 first started, and it was put in the UMP
22 because of the beautiful view from that spot.

23 I don't remember the story quite in
24 its entirety, but he has since either passed
25 away or got transferred up to the Adirondacks;
(FOREST PRESERVE ISSUE)

1 I don't remember. And ever since then, I kept²⁷²⁹
2 asking her to take me, and her status as a
3 forest ranger because of an injury was sort of
4 up in the air, and she didn't know if she
5 could do that -- we said, okay, we'll go on
6 our spare time. We just never hooked up. And
7 I ran into her like three times.

8 ALJ WISSLER: This is very
9 interesting, Mr. Bennett.

10 MR. BENNETT: So I ran into her
11 about -- it just never happened. Winter came
12 and then -- so this year being the centennial
13 of the Catskill Park, I decided that I really
14 want to get this thing going. My workload is
15 significantly lighter over the summer, and

16 that's when I realized also that the forest
17 ranger is not the ranger anymore, and I
18 decided to put a call into Region 3 and
19 officially adopt this and maintain this
20 because I learned that it was in the UMP and
21 could be maintained as a vista, and the trail
22 near it, I know, gets pretty overgrown in the
23 summer because nobody maintains it.

24 MR. GERSTMAN: Is it your
25 understanding that CPC Exhibit 71, which was
(FOREST PRESERVE ISSUE)

2730

1 graciously provided by the DEC, is the
2 mechanism by which one can adopt a natural
3 resource in order to maintain it for the
4 purposes of the public?

5 MR. BENNETT: Yes.

6 MR. GERSTMAN: Your Honor, one of the
7 reasons that the DEC, I believe, has
8 undertaken this program, in addition to the
9 statutory authorization, is that DEC is
10 short-staffed in maintaining and enhancing --
11 maintaining trails and vistas from State-owned
12 trails, and this is a good mechanism for the
13 State to have work done on the forest preserve
14 and for people who are interested in natural
15 resources to work with DEC in carrying out a
16 mutual purpose.

17 So Mr. Bennett has made a request to
18 pursue this as a volunteer, not as an employee
19 of the Catskill Center; and that process, I
20 believe, is still in the works. It has not

21 been formally undertaken as yet. One of the
22 purposes of Mr. Bennett's statement here today
23 is to point out that the initial interest in
24 Simon's Rock dated back to September of 2003
25 wasn't done in connection with this project,
(FOREST PRESERVE ISSUE)

2731

1 has nothing to do with the visual impact
2 evaluation that you heard previously in the
3 Issues Conference.

4 we are prepared at some point to put
5 in photographs of this Belleayre day use trail
6 from the day use area to the Belleayre Ridge.
7 we do have a photograph of the sign from the
8 ridge indicating the Belleayre day use area
9 is -- there's a sign pointing in one direction
10 to get down to it. It's still there.

11 I'm also told by Aaron that there's a
12 sign-in register at the Belleayre day use area
13 for the purpose of using this Giggie Hollow
14 Trail; is that clear? Is that accurate?

15 MR. BENNETT: Yes.

16 MR. GERSTMAN: Judge, do you have any
17 questions?

18 ALJ WISSELER: No.

19 MR. BENNETT: Thank you, Judge.

20 MS. BAKNER: Your Honor, we don't have
21 any response to that, but we just want to note
22 for the record that we'll be taking a look at
23 the views that were submitted for the first
24 time here today, and if we feel there's
25 anything we can put in to enhance the record
(FOREST PRESERVE ISSUE)

1 with respect to views, we'll be doing that at
2 a later date.

3 ALJ WISSLER: So noted. Mr. Altieri,
4 anything?

5 MR. ALTIERI: Based on your hike to
6 Simon's Rock that you mentioned when you
7 testified, or spoke last, do these photos give
8 an accurate view of the view in general that
9 one would have when you go to Simon's Rock?

10 MR. RIDER: Simon's Rock is a view
11 that, although you can see somewhat of an
12 opening from the main hiking trail, you have
13 to know it's there and hike over to it. As
14 Mr. Bennett said, you have to have the
15 interest, you have to go to it. It's not
16 marked, nor is there a herd path or a foot
17 path leading to it.

18 I knew of it. As I say, it's marked
19 by a couple of erratic stones, normal but
20 abnormal for the area are there. If you go
21 out, the view doesn't jump at you. You have
22 to look through windows and branches because
23 it has not been maintained. The only
24 statement I will say here, he has some very
25 nice views of Slide and Panther. The view --
(FOREST PRESERVE ISSUE)

□

1 that's not shown here -- which I have taken,
2 which we have not brought here today, shows
3 the ridge in question, the Big Indian Ridge
4 coming down and the potential for, depending
5 on the development, potential to bear that.

6 But again, it's another view that you have to
7 physically go, take your time to look between
8 the trees to see the ridge to look down.

9 The view is there. It's listed in the
10 Unit Management Plan so that it can be
11 maintained, it just has not had the interest
12 to be maintained until now. But there's
13 nothing precluding us from opening that view
14 back up to the original view by limbing of
15 trees as opposed to cutting live trees, just
16 taking limbs off existing trees to increase
17 the view; but that's something, I presume,
18 you're going to take a look at in a couple
19 weeks.

20 MR. ALTIERI: That will be the closing
21 comment. We'll be there shortly.

22 MR. GERSTMAN: Mr. Bennett, it's your
23 understanding that if you were to be a
24 volunteer in the program, and the policy
25 speaks to itself, that you would have some
(FOREST PRESERVE ISSUE)

□

1 latitude in opening the vista for views
2 towards these mountains. And maybe Mr. Rider
3 can add in, what's your understanding of what
4 the limits are in terms of what you would be
5 permitted to do in terms of your conversation
6 with the forest ranger and Mr. Rider?

2734

7 MR. BENNETT: That's why I wanted to
8 go up there with Patty, so she could show me
9 what was once there, what was once maintained.
10 I think it's just a gorgeous spot. The
11 wilderness area that it's in is the second

12 largest, I believe, and this was one of four
13 vistas in this whole wilderness area. And I
14 like vistas just as much as the next person
15 and people that hike that trail, I think,
16 should know about it and be able to see that.

17 ALJ WISSLER: I don't know about Patty
18 anymore, but maybe you could go with Mr. Rider
19 if that's okay.

20 MR. GERSTMAN: He's a close second.

21 MR. ALTIERI: Jeff elaborated on what
22 could be maintained as a vista.

23 MR. RIDER: The only thing I would
24 add -- the Adopt-A-Natural Resource took over
25 what used to be Memorandum of Understandings.
(FOREST PRESERVE ISSUE)

1 It just simplified the process, and the whole ²⁷³⁵
2 reason it's put in place is DEC sets
3 parameters on what can and cannot be done by a
4 volunteer, and it's overseen by us.

5 So it sets parameters of what you can
6 and cannot do, and it also, because of
7 liability, we also have volunteers register
8 their names or Social Security number because
9 when they're doing trail work on behalf of the
10 State under this Adopt-A-Natural Resource,
11 they're actually covered under workmen's
12 Compensation. That was the secondary reason
13 of this Adopt-A-Natural Resource, to formalize
14 it.

15 ALJ WISSLER: There has been no formal
16 application made by Mr. Bennett pursuant to

17
18
19
20
21
22
23
24
25

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22

this policy; is that correct?

MR. BENNETT: No.

MR. GERSTMAN: I think he requested a form, and it's in the works is what I understand.

ALJ WISSLER: There's nothing pending with the DEC at this point?

MR. GERSTMAN: No.

ALJ WISSLER: All right.
(WILDLIFE ISSUE)

2736

MS. ROBERTS: Your Honor, I have a couple of exhibits for the record. I just wanted to make sure that -- you all had asked for a CD of Dr. Burger's presentation, and that has already been submitted.

ALJ WISSLER: 48A.

MS. ROBERTS: Then you asked Dr. Burger for the Monitoring Bird Populations by Point Counts document from the USDA, so we have a copy of that for you. That will be CPC Exhibit 73.

("MONITORING BIRD POPULATIONS BY POINT COUNTS" RECEIVED AND MARKED FOR IDENTIFICATION AS CPC EXHIBIT NO. 73, THIS DATE.)

MS. ROBERTS: Then we have a second exhibit from Dr. Burger, which is just a list of the technical committee members for the IBA to give you an idea of the breadth and experience of the people on the committee, including a DEC representative, so it's not just us making this up.

23 ("IMPORTANT BIRD AREA TECHNICAL
24 COMMITTEE MEMBERS SECOND ROUND OF SITE
25 IDENTIFICATIONS 2003 - 2004 RECEIVED AND
(WILDLIFE ISSUE)

1 MARKED FOR IDENTIFICATION AS CPC EXHIBIT NO. 2737
2 74, THIS DATE.)

3 MS. BAKNER: Can I clarify when the
4 committee approved it?

5 MS. ROBERTS: They haven't approved it
6 yet, as I think Dr. Burger -- the committee
7 has approved it, but it has to go now to --

8 MS. BAKNER: The larger group.

9 MS. ROBERTS: Right. But the study
10 was begun in 2002.

11 MS. BAKNER: When did the committee
12 approve it? That's what we're trying to find
13 out.

14 MS. ROBERTS: I will get that for you.

15 MR. GERSTMAN: I think Dr. Burger put
16 that on the record.

17 MS. ROBERTS: I think he did too, but
18 I don't remember.

19 MS. BAKNER: No, he wasn't sure. He
20 couldn't recall. He wasn't sure if it was May
21 or April or what the date was.

22 MS. ROBERTS: The point we're trying
23 to make is this is not something we did for
24 this project; it was done before.

25 MS. BAKNER: We can have differing
(WILDLIFE ISSUE)

1 opinions on that. 2738

2 MS. ROBERTS: It has nothing to do
3 with the project is the point.

4 ALJ WISSLER: This is CPC 74.

5 MS. ROBERTS: I just wanted to also
6 point out that on Exhibit 73, the USDA study,
7 there are notations on the exhibit, and they
8 are from Dr. Burger to just highlight some of
9 the salient points of the article, and to just
10 to summarize the take-home message of the
11 report is that they found that even -- the
12 researchers found that even five visits per
13 unit over two seasons really only came up
14 with -- or failed to find 45 to 48 percent of
15 the species in a two-year study.

16 So the point being that there is no
17 definite point at which you can say this is
18 enough or this is not enough in terms of how
19 many times you go back, but even where these
20 researchers did much more studies than what
21 was done in the DEIS, they still missed 45 to
22 48 percent over a two-season period.

23 I wanted to just re-introduce
24 Dr. Kiviat and ask him to go through some
25 rebuttal points we would like to put on the
(WILDLIFE ISSUE)

□

1 record.

2739

2 Before you start, I have a couple
3 questions. Ms. Bakner went through a list of
4 citations from the DEIS on June 10th after you
5 testified. She basically listed all the
6 points in the DEIS that discussed habitat
7 issues. I just want to ask you whether you

8 had reviewed all those sections that she had
9 pointed out.

10 DR. KIVIAT: I have.

11 MS. ROBERTS: Does it change your
12 opinion?

13 DR. KIVIAT: No.

14 MS. ROBERTS: Could you please go
15 through some of your concerns on rebuttal.

16 DR. KIVIAT: One of the points raised
17 by the Applicant's team is that the site has
18 been repeatedly logged. It's mentioned in
19 DEIS, page 3-81. I want to point out that the
20 factor of historic logging and charcoaling and
21 other disturbances of that sort do not mean
22 that there can be no rare species on the site.
23 For example, I have found rare species of
24 state-wide significance in abandoned mines,
25 puddles on dirt roads and post-agricultural
(WILDLIFE ISSUE)

1 habitats in a number of places in southeastern ²⁷⁴⁰
2 New York.

3 Rare species are also reported to use
4 regenerating forest. Among those are the
5 Cooper's hawk and the common night hawk.
6 Those are both special concern species in New
7 York. It's also worth reemphasizing that the
8 site has large areas of forest with numerous
9 trees one foot or larger in diameter. These
10 areas are habitat or potential habitat for
11 many species of neotropical birds, neotropical
12 migrant songbirds, reptiles, amphibians,

13 wildflowers, sedges and other organisms,
14 possibly including the Indiana Bat that are
15 associated with more or less mature forests.

16 The second point that the Applicant's
17 team raised that I want to address: The DEIS
18 discusses habitat issues -- yes, that's
19 correct. Page 3-81 and following pages
20 describe plant communities, but they do not
21 analyze which rare species of plants and
22 animals could occur or do occur in those
23 communities. For the most part, the DEIS
24 discusses habitats, but it does not discuss
25 those habitats in relation to the species of
(WILDLIFE ISSUE)

2741

1 conservation interests.

2 Another point that they made is the
3 DEIS proposes mitigation measures for
4 wildlife. This is certainly true, pages 3-107
5 and following pages mention several mitigation
6 measures. One is planting 4,000 indigenous
7 trees. Planted trees are going to be small
8 for a long time. They'll be in altered areas.
9 They will not replace the large areas of
10 forest to be cleared for many years.

11 Retaining snags at forest edges is
12 also proposed as a mitigation measure. This
13 doesn't make up for removing large areas of
14 forest as far as many wildlife species are
15 concerned.

16 Another measure is maintenance of
17 understory vegetation. The forest will be
18 fragmented by construction of golf courses and

19 other facilities exposing the remaining
20 understory, maintained or otherwise, to higher
21 rates of predation on bird eggs and nestlings,
22 as well as greater invasion by exotic plants,
23 such as Japanese knotweed, red-berried
24 honeysuckles and garlic mustard.

25 It was striking on the site visit, at
(WILDLIFE ISSUE)

1 least insofar as I was able to see the site,²⁷⁴²
2 that many of the forested areas have quite low
3 levels of exotic plant invasion in their
4 current condition.

5 So the kind of disturbance that would
6 be associated with a large-scale development
7 would be very likely to have a large impact in
8 that way. Wetland avoidance is mentioned as a
9 mitigation measure. I don't really see that
10 as a mitigation measure. It's very
11 straightforward and necessary, and a normal
12 part of development projects, and it should
13 not be considered mitigation.

14 I think it also has to be noted here
15 that many of the animals that use wetlands
16 require large adjoining areas of forested
17 uplands which will not necessarily be
18 preserved if this project is built; and those
19 species include the spotted salamander and the
20 wood frog, both of which we found on the site
21 visit.

22 Travel corridors is mentioned -- that
23 is travel corridors for wildlife. If we don't

24 know which uncommon and rare species of
25 wildlife are present on the site and where
(WILDLIFE ISSUE)

2743

1 they are, it's not going to be possible to
2 design travel corridors that have real
3 conservation value. Travel corridors are very
4 species specific. For example, a corridor for
5 a Cooper's hawk may be very different from a
6 corridor for a cerulean warbler or red-bellied
7 snake or almost any other species of animal.
8 This is because different animal species have
9 very different ecological requirements, and
10 therefore use habitats and the spaces between
11 them in different ways.

12 The DEIS also mentions golf course
13 habitat enhancement. Again, this won't
14 replace intact forest habitat for many birds
15 and other animals.

16 Brush piles were mentioned. Brush
17 piles will be mostly gone after several years,
18 but their development project will be
19 permanent.

20 Bluebird nest boxes are mentioned. I
21 think bluebirds are beautiful animals, but
22 again, nest boxes for bluebirds do not replace
23 lost habitat for forest interior bird species.
24 These mitigation measures, which are all
25 generally good things, are oriented mainly
(WILDLIFE ISSUE)

2744

1 toward species of open areas and forest edges,
2 and will, for the most part, not help rare
3 animals and plants of forest interiors.

4 The purpose of mitigation, in general,
5 is to replace that which is lost to
6 development. In this case, mitigation should
7 replace lost habitat functions of extensive
8 forest. The Applicant's team made the point
9 that Ms. Tuttle conducted a thorough search
10 for the timber rattlesnake, and also that
11 there is too much canopy cover for good
12 rattlesnake habitat on the site.

13 Appendix 20 of the DEIS describes how
14 Ms. Tuttle looked for rattlesnakes. It does
15 not say where or how much she looked.
16 Apparently Ms. Tuttle spend about nine days on
17 the site surveying for birds, reptiles and
18 amphibians. She could not possibly have
19 conducted thorough surveys for everything, and
20 there is no real documentation of the
21 potential habitats for rattlesnakes, their
22 quality, and the effort expended searching
23 those habitats.

24 I still do not know the location of
25 the "Steep rock slide on the south facing
(WILDLIFE ISSUE)

□

1 slopes of the western section of the 2745
2 property," mentioned in DEIS Appendix 20, also
3 described as "Near the base of the
4 southwestern slope of Big Indian Plateau at
5 approximately 1600 feet elevation," on DEIS
6 page 3-98, where Ms. Tuttle found a black rat
7 snake, in which sounds to me very much like
8 potential timber rattlesnake habitat.

9 There is evidence in the Catskills of
10 undocumented or recently discovered den areas
11 for timber rattlesnake. Thus locations with
12 potential rattlesnake habitat should be
13 carefully studied even if they are more than
14 four miles from a known and documented den
15 area. Building a golf course or hotel close
16 to, I would say, e.g., within a quarter or
17 half mile of a rattlesnake den area, it could
18 be farther than that, because we know that
19 snakes under some conditions move four miles
20 and possibly farther from their dens during
21 the season. Building this kind of project
22 could result in the snakes migrating into
23 areas of intensive human activity. This could
24 pose unacceptable risks to both snakes and
25 people.

(WILDLIFE ISSUE)

2746

1 Two years ago, I was shown a private
2 home built close to the Mount Tremper
3 rattlesnake den several years previously.
4 Rattlesnakes regularly move from the den to
5 bask in a parking area and on outdoor stone
6 stairs at a warm, south-facing portion of the
7 house. The homeowners literally had to step
8 around the rattlesnakes daily at certain times
9 of the year. That would be pretty exciting
10 for me, but not for the average homeowner, I
11 assure you.

12 Snakes near the proposed development
13 would be at great risk from construction
14 machinery, internal roads, driveways and golf

15 cart roads. Animals move among different
16 kinds of habitats. It is important to assess
17 the quality and biota of the south-facing rock
18 slide because this is an unusual type of
19 habitat in the Catskill Mountains. It is
20 likely to support rare species which will be
21 affected by off-site impacts of the resort.

22 There is no way to judge the amount of
23 tree canopy cover in relation to habitat
24 quality unless the canopy cover is documented
25 in the habitat map. Neither of these have
(WILDLIFE ISSUE)

2747

1 been done either in the DEIS or in any
2 subsequent information that's been provided.
3 Despite having asked during the first ten
4 minutes of the first day of site visits, I
5 have still not been told where the
6 south-facing rock slide is. Even if canopy
7 cover has become high on this rock slide,
8 common processes such as fire, rock and soil
9 instability, storms and insect outbreaks, one
10 of which is progressing right now in nearby
11 areas of the Catskills along Route 28, can
12 reduce canopy cover and improve the quality of
13 snake habitat.

14 MS. ROBERTS: Dr. Kiviat, just two
15 questions. What is the nearby infestation?
16 You're talking about the infestation in the
17 trees here?

18 DR. KIVIAT: I'm talking about back
19 southeast along Route 28 in the vicinity of

20 Boiceville, if I remember correctly. My
21 understanding from Spider Barbour is that that
22 browning and damage to the trees that's
23 visible from the highway is caused by a
24 geometrid moth, an inchworm moth. It's not
25 caused by ten caterpillars or gypsy moths in
(WILDLIFE ISSUE)

2748

1 this particular instance.

2 MS. ROBERTS: The other question I had
3 was how much of an area does the timber
4 rattlesnake need to bask and reproduce? Do we
5 need large areas?

6 DR. KIVIAT: well, some of the snakes,
7 this would include the small juveniles in the
8 gravid females, which are the females carrying
9 the young, stay very close to the winter dens,
10 possibly within several hundred yards. There
11 are other individuals in rattlesnake
12 populations that move considerably greater
13 distances; half mile to a mile is quite common
14 according to the literature. Four miles, I
15 believe, is the outside distance that has been
16 documented using radio telemetry in New York
17 State. That doesn't mean that snakes under
18 some circumstances don't move farther than
19 four miles.

20 MS. ROBERTS: But in terms of the
21 claim that there's such a heavy canopy that
22 there's not a lot of habitat for snakes, is it
23 your opinion that you really don't need a lot
24 of open area for timber rattlesnakes to bask
25 and produce?

1 DR. KIVIAT: That's correct. Small
2 areas of open forest canopy with rocks that
3 receive a lot of sun in the early spring, that
4 would be April and May particularly, and the
5 late summer/early fall, approximately
6 September and October, are needed fairly near
7 to the winter dens. And that area -- I'm
8 going to make an educated guess here because I
9 don't have the numbers firmly in my mind.
10 That area could be as small as half this room
11 potentially.

12 So we're not talking about acres and
13 acres of open canopy. You only need
14 relatively small pockets where the snakes can
15 get out in the sun and not be disturbed.

16 MS. ROBERTS: Thank you.

17 DR. KIVIAT: Applicant's team claimed
18 that the biological surveys reported in the
19 DEIS were adequate. However, the Applicant's
20 rebuttal witness from LMS stated that a
21 two-day bird survey conducted by LMS on 3rd
22 and 4th June 2004, discovered 16 species of
23 birds not reported in Appendix 20 of the DEIS
24 from the year 2000 survey, and that these
25 newly documented species included the Cooper's
(WILDLIFE ISSUE)

1 hawk and cerulean warbler, both special
2 concern species in New York. I might add that
3 the cerulean warbler is a species of
4 considerable conservation concern throughout

6-29-04-crossroads.txt
5 its range in North America.

6 The Applicant has proven my contention
7 that the original biological surveys were
8 inadequate by finding a number of new or newly
9 documented species in only two days, including
10 two rare species of conservation concern. If
11 additional wildlife surveys were conducted,
12 they would almost certainly result in the
13 discovery of many more previously unreported
14 species, including other rarities. This
15 knowledge of rare species is needed to enable
16 project design that is appropriate for a wild
17 land adjoining the Catskill Park.

18 I want to give two examples of effort
19 that was invested in biological surveys in
20 southeastern New York which I consider
21 adequate for large land use project
22 situations, and I could find many other
23 examples of this kind of level of effort. The
24 Metropolitan Conservation Alliance and
25 Hudsonia are currently conducting biological
(WILDLIFE ISSUE)

2751
1 surveys of a 1000-acre development site in
2 Dutchess County. Eight person-days are
3 allocated to the breeding bird survey for
4 1000 acres. If that were compared to Sheila
5 Tuttle's survey of the almost 2,000-acre
6 Belleayre Resort site, it's about four times
7 the effort, because she was splitting her time
8 between a reptile and amphibian survey, and a
9 bird survey. So we'll assume for a moment
10 that it was about half reptiles and amphibians

11 and half birds.

12 In the same Dutchess County example,
13 significantly more time is allocated for the
14 reptiles and amphibians because most of these
15 animals are cryptic and secretive. Also, in
16 the same group of studies at that site, 16
17 person-days are allocated to searching for
18 rare plants on 1,000 acres.

19 My second example is from a 180-acre
20 area of grassland habitat at a proposed
21 landfill site in Oneida County, New York.
22 Hudsonia conducted surveys for rare grassland
23 birds. One biologist spent 27 mornings, 5.5
24 hours each, and five nights at six hours each,
25 surveying for this group of birds alone.

(WILDLIFE ISSUE)

2752

1 So that -- I don't have the
2 calculation in my head, but you can do the
3 arithmetic, it's a very much higher level of
4 effort to address a specific question about
5 rare birds that might have been on that site.

6 MS. ROBERTS: Dr. Kiviat, considering
7 that this site is surrounded by State-owned,
8 protected land, would you think that a level
9 of effort somewhere near that, or maybe a
10 little less, but at least more than the DEIS
11 is warranted to find rare species?

12 DR. KIVIAT: I think at a minimum, the
13 level suggested by the first example I gave.
14 And some of that question of the level of
15 effort has to be resolved in view of the

16 nature of the site, very little of which I've
17 been able to see in the site visits, so I
18 would prefer at the moment not to give a very
19 specific recommendation.

20 Another point that was made during
21 rebuttal was the site has low habitat
22 diversity, and thus conservation concern is
23 diminished. I disagree with that contention.
24 Large areas of low diversity are themselves an
25 important component of biological diversity on
(WILDLIFE ISSUE)

1 a larger scale. This is a very important and ²⁷⁵³
2 sometimes confusing point.

3 when we say biological diversity,
4 we're interested in the range of different
5 kinds of organisms and their genes and
6 communities and so on at different levels of
7 spatial scale. That includes small scale,
8 like 100 acres or less; it also includes a
9 very large scale like the entirety of the
10 Catskill Mountains. If you look at these
11 larger scales, which are very important in
12 conservation, a very important component of
13 diversity at those large scales is the
14 presence of large areas which in and of
15 themselves have low diversity.

16 So the point here is that in the
17 larger landscape region like the Catskills,
18 you want to have areas of low diversity and
19 areas of high diversity because each will
20 support to some extent different species of
21 plants and animals. without having large

22 low-diversity areas, there are some species
23 that you're not going to have. This is why
24 biologists are so interested in protecting
25 large areas of interior forests, large areas
(WILDLIFE ISSUE)

1 of grasslands and large areas of salt marshes,²⁷⁵⁴
2 to give three examples.

3 Removing 573 acres from an extensive
4 area of forest will have a cumulative impact
5 on the large-scale system that supports
6 area-sensitive species; that is, species that
7 require large areas for their home ranges and
8 their populations, including many mammals,
9 birds and reptiles. Despite the fact that the
10 Belleayre Resort site is mostly covered by
11 second growth northern hardwood forest, within
12 that gross community description, there is
13 considerable variation in structure, including
14 rocky areas, different compass aspects, areas
15 dominated by yellow birch, versus sugar maple,
16 versus beech, versus hemlock, streams, springs
17 and so forth. All these variations in this
18 large, relatively low-diversity area support
19 variations in plant and animal communities and
20 species.

21 MS. ROBERTS: Dr. Kiviat, one of the
22 things we heard on the 10th was that actually
23 creating some edge might be a good thing, that
24 it would be creating diversity in an area that
25 otherwise has low diversity. Can you comment
(WILDLIFE ISSUE)

1 on that?

2 DR. KIVIAT: It creates a kind of
3 diversity. It creates a diversity of mostly
4 common species that are tolerant of human
5 activity. Mostly these are not species which
6 we place conservation value on, species of
7 conservation concern.

8 In conservation biology in general,
9 we're more interested in the less common
10 species, and in the species which are less
11 tolerant of human activities because those
12 tend to be the species that will disappear
13 without conservation attention. And creating
14 edge habitat, in most cases does not favor
15 those species, although there are certainly
16 exceptions to that.

17 If you want to do good biological
18 conservation, almost always you don't go out
19 and create a lot of edge habitat. This is
20 contrary to recommendations that were made for
21 many years in, for example, wildlife biology
22 textbooks, where wildlife biologists said: Go
23 out and make edge habitat, it's good. Well,
24 it was good for deer, it was good for
25 cottontail rabbits, and lots of other species
(WILDLIFE ISSUE)

□

1 that were game animals that hunters wanted to
2 hunt. That was the goal of that kind of
3 wildlife management. It's not good for
4 general conservation of biological diversity,
5 including non-game animals as well as game
6 animals.

2756

7 So the goal of biological
8 conservation, particularly on a wild land
9 site, is not to create higher diversity of
10 wild life, per se; in other words not to make
11 just more species of animals but to conserve
12 uncommon and rare species in their habitats in
13 the long-term.

14 Creating more edge habitat at the
15 expense of forest interior is not a good
16 conservation practice. The edge effect, which
17 can extend hundreds of feet or more into the
18 forest, increases the impacts of predators and
19 evasive exotic plants on forest wildlife and
20 plants.

21 Also when that forest habitat is
22 reduced, the displaced wildlife cannot simply
23 move and take up residence elsewhere. This is
24 a statement that's commonly made in
25 environmental impact statements for many
(WILDLIFE ISSUE)

1 different projects. It's simplistic because ²⁷⁵⁷
2 displaced dispersing animals are at high risk
3 of predation, road mortality and other factors
4 that cause them to die or be unable to
5 reproduce.

6 Herpetologists, people who study
7 reptiles and amphibians, for example, are
8 schooled to release individual captured
9 animals where they were found so that those
10 animals will not be subject to the risks of
11 forest dispersal. And I'm just mentioning

12 that as an example of the importance of the
13 home range to the animal that lives in it, and
14 to the risks that accrue when that animal is
15 forced to leave its home range.

16 It was stated during rebuttal that the
17 rare tiger beetle, *Cicindela ancocisconensis*,
18 is found off the site, thus is not at risk.
19 You will recall, this is the rare animal that
20 was reported in the letter from the New York
21 Natural Heritage Program, or the DEC, which
22 was produced during rebuttal. This species of
23 tiger beetle is associated with particular
24 soil conditions on stream beds and stream
25 banks. The local record from the New York
(WILDLIFE ISSUE)

□

1 Natural Heritage Program was from the junction²⁷⁵⁸
2 of the Esopus Creek and Birch Creek, just
3 downstream from the site. This is exactly
4 where the full brunt of altered on-site
5 hydrology, soil erosion, siltation and
6 scouring will manifest. It's also worth
7 noting that potential habitat exists and the
8 beetle may occur along Birch Creek on-site and
9 possibly elsewhere on-site. And we saw some
10 of that potential habitat from the bridge over
11 Birch Creek, I believe, behind the former Jake
12 Moon's Restaurant, if I have the correct
13 location in mind.

14 Ms. Bakner said that Dr. Futyma is
15 well qualified to conduct the work he did for
16 the DEIS. I agree. Contrary to Ms. Bakner's
17 implication, I was not questioning

18 Dr. Futyma's qualifications. I was simply
19 saying that there was no evidence in the DEIS
20 that he conducted a rare plant survey, and
21 that he spent enough time to find any rare
22 plant species that may be present on the site.

23 During the site visit, the last day of
24 the site visit that I participated in,

25 Mr. Barbour found a sedge near the blue trail
(WILDLIFE ISSUE)

2759

1 that was either *Carex retrorsa* or *Carex*
2 *bullata*, but was not mature enough to
3 identify. *Carex bullata* is a Natural Heritage
4 Program listed rare species in New York.
5 Neither of these species is on Dr. Futyma's
6 plant list in the DEIS.

7 I think it's worth underlining here
8 that this site seems to have quite a bit of
9 sedge diversity, both in the upland habitats
10 and the wetlands. If you don't look at the
11 sedges and identify them, you haven't done a
12 rare plant survey, because quite a number of
13 the rare species on the New York Natural
14 Heritage Program list of rare species are
15 sedges. Many of the sedges are hard to
16 distinguish in the field, and they really
17 require some careful attention and some time.

18 Although northern monkshood is a showy
19 plant when it is in flower, at any particular
20 time, a group of stems may not be in flower
21 and may be inconspicuous. A biologist
22 concentrating on wetland delineations would

23 not necessarily recognize non-flowering
24 northern monkshood, which looks much like some
25 of the large buttercup species. This is
(WILDLIFE ISSUE)

2760

1 another point about fieldwork that I don't
2 believe was conducted, and certainly there's
3 no evidence of it in the DEIS, that should
4 have been conducted given the federal listing
5 status of the northern monkshood.

6 MS. ROBERTS: Dr. Kiviat, during some
7 conversations that I know you had with Spider
8 Barbour, who I think by all accounts is a very
9 well-known, respected plant biologist, did he
10 indicate to you whether if he had seen this
11 plant in the wild, he would himself have
12 difficulty identifying the plant, unless he
13 was really looking for it?

14 DR. KIVIAT: Spider Barbour did tell
15 me that he has seen northern monkshood in the
16 Catskills several miles from here -- several
17 miles, excuse me, from the Belleayre Resort
18 site, and we did have a discussion about the
19 difficulty of identifying it when it was in a
20 non-flowering condition. And Mr. Barbour
21 agreed with me that it takes a good deal of
22 attention in the field to recognize that
23 species when it is non-flowering.

24 MS. ROBERTS: When does it flower?

25 DR. KIVIAT: It has a long flowering
(WILDLIFE ISSUE)

2761

1 period during the summer. I believe the
2 information on the New York Natural Heritage
Page 166

3 Program web pages indicates about June to
4 September.

5 MS. ROBERTS: June?

6 DR. KIVIAT: I believe that's correct.

7 Another point raised during rebuttal is why
8 should we be concerned over species that are
9 not listed as threatened or endangered?

10 That's a paraphrase. My contention is that
11 biodiversity is more than just threatened and
12 endangered species. Species that are uncommon
13 or regionally rare become threatened or
14 endangered in many cases because their
15 habitats are lost or degraded. Habitat loss
16 and degradation is considered to be the
17 primary cause of species endangerment in North
18 America. Both species have importance, not
19 least of which is that human society depends
20 on biodiversity for ecosystem services, such
21 as maintenance of air, water and soil quality.
22 And for products such as pharmaceuticals,
23 which in many cases are derived from wild
24 species.

25 In the southeastern New York region,
(WILDLIFE ISSUE)

□

1 the fast pace of the development and land use ²⁷⁶²
2 change is altering and destroying habitats,
3 and is contributing to the regional loss of
4 species and cumulatively to species lost
5 state-wide. It's my opinion that it behooves
6 all organizations and individuals involved in
7 land use planning, including all the entities

8 that all of us in this room represent, to do
9 more to reduce the impacts of development on
10 biological diversity.

11 Also mentioned during rebuttal was the
12 contention that all the wetlands on the site
13 have been delineated. When we visited during
14 the site visit the area of Irrigation Pond 1,
15 we observed a logging road with large puddles
16 supporting at least two wetland plant species:
17 *Carex crinita* and *Carex stipata*. This area
18 needs to be examined to determine how much
19 undelineated wetland is present. Small
20 wetlands with important habitat functions,
21 e.g., potentially for rare plants, may well
22 exist elsewhere on the site. Small wetlands
23 that have not yet been delineated may well
24 exist elsewhere on the site.

25 The final point that I want to
(WILDLIFE ISSUE)

□

1 address -- raise during rebuttal, is that the²⁷⁶³
2 site covers almost 2,000 acres, of which only
3 573 acres will be disturbed. There may be a
4 573-acre area proposed for development, but
5 the actual disturbance would be far larger
6 through the agencies of, for example, soil
7 erosion and siltation, errant construction
8 equipment, which is very common around
9 construction sites, adults and children
10 walking outside the developed areas; noise,
11 light, dust and other impacts. I might add
12 pesticides, de-icing salts and nutrients from
13 fertilizers. I don't know of any other

14 recently built or ongoing project of that
15 magnitude in the Catskill Mountains.

16 Now, the final general point that I
17 want to make here is that the Applicant has
18 not made enough of an effort to find and
19 document the rare species of the development
20 site. Without knowing where those organisms
21 are, it is impossible to protect them and
22 their habitats by designing the development
23 project around them. Potentially 2,000 acres
24 are enough land to design an economically
25 viable project that will have relatively small
(WILDLIFE ISSUE)

1 impact on biological diversity. However, that ²⁷⁶⁴
2 appropriate design can only be done with the
3 right biological information in hand.

4 So to reiterate that, I'm not trying
5 to say by making these points that this
6 project should not be built, I'm simply saying
7 we don't have the information in front of us
8 to determine if this project has been designed
9 in a way that will minimize its impact on
10 wildlife habitat and on biological diversity
11 in general, and that in a project of this
12 magnitude, and even in much smaller projects,
13 that's an extremely important consideration.

14 MS. ROBERTS: I have a couple other
15 points, Dr. Kiviat. We talked a little about
16 Indiana bats last time, and there was rebuttal
17 back and forth. I just wanted to ask you: Do
18 these bats need large stands of old growth

19 trees or large trees to sustain their
20 population?

21 DR. KIVIAT: well, I have limited
22 familiarity with that information because some
23 of it is very new information that has not yet
24 been published, and it's coming from a
25 presentation that was made by Al Hicks of the
(WILDLIFE ISSUE)

2765

1 DEC Endangered Species Unit at the
2 Northeastern Natural History Conference in May
3 of this year, of which a colleague of mine
4 listened to.

5 It happened that the following week, I
6 was conducting a survey for something else,
7 not for Indiana bat, on a site in the town of
8 East Fishkill in southern Dutchess County with
9 a colleague who attended Mr. Hick's
10 presentation of the Natural History
11 Conference. And my colleague, John Sullivan,
12 pointed out that the Endangered Species Unit
13 had been radio-tracking Indiana bats that were
14 tagged with radios at an over-wintering site
15 in Rosendale in -- I'd say this is central
16 Ulster County, Rosendale, southeast of here
17 some distance -- which proceeded to fly across
18 the Hudson River to the town of East Fishkill
19 in southern Dutchess County, and use a group
20 of -- as best we could determine and I want to
21 underline this is secondhand information -- a
22 group of large trees on an old farm, a former
23 farm near a highway for summer roosting
24 habitat, and potentially maternity habitat.

25 Those trees, again if I understand
(WILDLIFE ISSUE)

2766

1 correctly, are not, first of all, large
2 numbers of very large trees in the middle of a
3 forest. They're trees that look like they
4 were planted, or at least cared for, along a
5 highway in a farm road in an area that's
6 rural, becoming suburban. Just as one
7 example, and I don't know what the other
8 available or unavailable information on
9 Indiana bat speaks to.

10 This one example indicates that this
11 federally endangered species, federally-listed
12 endangered species can use small groups of
13 large trees in an area that is not a -- not an
14 especially wild, untouched, unlogged type of
15 area. And that led me to think that on the
16 Belleayre Resort site, there are groups of
17 trees that we saw during the site visit, for
18 example, on the first day of the site visit at
19 the location of the hotel on the western site,
20 which are, to my eyes, large enough and
21 numerous enough to potentially be usable by
22 Indiana bats.

23 It's going to take someone with more
24 Indiana bat expertise than me to determine how
25 important that is, but I think it's something
(WILDLIFE ISSUE)

2767

1 that needs to be considered during this
2 process of planning.

3 MS. ROBERTS: One final question. We

4 had an occasion or an opportunity to talk to
5 Michael Kudish after the last hearing about
6 his book, and there was some question that we
7 had, looking at the map in the book, about
8 whether there was old growth on this site or
9 not, and I guess the Applicant's experts
10 quickly dismissed it as not being there,
11 looking at the map. Can you relate the
12 conversation we had with the author and tell
13 us about whether he could recall about whether
14 there's old growth on the site?

15 DR. KIVIAT: Dr. Kudish first looked
16 at the small map in his book and said he
17 wouldn't be able to tell from that small
18 map --

19 MS. ROBERTS: He would not?

20 DR. KIVIAT: He would not be able to
21 tell from that small map where the old growth
22 stand is in relation to the Belleayre Resort
23 site boundary. He then looked at the large
24 folded map in the book and at some of his
25 field notes, and he said he thought that most
(WILDLIFE ISSUE)

2768

1 of the old growth stand that he had
2 identified, which was about a square mile and
3 a half, was not on the resort site; however,
4 because he had delineated that one-and-a-half
5 square mile, old growth stand with a very
6 small number of points, which he referred to
7 as entry points in his book -- and the number
8 doesn't stick in my mind, but I think it was 7
9 or 11 entry points, a very small number of
Page 172

10 points for an area of about a thousand acres
11 of forest -- he did that by interpolating, so
12 he can't say that the old growth forest does
13 not extend onto the resort site in areas in
14 between some of those entry points.

15 He also said that if that were the
16 case, it would be most likely to find old
17 growth forest in areas of the site that are
18 steep or rocky or otherwise which would have
19 been difficult for logging equipment to gain
20 access to.

21 In general, this is a very good point,
22 that in most logging operations, the steep
23 areas, the rocky areas, the areas that are
24 hard to get to for other reasons are typically
25 left unlogged because it's simply not
(WILDLIFE ISSUE)

1 economical to get in there and build a logging²⁷⁶⁹
2 road and take the logs out.

3 I would suggest that there are, in
4 several places on the resort site, very steep
5 slopes and ledgy areas that may have been
6 difficult or impossible to log, most of which
7 I haven't seen and which could still support
8 old growth forest. Again, I think -- I'm not
9 stating that this old growth forest is
10 definitely on the site. I'm simply saying the
11 Applicant has not definitively answered the
12 question about whether or not there is old
13 growth forest on the site, and I think that's
14 one of this whole group of questions that

15 really does need to be addressed at this
16 stage.

17 MS. ROBERTS: I have nothing further,
18 your Honor, except a closing statement; but I
19 don't know if there's rebuttal or not.

20 ALJ WISSLER: Why don't you finish.

21 MS. ROBERTS: Your Honor, the level of
22 study undertaken in this DEIS is clearly,
23 based on Dr. Kiviat's testimony and
24 Dr. Burger's testimony, inadequate to ensure
25 that there will be no adverse impacts to the
(WILDLIFE ISSUE)

1 wildlife habitat on the site. As an example,²⁷⁷⁰
2 the bird survey which was done was not
3 adequate in that it didn't involve enough
4 visits to the site or enough points. The fact
5 that another survey was done in June is, I
6 guess, a good thing and a bad thing. The good
7 news is that more species were found, 16
8 species were found, which is what we expected,
9 as Dr. Kiviat testified, and that it included
10 two special-concerned species is also not
11 surprising, given the fact that this site is
12 wedged in between thousands of acres of
13 State-owned land that has been protected.

14 I guess the bad news is that the
15 survey was done by technicians at the wrong
16 time of the day, for the most part, and at the
17 wrong season, so that we suspect they actually
18 missed several more species.

19 Dr. Burger testified that at least
20 five or six visits should be conducted per

21 site, per point over a two-year period. That
22 was clearly not done here. We really don't
23 know what part of Ms. Tuttle's day was spent
24 just doing the bird survey, and we do know
25 that the 2004 survey, that there were 32
(WILDLIFE ISSUE)

2771

1 points, and there were two visits done for
2 each point; but again, only one of which was
3 done during the morning hours when you're most
4 likely to find the birds. Again, it was not
5 done over two seasons.

6 I think reasonable people could argue
7 whether we should do five visits or six, or
8 six or eight, but I don't think it's
9 reasonable to suggest that what was done in
10 the DEIS is adequate for a site that is this
11 large and has this much potential for habitat
12 disruption -- that has this much diversity.

13 Even if you take the Applicant's maps
14 that were submitted today that show the IBA
15 area and the site, that some of the site is
16 not exactly in the IBA, clearly a large part
17 of the site is in the IBA, and the other part
18 is adjacent to it.

19 It's no surprise that there's an IBA
20 here. Just to reiterate, I don't know if this
21 really came through in Dr. Burger's testimony,
22 but IBA's are only designated for the cream of
23 the crop, the top ten percent of the habitats
24 in New York are eligible for IBA, and within
25 those IBA's, this IBA that will be designated
(WILDLIFE ISSUE)

1 soon is the best in the state, and that's
2 really not surprising because -- again, this
3 site was purposely, as Mr. Ruzow testified
4 this morning, the Applicant bought over time
5 13 separate parcels wedged right between
6 state-owned land in a preserve that's been
7 here for 100 years. It is not surprising that
8 you're going to get an IBA that happens to be
9 the best in the state.

10 Given the fact that a DEC staff person
11 was actually on the technical committee that
12 identified the IBA, it's even more surprising
13 that the DEC would have accepted this DEIS,
14 based on the inadequate bird survey alone.

15 Much the same could be said about the
16 habitat survey that was done. As Dr. Kiviat
17 has found and stated, it is simply not
18 adequate for a site this size. Dr. Kiviat
19 himself found many species just walking around
20 this site that were not listed on their survey
21 lists. And as Dr. Kiviat testified, Spider
22 Barbour also found two sedges, one of which he
23 thinks is rare, and that's just walking
24 around.

25 The suggestion that the habitat is
(WILDLIFE ISSUE)

1 homogenous and so it does not matter as much
2 if it is disturbed, or that it might be
3 actually a good thing to create more edge,
4 really evidences such a fundamental lack of
5 understanding of current sound scientific

6 thinking in conservation, that I think
7 Mr. Franke's testimony in this regard should
8 be weighed carefully, and in large measure
9 disregarded.

10 The fact is that our experts,
11 virtually all of them have Ph.D's and are
12 scientists and do this full-time, find that
13 that a homogenous forest habitat is a
14 worthwhile habitat to project; and that forest
15 edge is not a good thing, and that the idea of
16 conservation is not to encourage more edge,
17 but to conserve, as Dr. Kiviat said, those
18 rare species that were not even looked for.

19 Again, as Dr. Kiviat said, we're not
20 opposed to development, but we do need to know
21 what's out there so that if a development
22 comes to this area that is, again, wedged, and
23 the Applicant knew that this site is wedged
24 right between State-owned lands -- that we
25 need to know exactly where this development is
(WILDLIFE ISSUE)

□

1 going to be located. You can't buy property ²⁷⁷⁴
2 smack dab in the middle of the State property
3 and then cry "foul" when you're asked to
4 perform at least an adequate environmental
5 assessment, because the resources on that
6 State land belong to everyone.

7 So we do, again, feel like we have
8 raised substantive and significant issues
9 because what's in here in terms of the surveys
10 and the habitat simply is not a basis for

11 which you or the Commissioner can ultimately
12 make a decision on whether or not there are
13 adverse impacts to the habitat. We certainly
14 contend that there are, and at least, that we
15 don't have enough information to determine the
16 nature of those impacts.

17 ALJ WISSLER: Ms. Bakner.

18 MS. BAKNER: Thank you, your Honor.
19 First of all, we would like to observe with
20 respect to CPC 73, which is the publication
21 that Dr. Burger provided, that this does not
22 appear to be a federal regulation or
23 requirement, or a state regulation or
24 requirement, and I believe the question that,
25 perhaps it was your Honor asked of Dr. Burger
(WILDLIFE ISSUE)

1 was: Is there a standard or a regulation or ²⁷⁷⁵
2 something that exists to tell you what the
3 requirements are for monitoring bird
4 populations? So I'm just observing for the
5 record that these appear to be abstracts of
6 studies that were done and that they can in no
7 way be construed as a regulation or even a
8 guidance document.

9 The opponents argue that we haven't
10 proved a negative, that we haven't proved
11 what's not on the site, all we have shown is
12 what's on the site based on what they feel are
13 inaccurate studies. The Department of
14 Environmental Conservation requested that we
15 do studies. We retained consulting engineers,
16 people who do these studies on a regular

17 basis. They advised us as to how the studies
18 should be done. We did the studies, we
19 submitted them to DEC, and DEC determined that
20 they were complete. Whether Dr. Kiviat agrees
21 or disagrees does not raise an issue of -- a
22 substantive and significant issue, or in any
23 way indicate that the Commissioner lacks a
24 record on which to base a decision under
25 SEQRA. It was determined to be complete and
(WILDLIFE ISSUE)

2776

1 adequate for public review.

2 I'd like to turn to Dr. Futyma for a
3 second. Dr. Futyma, you are a doctor of
4 botany?

5 DR. FUTYMA: Yes.

6 MS. BAKNER: Dr. Futyma, did you spend
7 11 days on the site in the fall of '99?

8 DR. FUTYMA: At least 11 days, yes.

9 MR. RUZOW: Did you spend one day on
10 the site in the spring of 2000?

11 DR. FUTYMA: At least one day, yes.

12 MS. BAKNER: Do you stand by your
13 determination with respect to the plants that
14 were found on the site as a part of your site
15 investigations?

16 DR. FUTYMA: I stand by their
17 identification, yes.

18 MS. BAKNER: We do have a doctor on
19 the site. I think that Ms. Roberts forgot
20 him, but I do want to point out that he is a
21 doctor and has a doctorate.

22 MR. RUZOW: His background. You have
23 his background.

24 MS. BAKNER: Mr. Ruzow asked you what
25 is your background, where you worked.
(WILDLIFE ISSUE)

1 DR. FUTYMA: I worked at the New York ²⁷⁷⁷
2 State Museum as a researcher in botany.

3 MR. GERSTMAN: Is that current?

4 DR. FUTYMA: No, that was prior to
5 working for the LA Group.

6 MS. BAKNER: Mr. Franke, the nearest
7 recorded rattlesnake den, how far away from
8 our site is that?

9 MR. FRANKE: Approximately ten miles.

10 MS. BAKNER: Did you check with DEC on
11 their records? How did you find out where the
12 nearest site was?

13 MR. FRANKE: That was information
14 obtained from the Department.

15 MS. BAKNER: From the Department. In
16 your discussions with Ms. Tuttle, who did the
17 rattlesnake survey, did she indicate that
18 there was any evidence of any rattlesnake
19 presence on the site?

20 MR. FRANKE: No.

21 MS. BAKNER: I'm going to come back to
22 the rattlesnakes in a second.

23 Mr. Robbins, I know you haven't been
24 with us before.

25 MR. ROBBINS: Correct.
(WILDLIFE ISSUE)

1 MS. BAKNER: However, Christon ²⁷⁷⁸
Page 180

2 Robbins' resume was entered into the record
3 when his colleague, Mr. Stephen Seymour, was
4 here. He's also with Lawler, Matusky &
5 skelly.

6 Mr. Robbins, people have indicated
7 that when you came to the site and did your
8 survey, you saw a certain number of bird
9 species. Do you recall what the number of
10 bird species were?

11 MR. ROBBINS: We saw a total 75
12 different bird species.

13 MS. BAKNER: Of those 75 bird species,
14 how many of those were new species that had
15 not been put forth in the DEIS before?

16 MR. ROBBINS: 16 total.

17 MS. BAKNER: Of the 75 species that
18 you saw -- and I'm not sure how to ask this
19 question inside-out -- but how many species
20 that we saw previously that the LA Group staff
21 saw previously --

22 MR. RUZOW: That had been reported in
23 the DEIS.

24 MS. BAKNER: -- did you not see when
25 you were out there?

(WILDLIFE ISSUE)

1 MR. ROBBINS: There was a total of ²⁷⁷⁹13
2 that we did not see that were recorded in the
3 DEIS.

4 MS. BAKNER: So essentially there were
5 some give and take, if you will; some you saw,
6 they didn't see; some they saw, you didn't

7 see?

8 MR. ROBBINS: That's correct.

9 MR. RUZOW: Is that a normal
10 experience in terms of your experience with
11 site visits, that on certain days you'll hear
12 certain species or be able to observe certain
13 species and on following days or later days
14 not be able to observe them?

15 MR. ROBBINS: Yes, that is the case on
16 occasion. And it also has to do with the
17 years -- there's certain things that can cause
18 observations of certain species one year that
19 you may not see the following year.

20 MS. BAKNER: It was noted that somehow
21 you all did your survey at the wrong time of
22 the day; is that correct?

23 MR. ROBBINS: We conducted surveys on
24 two consecutive days, starting early in the
25 morning, continuing throughout the day so we
(WILDLIFE ISSUE)

1 could report the species that we saw over an ²⁷⁸⁰
2 entire day. The surveys were initiated at no
3 later than 7 a.m. One day we started before
4 6 o'clock in the morning and recorded through
5 until noon.

6 MS. BAKNER: Do you recall,
7 Mr. Robbins, how you decided you were going to
8 set things up for those two days? Did you go
9 out ahead of time to take a look at the site?

10 MR. ROBBINS: Yes, we did. We made a
11 site visit in May, I believe May 17th, to do a
12 reconnaissance to determine where we were

13 going to set up our point counts.

14 MS. BAKNER: It's also been suggested
15 that you somehow -- you technicians went out
16 at the wrong time of the year; is there any
17 truth to that statement?

18 MR. ROBBINS: No, early June is a good
19 time to record breeding birds and habitats in
20 this area.

21 MS. BAKNER: Last time we heard from
22 Mr. Seymour how many bird surveys and other
23 surveys he has done. Have you had a limited
24 experience in doing bird surveys, or do you do
25 a lot of them?

(WILDLIFE ISSUE)

2781

1 MR. ROBBINS: The group that I went
2 out with, there were four of us have done an
3 extensive number of bird surveys -- I cannot
4 count. And two of the folks who were out on
5 both those days bird on their off times. They
6 travel all over the country. They spend their
7 vacations birding so --

8 MS. BAKNER: Mr. Franke, Mr. Kiviat
9 has indicated that --

10 ALJ WISSLER: Dr. Kiviat.

11 MS. BAKNER: Sorry. Dr. Kiviat has
12 indicated that we have somehow extolled the
13 virtues of edge effect in our document without
14 recognizing the importance of interior species
15 in forested areas. Is that an accurate
16 reflection of the Draft Environmental Impact
17 Statement in your opinion?

18 MR. FRANKE: No, the Environmental
19 Impact does state clearly, I believe it's
20 page 3-104, where it says: "The proposed
21 project can potentially result in a decrease
22 in numbers of local populations of forest
23 interior species."

24 MS. BAKNER: So in your opinion, did
25 we give inappropriate deference to the
(WILDLIFE ISSUE)

1 importance of interior forests or interior 2782
2 species?

3 MR. FRANKE: It's clearly recognized
4 in the DEIS.

5 MS. BAKNER: Did we ever claim
6 anywhere in the DEIS that displaced species
7 would fly off and happily find a home
8 somewhere else?

9 MR. FRANKE: No. It's stated in here
10 that if suitable habitat is not available,
11 there's potential for mortality due to
12 intraspecific or interspecific competition for
13 habitat resources.

14 MS. BAKNER: In your opinion, would
15 DEC have accepted a document that made such a
16 ridiculous statement?

17 MR. FRANKE: I don't want to speak for
18 the Department, but it's my belief they
19 probably would have not.

20 MS. BAKNER: Beetle habitat. We
21 introduced the letter into the record from the
22 Natural Resources. I'm just going to ask you
23 again, if you can, Mr. Franke, is this a

24 protected or endangered or threatened species
25 of beetle?

(WILDLIFE ISSUE)

2783

1 MR. FRANKE: No, it's not.

2 ALJ WISSELER: What is he referring to?

3 MS. BAKNER: Applicant's Exhibit --

4 ALJ WISSELER: It's something that's

5 in?

6 MR. FRANKE: New York Natural Heritage
7 Program.

8 MS. BAKNER: What are we doing down
9 around Birch Creek basically in terms of the
10 project?

11 MR. FRANKE: For Birch Creek, we have
12 one bridge to be constructed for the entrance
13 road at Friendship Road, a bridge spanning the
14 creek itself. Second of all, would be the
15 replacement of the existing Winding Mountain
16 Road bridge over Birch Creek.

17 MS. BAKNER: So we're essentially
18 disturbing an area that's already been
19 disturbed; and the other area, we're merely
20 bridging across it in order to have an access
21 road into the site?

22 MR. FRANKE: That's correct.

23 MS. BAKNER: Was that access road into
24 the site chosen for any particular
25 environmental reason?

(WILDLIFE ISSUE)

2784

1 MR. FRANKE: The exact location,

2 there's avoidance of some wetland areas

6-29-04-crossroads.txt
3 associated with Birch Creek that was taken
4 into consideration when siting that access
5 road.

6 MS. BAKNER: Was it placed at that
7 location due to avoidance of visual impacts
8 from Route 28?

9 MR. FRANKE: An alternative access
10 road off of Lasher Road was evaluated during
11 the design process and was abandoned as an
12 alternative because of potential visual
13 impacts from Route 28, yes.

14 MR. RUZOW: Your Honor, he was reading
15 from Applicant's Exhibit 13, the letter from
16 the Natural Heritage Program.

17 ALJ WISSLER: Thank you.

18 MS. BAKNER: Mr. Franke, do you recall
19 the Draft Environmental Impact Statement
20 looking at the issue of Indiana bats?

21 MR. FRANKE: Yes, it did.

22 MS. BAKNER: Basically, the
23 information that you had was that the
24 hibernaculum was a substantial distance from
25 our site?

(WILDLIFE ISSUE)

2785

1 MR. FRANKE: That's correct. I
2 believe that was in response to conversations
3 between our staff and a gentleman from DEC,
4 Al Hicks, mentioned previously by Dr. Kiviat.

5
6 MS. BAKNER: Mr. Franke, and also
7 Mr. Futyma, Dr. Futyma -- it's a universal
8 problem of mine. We're back to the old growth

9 issue here as much as we try to -- have tried
10 to address this on a number of occasions in a
11 number of different ways.

12 Dr. Futyma, are you aware, given your
13 extensive look at the site, of any old growth
14 on the site; are you aware of any such thing?

15 DR. FUTYMA: I did not see anything
16 that to me appeared to be old growth. I'm
17 familiar with the higher elevation old growth,
18 say around the top of Belleayre, did not see
19 anything like that on the site, that kind of
20 stunted forest, especially with a lot of
21 yellow birch in it -- what is on the top of
22 Belleayre -- and I didn't see anything like
23 that on the site.

24 As far as a more lower elevation type
25 of forest that would be old growth, I'm
□ (WILDLIFE ISSUE)

1 familiar with that kind of forest from various²⁷⁸⁶
2 other sites in New York and other states, and
3 I did not see anything that to me looked like
4 could be old growth. Too many places all over
5 had indications to me of logging.

6 MS. BAKNER: Mr. Franke, is that also
7 consistent with your experience on the site?

8 MR. FRANKE: Yes, it is.

9 MS. BAKNER: We're going to do
10 something a little unusual.

11 Mr. Frisenda, can you come up here.
12 we're hearing again and again, we didn't look
13 hard enough, we didn't look hard enough. We

14 followed all the acceptable procedures, and we
15 had the consultants out there looking at
16 things on site, particularly rattlesnakes,
17 which, you know, everyone takes very seriously
18 given their status as an endangered species.

19 Mr. Frisenda, I think everybody here
20 is familiar with you. You're just a
21 layperson. What did you do before you
22 retired?

23 MR. FRISENDA: Before I retired? I
24 didn't know I retired. I was in commercial
25 aviation. I had my own business on a couple
(WILDLIFE ISSUE)

2787

1 of occasions, varied background.

2 MS. BAKNER: So up wouldn't claim to
3 be any kind of a specialist on snakes?

4 MR. FRISENDA: Nope.

5 MS. BAKNER: Can you explain to me the
6 familiarity that you and your family have with
7 respect to this particular site.

8 MR. FRISENDA: I've been all over that
9 mountain since 1958 on a weekend basis, and
10 full-time for the past 30 years I've lived up
11 here; and my wife, my children and I have been
12 up there together and on separate occasions.

13 MS. BAKNER: Have you ever been to
14 portions of the site that were sunny or open
15 or --

16 MR. FRISENDA: Yes, the Lost Clove
17 side is the sunny side, and I've been on that
18 side of the mountain summer, spring and fall.

19 MS. BAKNER: Are you generally
Page 188

20 conversant in the physical appearance of a
21 rattlesnake?

22 MR. FRISENDA: I would say generally,
23 yeah.

24 MS. BAKNER: Have you or any member of
25 your family ever during any time they were out
(WILDLIFE ISSUE)

1 on these properties seen anything that was --²⁷⁸⁸
2 that looked like or had any of the attributes
3 of a rattlesnake?

4 MR. FRISENDA: I have neither seen,
5 nor heard anything that would resemble a
6 rattlesnake.

7 MS. BAKNER: Thank you very much,
8 Mr. Frisenda. I really appreciate it.

9 Your Honor, we have done an
10 appropriate -- we have undertaken an
11 appropriate examination of the flora, fauna on
12 the site. We requested LMS to go out and do
13 an additional bird survey, not because we
14 thought that anything that we had done before
15 was deficient, but just because it's this time
16 of year now, and if it was ever to be done, we
17 really felt we had to do it now.

18 As I'm sure is apparent, opposition is
19 often about delay. It's often about
20 suggesting --

21 MR. GERSTMAN: Judge --

22 MS. BAKNER: -- suggesting that there
23 are things that should have been done that
24 weren't done, and for certain things you only

25 have a limited time frame. So what we decided
(WILDLIFE ISSUE)

2789

1 to do was have them go out and do the survey
2 because June only comes once a 12 months.

3 So I guess the only point we're making
4 is the suggestion by even a qualified person
5 such as Dr. Kiviat, that more should have been
6 done does not rise to a substantive and
7 significant issue, and there really have been
8 no showing, including the most recent
9 suggestion that a sedge that couldn't be
10 identified was somehow significant. There's
11 really been no showing that there's any
12 species out there that we didn't adequately
13 consider as part of the DEIS, or as part of
14 the habitat analysis.

15 So with that, Mr. Ruzow, is there
16 anything you would like to add?

17 MR. RUZOW: No.

18 MR. GERSTMAN: Can we have a minute or
19 two?

20 ALJ WISSLER: Yeah, like really just a
21 minute.

22 (4:42 - 4:43 P.M. - BRIEF RECESS

23 TAKEN.)

24 MS. ROBERTS: Mr. Alworth, you can
25 stay there.

(WILDLIFE ISSUE)

2790

1 Tom Alworth has testified before, but
2 as you know, your Honor, he has also done bird
3 research in his other life, and we just wanted
4 to comment on June being an acceptable time to

5 do bird survey work; and Dr. Burger testified
6 that it was not an opportune time because the
7 birds are sitting on their nests, and I just
8 wanted Mr. Alworth to give an opinion about
9 whether June is an acceptable time, or the
10 best time.

11 MR. ALWORTH: June are resident birds.
12 So if the question is are resident birds --
13 June is the time to look for them because they
14 are, in fact, nesting at that time. That
15 doesn't include other birds that may be moving
16 through and using that habitat through
17 migration, which is also important; but if
18 you're looking for nesting resident birds,
19 June is the time to do it.

20 The problem is, they do tend to be
21 much more quiet, less territorial singing.
22 They're secretive around their nests, so that
23 does argue for a more intense survey in June
24 to really identify who is using the site to
25 nest.

(WILDLIFE ISSUE)

1 MS. ROBERTS: And Mr. Gerstman would²⁷⁹¹
2 like to make a statement.

3 MR. GERSTMAN: Judge, we believe we
4 have established through the offers of proof
5 of Dr. Kiviat, Dr. Burger and others who have
6 testified concerning the value of this forest
7 area habitat that it, in fact, is an important
8 habitat area, important forest area.
9 Homogeneous, as it is, for biodiversity over a

10 larger area. We believe we made the
11 appropriate case that the Applicant's
12 evaluation doesn't come close to being
13 satisfactory in order for the Commissioner and
14 yourself to make findings under SEQRA.

15 We believe that there is sufficient
16 information in our offers of proof to indicate
17 that there is extremely important value to
18 this area, that the mitigation that is
19 proposed has not come close to meeting the
20 findings requirements under 617.11 of the
21 regulations; and that we have established a
22 substantive and significant issue based upon
23 all of the expert offers of proof that we have
24 put forth over the course of the Issues
25 Conference.

(WILDLIFE ISSUE)

1 The issue, for instance, of whether or ²⁷⁹²
2 not habitat -- whether or not the wildlife
3 that are going to be displaced from this
4 project during construction are going to
5 either find new habitat or compete with other
6 members of their species for survival --
7 doesn't answer the question as to whether or
8 not the mitigation that's proposed is
9 adequate.

10 Dr. Kiviatt has in his final, and what
11 I believe he said, most important point, is
12 that this project has not been designed with
13 enough information concerning the biological
14 record of the site, essentially, to know
15 whether or not the mitigation is adequately

16 protecting the biodiversity of the site.
17 Dr. Kiviat is suggesting that a good
18 scientific record of the site is absolutely
19 essential in order to determine whether the
20 mitigation that has been proposed will
21 minimize the adverse environmental impacts to
22 the maximum extent applicable. Under the
23 current record, the Commissioner does not have
24 the opportunity to make that finding.

25 MR. RUZOW: Your Honor, what is
(WILDLIFE ISSUE)

2793

1 missing from this analysis, Mr. Gerstman's
2 argument, is an important phrase which is
3 found following both mitigation and
4 alternatives, consistent with social, economic
5 and other essential considerations. There is
6 no requirement under SEQRA that one mitigate
7 every aspect of a potential environmental
8 impact in a vacuum. We have done our best to
9 identify the potential significant adverse
10 effects. Their best claim is that we should
11 be doing more to identify those impacts. We
12 believe we've done enough. And at the end of
13 the day, the Commissioner will have ample
14 opportunity, and your Honor as a
15 recommendation, to consider whether or not
16 they have been mitigated to the maximum extent
17 practicable, consistent with social, economic
18 and other essential considerations.

19 There is a balancing it end of the day
20 that SEQRA requires, and we understand that we

21 cannot avoid all potential impacts. We
22 believe we've been able to avoid or mitigate
23 the potentially significant ones, but even
24 those are balanced against social, economic
25 and other essential considerations, and the
(WILDLIFE ISSUE)

2794

1 value and the benefits of this project has
2 from an economic and a social perspective to
3 the local governments, the local region, and
4 the state as a whole.

5 So the argument that Mr. Gerstman
6 advances is only part of the story, and the
7 obligations of the Commissioner in
8 decision-making.

9 MR. GERSTMAN: Just to complete the
10 circle, your Honor. Again, to pick up on what
11 Mr. Ruzow is suggesting about the balancing
12 required under SEQRA, we would, of course,
13 agree with the regulatory language. What
14 Mr. Ruzow is leaving out of the analysis is
15 that, to the extent that we have demonstrated
16 that there are significant impacts, the issue
17 of whether or not to -- that the Commissioner
18 can issue findings under SEQRA must be
19 adjudicated.

20 whether or not the mitigation is
21 satisfactory for the Commissioner to make
22 those findings under SEQRA consistent with
23 social, economic and other essential
24 considerations, must be an adjudicable issue
25 to the extent that we have demonstrated, and
(WILDLIFE ISSUE)

1 we believe we have, that this project will
2 result in significant adverse environmental
3 impacts to habitat, to wildlife, and to the
4 surrounding habitat not currently on the site.

5 MR. RUZOW: We look forward to further
6 briefing the issue.

7 MR. ALTIERI: Again, restating that
8 the staff will -- presumably, I guess this
9 will be more or less the end of wildlife --
10 and the staff will be submitting something
11 probably in writing, or maybe something that
12 I'll read into the record when we get together
13 again.

14 MR. GERSTMAN: Thank you, Judge.

15 ALJ WISSLER: If you want something in
16 addition before the record closes, you need to
17 give me that before the record closes. I
18 don't want to hear something new in the
19 briefs.

20 MR. ALTIERI: Correct.

21 ALJ WISSLER: Thank you very much.
22 We'll be back here on July the 12th.

23 (4:51 P.M. - WHEREUPON, THE ABOVE
24 PROCEEDINGS ADJOURNED FOR THE DAY.)

25 (WILDLIFE ISSUE)

1
2
3
4
5

C E R T I F I C A T I O N

6-29-04-crossroads.txt

6 I, THERESA C. VINING, hereby certify
7 and say that I am a Shorthand Reporter and a Notary
8 Public within and for the State of New York; that I
9 acted as the reporter at the Issues Conference
10 proceedings herein, and that the transcript to which
11 this certification is annexed is a true, accurate
12 and complete record of the minutes of the
13 proceedings to the best of my knowledge and belief.

14

15

16

THERESA C. VINING

17

18

19 DATED: August 30, 2004.

20

21

22

23

24

25

□