

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

ISSUES CONFERENCE VOLUME 14

In the Matter of the Applications of
CROSSROADS VENTURES, LLC
for the Belleayre Project at Catskill Park
for permits to construct and operate pursuant to
the Environmental Conservation Law

Margaretville Fire House
Margaretville, New York
July 29, 2004

B E F O R E :

HON. RICHARD WISSLER,
Administrative Law Judge

A P P E A R A N C E S :

WHITEMAN, OSTERMAN & HANNA, LLP.
Attorneys for Applicant,
CROSSROADS VENTURES, LLC
One Commerce Plaza
Albany, New York 12260
BY: DANIEL RUZOW, ESQ., of Counsel
BY: TERRESA M. BAKNER, ESQ., of Counsel

NEW YORK STATE DEPARTMENT
of ENVIRONMENTAL CONSERVATION
Region 3
21 South Putt Corners Road
New Paltz, New York 12561

BY: CAROL KREBS, ESQ., of Counsel
Regional Attorney

□

1
2
3
4

LAW OFFICE OF MARC S. GERSTMAN
Attorneys for CATSKILL COALITION,
ROBINSON SQUARE
313 Hamilton Street
Page 1

5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

BY: MARC S. GERSTMAN, ESQ., of Counsel

□

3386

1	CPC	
2	PRESENTERS	PAGE
3	ANDREW MICHALSKI, Ph.D.	3395, 3508
4	PAUL A. RUBIN	3474
5		
6	APPLICANT'S	
7	PRESENTERS	
8		
8	SAM GOWAN, Ph.D.	3526
9	STEVEN TRADER	3526
10	MARY BETH BIANCONI	3613

11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

□

3387

1	CPC		
2	EXHIBITS		
3			
4	78	LETTER DATED 7/21/04 FROM AUDUBON NEW YORK	3391
5	79	"EMPIRE STATE TRAILS - HIGHLIGHTS OF NEW YORK STATE	3391
6			
7	80	"GROUNDWATER IMPACTS OF THE BELLEAYRE RESORT"	3391
8			
9	80A	ATTACHMENT 2 - "WELLBORE SHORT-CIRCUITS IN A FRACTURED-ROCK AQUIFER, CATSKILL MOUNTAINS, NEW YORK - MANAGEMENT CONSIDERATIONS"	3391
10			
11			
12			
13	81	PARTIAL PAUL RUBIN TESTIMONY	3391
14			
15	82	"BELLEAYRE RESORT YIELD TEST OF WELL R1"	3391

16	82A	Vol. 14 (7-29-04crossroads) "BELLEAYRE RESORT YIELD 3392 TEST OF WELL R1"	
17			
18	83	"USGS HYDROGEOLOGY OF THE BEAVER KILL BASIN IN SULLIVAN, DELAWARE, AND ULSTER COUNTIES, NEW YORK"	3392
19			
20	84	"OBSERVATION WELL DRAWDOWN ASSOCIATED WITH STATION ROAD WELL AQUIFER TEST"	3474
21			
22			
23			
24			
25			

□

3388

1	APPLICANT'S		
2	EXHIBITS		
3	97	DELAWARE ENGINEERING NYS WATERSHED PROJECT EXPERIENCE	514
4			
5	98	LETTER DATED 7/28/04 FROM STEVE TRADER TO ALEX CIESLUK	3514
6			
7	99A	CROSS SECTION LOCATION MAP	3514
8			
9	99B	CROSS SECTION A-A'	3515
10	99C	CROSS SECTION B-B'	3515
11	100	FLOW METER EXHIBITS	3515
12	101	"PUMPING TEST DATES AND CONDITIONS OF BIG INDIAN PLATEAU WELL FIELD"	3516
13			
14	102	"BIG INDIAN PLATEAU CAPACITIES OF WATER SUPPLY SOURCES"	3516
15			
16	103	COMMENT LETTER DATED 6/21/04 FROM STEVEN TRADER TO ALEX CIESLUK	3516
17			
18	104	MAP DEPICTING "EXISTING AND PROPOSED PUBLIC WATER SUPPLIES IN THE VICINITY OF THE BELLEAYRE RESORT AT CATSKILL PARK"	3517
19			
20			
21	105	PSC ORDER DENYING PINE	3517

Vol. 14 (7-29-04crossroads)
HILL WATER COALITION
PETITION FOR REHEARING
ISSUED AND EFFECTIVE
3/14/02

22
23
24
25

□

1	106	PSC ORDER DENYING PETITION AND PINE HILL WATER COALITION COMPLAINT ISSUED AND EFFECTIVE 11/1/01	3517	3389
2				
3				
4	107	WHITEMAN, OSTERMAN & HANNA RESPONSE TO PINE HILL WATER COALITION APPLICATION TO PSC DATED 7/5/01	3518	
5				
6				
7	108	PINE HILL WATER COALITION PETITION TO PSC DATED 6/11/01	3518	
8				
9	109	PETITION TO PSC FOR TRANSFER OF ASSETS DATED 11/15/02	3518	
10				
11	110	PSC ORDER CASE 02-w-1442 APPROVING ASSET TRANSFER FOR PINE HILL WATER COMPANY TO TOWN OF SHANDAKEN DATED 3/20/03	3519	
12				
13				
14	111	ALBANY COUNTY SUPREME COURT AMENDED DECISION DATED 7/16/03	3519	
15				
16	112	ORIGINAL ALBANY COUNTY SUPREME COURT DECISION DATED 4/25/03	3519	
17				
18	113	PINE HILL WATER COMPANY APPLICATION TO TRANSFER WSA DATED 4/7/03	3520	
19				
20	114	LETTER DATED 8/8/02 FROM MARY BETH BIANCONI TO ALEX CIESLUK	3520	
21				
22	115	LETTER DATED 8/5/02 FROM WHITEMAN, OSTERMAN & HANNA TO ALEX CIESLUK	3520	
23				
24	116	LETTER DATED 6/28/02 FROM WHITEMAN, OSTERMAN & HANNA TO ALEX CIESLUK	3521	
25				

□

- 1
- 2 117 LETTER DATED 8/7/01 FROM 3521
WHITEMAN, OSTERMAN &
3 HANNA TO ALEX CIESLUK
- 4 118 NYSDEC NOTICE OF 3521
COMPLETION OF WSA BY THE
5 PINE HILL WATER COMPANY
DATED 5/24/02
- 6 119 LETTER DATED 6/13/02 3522
FROM MARY BETH LARKIN TO
ALEX CIESLUK
- 8 120 PINE HILL WATER COMPANY 3522
APPLICATION FOR
9 MODIFICATION OF A PUBLIC
10 WATER SUPPLY PERMIT
DATED 4/3/01
- 11 121 PUBLIC COMMENT LETTERS 3522
PROVIDED TO NYSDEC
12 REGARDING PINE HILL WSA
13 MODIFICATION
- 14 122 LETTER DATED 7/28/04 3523
FROM STEVEN TRADER TO
ALEX CIESLUK
- 15 123 "WILDACRES RESORT - 3523
SOURCE VERSUS DEMAND
17 CALCULATION"
- 18 124 FIGURE(11 BY 17) MAP 3523
ENTITLED, "PUMPING TEST
19 MONITORING LOCATIONS"
- 20 125 PHOTOGRAPHS TAKEN OF 3524
PEPACTON RESERVOIR ON
21 12/20/01
- 22
- 23
- 24
- 25

□

1 (July 29, 2004)
2 (9:46 A.M.)

P R O C E E D I N G S

4 MR. GERSTMAN: we'll premark these
5 exhibits.

6 Vol. 14 (7-29-04crossroads)
(LETTER DATED 7/21/04 FROM AUDUBON
7 NEW YORK RECEIVED AND MARKED AS CPC EXHIBIT
8 NO. 78, THIS DATE.)
9 ("EMPIRE STATE TRAILS - HIGHLIGHTS OF
10 NEW YORK STATE" RECEIVED AND MARKED AS CPC
11 EXHIBIT NO. 79, THIS DATE.)
12 ("GROUNDWATER IMPACTS OF THE
13 BELLEAYRE RESORT" RECEIVED AND MARKED AS CPC
14 EXHIBIT NO. 80, THIS DATE.)
15 (ATTACHMENT 2 - "WELLBORE
16 SHORT-CIRCUITS IN A FRACTURED-ROCK AQUIFER,
17 CATSKILL MOUNTAINS, NEW YORK - MANAGEMENT
18 CONSIDERATIONS" RECEIVED AND MARKED AS CPC
19 EXHIBIT NO. 80A, THIS DATE.)
20 (PARTIAL PAUL RUBIN TESTIMONY
21 RECEIVED AND MARKED AS CPC EXHIBIT NO. 81,
22 THIS DATE.)
23 ("BELLEAYRE RESORT YIELD TEST OF WELL
24 R1" RECEIVED AND MARKED AS CPC EXHIBIT NO. 82,
25 THIS DATE.)
(WATER SUPPLY ISSUE)

1 ("BELLEAYRE RESORT YIELD TEST OF WELL ³³⁹²
2 R1" RECEIVED AND MARKED AS CPC EXHIBIT NO.
3 82A, THIS DATE.)

4 ("USGS HYDROGEOLOGY OF THE BEAVER
5 KILL BASIN IN SULLIVAN, DELAWARE, AND ULSTER
6 COUNTIES, NEW YORK" RECEIVED AND MARKED AS CPC
7 EXHIBIT NO. 83, THIS DATE.)

8 ALJ WISSLER: If we could begin.
9 Today is July the 29th. This is the Issues
10 Conference in the matter of the application of
11 Crossroads ventures continued. I'd like to
Page 7

12 begin with the appearance of counsel, please.

13 MR. GERSTMAN: Marc Gerstman, Catskill
14 Preservation Coalition.

15 MR. RUZOW: Dan Ruzow and Teresa
16 Bakner for the Applicant.

17 MS. KREBS: Carol Krebs for Department
18 Staff.

19 ALJ WISSLER: It's my understanding we
20 will be continuing water supply, as well as
21 doing groundwater and surface water impacts
22 today and tomorrow.

23 Mr. Gerstman.

24 MR. GERSTMAN: Yes, your Honor. Just
25 a few housekeeping details. First, there
(WATER SUPPLY ISSUE)

1 was -- in connection with Exhibit 30, a letter ³³⁹³
2 had been an attachment to that exhibit and I
3 believe part of the letter had been cut off,
4 and I would like to provide additional copies
5 of that. This is part of Exhibit 30.

6 (Indicating)

7 We have marked exhibits, a couple of
8 things we owed you. Exhibit 78 is a letter
9 from Dr. Burger to Cheryl Roberts dated
10 July 21st, 2004. I think it puts to bed the
11 suggestion that the designation of the IBA, as
12 Ms. Bakner had suggested, was in any way
13 related in terms of the timing to this project
14 review. This is CPC 78.

15 CPC 79 is in anticipation of our site
16 visit on the Belleayre to Balsam Trail. We

17 vol. 14 (7-29-04crossroads)
18 have copies of a booklet entitled, "Empire
19 State Trails, Highlights of New York State,"
20 that describes the Big Indian wilderness Area
21 and describes it as being -- offering numerous
22 opportunities for solitude and remote and
23 rugged environment. As soon as I find the
24 copies I made, I'll be glad to provide them.

25 Exhibit 80 is the PowerPoint
 presentation of Dr. Andrew Michalski.
 (WATER SUPPLY ISSUE)

3394

1 Exhibit 80A is attachment 2 to
2 Dr. Michalski's PowerPoint. It's a
3 supplemental page just in case it's not
4 legible.

5 CPC 81 is the partial testimony of
6 Paul Rubin, essentially supplemental testimony
7 to what has already been submitted.

8 82 is Belleayre Resort Yield Test
9 well, well R1, prepared by Paul Rubin.

10 82A is also Belleayre Resort Yield
11 Test well R1; it's a blowup of part of 82.

12 CPC 83 is a report from USGS entitled,
13 "Hydrogeology of the Beaver Kill Basin in
14 Sullivan, Delaware and Ulster Counties,"
15 prepared by Richard Reynolds.

16 Judge, I'd like to introduce you this
17 morning to Dr. Andrew Michalski and Mr. Paul
18 Rubin. Dr. Michalski's curriculum vitae is
19 attached as Exhibit 4 to the CPC petition.
20 He's already submitted comments for the record
21 concerning the surface and groundwater impacts
22 which will result from the pumping of water

23 supply by Crossroads Ventures in this project.
24 what we have concluded is that the
25 methodologies and the conclusions drawn by
(WATER SUPPLY ISSUE)

3395

1 Crossroads do not provide sufficient
2 information that Crossroads Ventures can
3 withdraw the proposed volume of water from the
4 Rosenthal wells without having a significant
5 adverse impact on surface and groundwater
6 hydrology.

7 what your Honor will hear at the end
8 of August from our aquatic habitat experts is
9 that there will be significant impacts to the
10 aquatic habitat from the withdrawal of water
11 by the Crossroads projects.

12 Dr. Michalski, would you describe your
13 background to Judge Wissler, please.

14 DR. MICHALSKI: I'm a professional
15 hydrologist with 35 years of experience, of
16 which over 20 years is in the US, and I have a
17 Master's in Engineering Geology, Hydrogeology
18 and Ph.D. in Technical Sciences, both from
19 Poland -- Krakow, Poland.

20 In the US, I work for major -- I
21 have -- I had senior level positions with
22 several environmental firms. And for the last
23 nine years, I'm independent consultant.

24 I'm a Certified Groundwater
25 Professional, which is a national
(WATER SUPPLY ISSUE)

3396

1 certification. I have extensive experience in

Vol. 14 (7-29-04crossroads)
2 site characterization for siting purposes or
3 for contaminant investigation. My particular
4 expertise is in fractured bedrock
5 characterization and conceptual model of
6 groundwater bedrock.

7 I'm a recognized expert for Newark
8 Basin. I have -- I taught at Rutgers
9 University, on a part-time basis, Basic
10 Hydrogeology. I gave some advanced courses on
11 fractured bedrock, and I probably participated
12 in a thousand of different projects related to
13 site characterization and site remediation.

14 MR. GERSTMAN: Dr. Michalski, would
15 you tell Judge Wissler what documents you
16 reviewed in order to come to your conclusions
17 in this project.

18 DR. MICHALSKI: I reviewed major
19 portions of the entire application related to
20 groundwater, surface water issues and Draft
21 Environmental Impact Statement.

22 MR. GERSTMAN: I want to show you
23 Crossroads Exhibit 51A through D. Would you
24 take a look at those for a second, and let me
25 know if you have seen those before, whether
(WATER SUPPLY ISSUE)

1 you reviewed those documents.

3397

2 For the record, they are the
3 application for public water supply permits
4 dated May -- 51A is originally dated January
5 15th, 2002, revised May 2, 2004, for Big
6 Indian Plateau, along with the Conceptual
7 Design Report. And 51C and D are dated

8 December 2002, revised May 2004 for the
9 Wildacres Resort.

10 DR. MICHALSKI: Yes, I did review
11 them, and my comments I provide were based on
12 a version of my submission, because my
13 comments were prepared in March or April, but
14 my testimony today will cover the entire new
15 version.

16 MR. GERSTMAN: Could you summarize for
17 Judge Wissler the conclusions that you reached
18 concerning the work that was done by
19 Crossroads to support their water supply
20 permit and their evaluation of surface and
21 groundwater impacts.

22 DR. MICHALSKI: With your Honor's
23 permission, I suggest we go to PowerPoint --
24 because of my accent, it's probably better
25 that you can see what I say.

(WATER SUPPLY ISSUE)

1 These are major groundwater related ³³⁹⁸
2 comment on the DEIS. First is proposed
3 pumping rates from Rosenthal supply wells
4 currently at 149 g.p.m -- in the previous
5 version, it was 120 g.p.m -- cannot be
6 sustained in the long run. Long-term
7 stabilization of pumping groundwater levels is
8 not likely at such rates. By long-term, I
9 mean six months. I believe -- my evaluation
10 of data show that you can not get
11 stabilization of pumping groundwater levels at
12 such rate.

13 The next comment is the pumping from
14 Rosenthal wells would subtract the baseflow to
15 Birch Creek. Whatever you can would
16 ultimately be subtracted from Birch Creek at
17 dry season, which is my primary concern.
18 Likewise, the proposed use of the Fleischmanns
19 wells would reduce baseflow in Emory Brook.
20 So in my comment, it was evident that
21 groundwater pumped from the well ultimately
22 subtracted or comes from the brook.

23 Next one. Extensive lowering of
24 bedrock groundwater levels over a large
25 area -- I'm talking about miles -- will
(WATER SUPPLY ISSUE)

3399

1 adversely impact other groundwater users
2 within several miles' area.

3 Now, cumulative impacts and
4 interference from new large withdrawals at the
5 two proposed resorts, ski area, and other
6 developments needs to be considered, as they
7 all compete for a limited groundwater
8 resource.

9 So this is my point, is Applicant did
10 not consider cumulative impact or interference
11 of pumping at the two proposed centers, which
12 are a couple of miles away, and also
13 withdrawals at ski resort and ski area and
14 Pine Hill area. Because all of them compete
15 for limited groundwater resources.

16 The major comment is additional
17 hydrogeologic information and data are
18 necessary for the entire area. I mean between

19 Pine -- Indian Point and Fleischmanns -- in
20 order to adequately assess impacts on
21 groundwater resources and develop reliable
22 monitoring of groundwater quality changes.
23 And one of the impacts on water quality
24 changes which was not addressed includes
25 potential for saline water, for salt water
(WATER SUPPLY ISSUE)

□

1 upward movement because of the pumping. So 3400
2 this is my major comment.

3 with your Honor's permission, I would
4 start with hydrogeology background, go through
5 pumping and so on. So that's the question.
6 The first issue is how do we envision bedrock
7 hydrogeology? How does it work? What is the
8 hydrogeologic framework of groundwater flow in
9 bedrock? So several concepts will be
10 reviewed.

11 In the DEIS, bedrock is implicitly
12 treated as a single aquifer unit without any
13 distinct features. If any features are
14 discussed, they're discussed verbal. They're
15 not tied to any site-specific wells,
16 information, just very generic talk. Only old
17 county water supply reports are mentioned,
18 which is for Ulster County and for Delaware
19 County. No reference to recent US
20 hydrogeologic studies in the Catskills are
21 made. No illustrations of site-specific
22 hydrogeology by means of maps or sections I
23 provided -- which your Honor will see later on

24 Vol. 14 (7-29-04crossroads)
what I mean by sections.

25 Now, Reynolds, which is a prepared
(WATER SUPPLY ISSUE)

1 report which was submitted by counsel.

3401

2 MR. GERSTMAN: CPC Exhibit 83.

3 DR. MICHALSKI: Exhibit 83. And in --
4 he gave his conceptualization, a portrayal of
5 the Catskill Formation in the area directly
6 south of the project area, which is Beaver
7 Creek area, in that area. So he
8 conceptualization -- his conceptualization of
9 bedrock includes a series of stacked aquifers
10 separated by confining units.

11 We can go to next slides. We will
12 come back later.

13 This slide shows conceptualization of
14 groundwater flow and its relation to stream in
15 this area. So we have topography typical of a
16 valley area. Bedrock is -- consists of shale
17 and sandstone which are shown to be
18 horizontal. The arrows show direction of
19 groundwater flow in the bedrock. So the
20 thinner layer indicated the contact between the
21 those thinner layers, which are marked like
22 shale, indicates the major flow zones in his
23 portrayal.

24 So we don't have one aquifer but a
25 series of stacked aquifer which are
(WATER SUPPLY ISSUE)

1 semi-confined. The groundwater can, with some
2 difficulty, cross from one layer to another,
3 but it would prefer to go horizontally to

3402

4 follow this confining unit. As this section
5 shows, formation of spring, higher elevation
6 spring which are, in fact, a contact spring
7 that intersects. They show situations where
8 groundwater -- the aquifer, you need, as I
9 call it, this intersect with topography,
10 therefore water just issues in the form of
11 spring, and they're shown like little wiggly
12 lines. So they contribute to surface flow.

13 Stream is at the bottom. This
14 conception shows also overburden which is just
15 a stippled area. In that part of the world,
16 overburden is quite extensive. It is measured
17 in hundreds of feet sometimes.

18 In our situation, Pine Creek and
19 Emory, overburden is very thin. It consists
20 only -- like a Pine Hill water supply area,
21 thickness of overburden is 40 feet, and Emory
22 Brook area, 20 feet.

23 In addition, this overburden consists
24 of till material, so have relatively low
25 permeability. So it doesn't have a good
(WATER SUPPLY ISSUE)

1 water-bearing transmissive capacity. Such a ³⁴⁰³
2 capacity can be found in Esopus Creek and
3 other creeks which have a better, more
4 developed valley.

5 This conceptualization is correct,
6 except that you probably would need to
7 subtract some of the overburden which is
8 missing actually at Beaver Creek area.

9 ALJ WISSLER: Doctor, let me ask you
10 this: Are you saying that this stacked
11 aquifer condition exists in Birch Creek and
12 Lost Clove and the areas around?

13 DR. MICHALSKI: Yes, your Honor, and I
14 will show evidence for that. The only purpose
15 for this slide is to let you know that it is
16 not one aquifer but a series of stacked
17 aquifers. And it is controlled by
18 stratigraphy, by different strata. And you
19 can have springs at high elevation and all
20 this system, in a typical valley setting,
21 tends to flow towards the valley feeding the
22 stream. It's a time when there's no recharge,
23 no rainfall over a period of time, groundwater
24 is the only contributor to flow in the stream,
25 which is called a baseflow, low-flow
(WATER SUPPLY ISSUE)

1 situation. I would go -- maybe go back for a ³⁴⁰⁴
2 moment to the main slide.

3 I'm going to now discuss Heisig. He
4 conducted extensive study in the Bataviakill
5 Valley which is north of this site -- Ulster,
6 Greene County, somewhere. What he found is
7 that -- his major conclusion is that there's a
8 preferential flow along few low-angle bedding
9 fractures that act as major water-bearing
10 units.

11 what he actually says is that the flow
12 is not in the entire thickness of sandstone.
13 It is not. It is concentrated to sit on
14 bedding planes which are more transmissive.

15 So instead of flowing the water through the
16 entire section -- bedding planes access
17 preferential, tabular aquifer, thin,
18 preferential flow -- collecting flows from
19 adjacent aquifer because the system is leaky.
20 So this is his finding.

21 Bedrock has very little storage. It
22 has transmissive capacity. It can act as a
23 pipeline, but there's very little water in it,
24 in bedrock, because even sandstone in Catskill
25 Formation, primary porosity is just sealed by
(WATER SUPPLY ISSUE)

1 various geologic processes. It doesn't count ³⁴⁰⁵
2 much.

3 So the only flow is through fracture.
4 As you can observe this, you can see the
5 fracture. The effect of these bedding planes
6 can be seen at high elevation during
7 wintertime when you see icicles probably
8 forming, and quite often you can see those
9 icicles. They signal water coming out from
10 the seepage zone from the formation. Whenever
11 you see this starting, this is water-bearing.
12 I remember driving in the Catskills in the
13 wintertime.

14 Another conclusion is that pumping --
15 bedrock has little storage. Because it has
16 little storage, pumping effect extend a mile
17 up and down the valley. This is his
18 statement.

19 Another important point is that there

20 would be short-circuiting of groundwater along
21 open holes -- I shouldn't say holes, I mean
22 open well bores -- is important element of
23 this. Because you have -- normally your well
24 consists of steel casing near the top just to
25 case over some overburden. Sometimes it's
(WATER SUPPLY ISSUE)

3406

1 only -- like in the case of Fleischmanns
2 well -- it's only like 10, 20 feet or so or
3 less, and everything else is just an open well
4 bore which can be 400, 600 feet long.

5 Because of this design, various
6 aquifer units are intercepted by this, and
7 each unit may have a different water level
8 potential, therefore you have a cross flow,
9 water flowing up and down in the hole.

10 Every borehole creates a disturbance
11 in the system. It's like a wound in the
12 system, and he stated this. It -- cross flow
13 provide also information about the system, but
14 they need to be considered. So it's not only
15 that pumping well which is important, it is
16 important if you have any well which crosses
17 the system because it also affect the
18 groundwater flow in the system, even if it is
19 not pumped.

20 Now, another point, his point is
21 over-pumping can induce upwelling of saline
22 water. And it happens. In Batavia Creek
23 Valley, at least he mentions three wells which
24 produce saline water. Salinity is close to
25 seawater because it's down there, and this

□

1 saline water constitutes the lower boundary of ³⁴⁰⁷
2 the aquifer. And it's normally -- thicknesses
3 of aquifer he estimated in bedrock, he
4 estimated to be 200, 300 feet.

5 MR. GERSTMAN: Dr. Michalski, the
6 Heisig report --

7 DR. MICHALSKI: Yes, this is Heisig
8 report. Because it didn't show up -- I tried
9 to scan it, it didn't show up well -- I
10 included this abstract of Heisig's report in
11 Exhibit 80A which contains certain supplements
12 of stuff. So you can -- just browse through
13 it and see it.

14 MR. GERSTMAN: I didn't mean to take
15 you away from your prior conceptualization,
16 your last point.

17 DR. MICHALSKI: Knowing what we know
18 about real bedrock south and north of the
19 site, what are the indications at the site
20 that actually -- that the Heisig concept
21 apply? And I will go through some of them.

22 These are records for Pine Hill --
23 drilling records for Pine Hill well #1.
24 Water-bearing fracture at R2. They all show
25 that the entire flow comes from one or two
(WATER SUPPLY ISSUE)

□

1 distinct zones or distinct fracture. Response ³⁴⁰⁸
2 of Residential well 4 to pumping, cascading of
3 water which is noted in two occasions.
4 They're all evidence of how actually the

5 vol. 14 (7-29-04crossroads)
bedrock works. There's a multi-unit, leaky
6 aquifer system which measure flow.

7 So we can go maybe to the -- just for
8 illustration -- for drilling records for Pine
9 Hill well #1, because we will just have a look
10 at the bedrock from driller's perspective.
11 Because this is not very good -- I mean
12 scanning -- I refer you to Exhibit 80A on
13 page S-2. And S-3, we have the same, much
14 more readable.

15 So what we have is Titan Drilling
16 Corporation. On the left side, we have just
17 description, depth and description of strata
18 drilled by driller. As you note, at 87 feet,
19 between 87 and 150, he began to get into
20 sandstone, from shale to sandstone. And he
21 found water, the first indication of water.

22 On the right column of the driller
23 observation, he described what he did. So
24 first he installed surface pipes. On the
25 first day, he drilled to 59 feet and installed
(WATER SUPPLY ISSUE)

□ casing, sealed pipe and grouted it. So he 3409
2 installed the casing.

3 The following day, on September 26th,
4 '01, he grouted it, finished grouted. Then
5 the next day, he went to -- and started
6 drilling. And started drilling and found
7 water -- it says, "Yield at 99 feet,
8 20 gallons a minute," and I note that somebody
9 else wanted to overwrite it with 11, but it's
10 original 20 g.p.m. And he drilled -- on that

11 day, he went to 250 feet, and then he checked
12 the hole and checked yield again, and all he
13 got was 25 g.p.m., 25 gallons a minute. So he
14 got increases. If he went 100 feet, 150 feet
15 deeper, his yield increase only by five
16 gallons a minute, so not much.

17 ALJ WISSLER: Would you interpret that
18 entry for 9/29. What does that mean? It
19 says, "Blew hole, static level, 9.5" --

20 DR. MICHALSKI: The driller used air
21 to carry cuttings from the water. So at the
22 end of the drilling, he uses air to blow water
23 out of the hole, to create like a pop soda
24 effect, and then he determines a yield. But
25 before he did this, he measured water level in
(WATER SUPPLY ISSUE)

3410

1 the well, and water was 9 feet below his
2 reference, like ground surface on top of
3 casing. So 9 feet from ground surface.

4 So the next day, he continued drilling
5 to get to 399 feet, 400 feet. And blew the
6 hole again. But before blowing the hole, he
7 measured static water probably at 13 feet, and
8 yield was only 30 gallons a minute. So this
9 well produced, according to this, 30 gallons a
10 minute from 400 feet for the entire open
11 section. Why at 99 feet, this one fracture
12 produced 20 gallons a minute, two-thirds of
13 water?

14 So I'm giving it as an illustration of
15 very discrete nature of occurrence of this

16 vol. 14 (7-29-04crossroads)
17 water-bearing zone. It's not the entire
18 400 feet that counts. What counts is the
19 position of those transmissive fracture which
20 presumably are bedding fracture, we didn't
21 see, but you can see it by looking down into
the hole.

22 Another point I want to make is that
23 the static level dropped. When you go deeper,
24 the water level dropped, which is
25 inconsistent. If in a valley setting, if you
(WATER SUPPLY ISSUE)

1 use bedrock as a system, water should go into ³⁴¹¹
2 the stream. But in this case it went down.

3 what it means, it means that the
4 fracture, bedding which are near the bottom,
5 has connection to stream or another area at
6 the lower elevation, and it steals the water.
7 So in this case, because it's a mountain area,
8 it's a topographic effect. So in this case it
9 can represent the movement of water to
10 Fleischmanns area because of dip, of such a
11 graphic dip of bedding to the west.

12 MR. GERSTMAN: Dr. Michalski,
13 following up on the issue of what would you
14 expect to happen in a homogeneous aquifer?
15 You started to touch on that.

16 DR. MICHALSKI: It is not what you
17 would expect -- homogeneous aquifer. Not
18 homogeneous. One aquifer system, it's
19 difficult to have this kind of situation.

20 Coming back to well -- Pine Hill well
21 #1, to the drilling records, actually I found

22 the record of pumping test, short-term pumping
23 test performed by Alpha Science, subsequent to
24 completion of this well, and Alpha performs
25 step drawdown test, which involve pumping,
(WATER SUPPLY ISSUE)

3412

1 step pumping of the well -- a different
2 drawdown, a different pumping rate.

3 So they first start to get certain low
4 pumping rate. Pump it for an hour or so until
5 drawdown stabilize, then they increase the
6 pumping rate to higher, kept it constant for
7 another hour or so, and they went until the
8 drawdown actually went haywire. It didn't
9 stabilize. It is a standard procedure of
10 testing.

11 ALJ WISSLER: So the drawdown went
12 what?

13 DR. MICHALSKI: Went down at a very
14 fast rate, could not be stabilized. This is a
15 pretty standard procedure to evaluate the
16 performance of the well itself. It doesn't
17 tell you much about aquifers; it's more about
18 the well.

19 So the page, which is at page 4 on
20 Exhibit 88, which is a supplemental, just -- I
21 indicated -- so on the left side, left column,
22 say, "Time and drawdown and depth to water."
23 Depth to water -- drawdown is the difference
24 between original depth to water and pumping
25 level, how much water level was depressed. So
(WATER SUPPLY ISSUE)

3413

1 the column says, "depth to water," the third
2 column, time and depth to water. And on the
3 right side, we have pumping rates. So if the
4 well was pumped at 38 gallons a minute
5 approximately, it was the third step. It was
6 one of the last steps.

7 As you can see, on -- let's look at
8 the column, fourth column, depth to water.
9 what is the depth? 89.225. We know that
10 fracture was at 99. So I just indicated -- my
11 handwriting in green. I said "fracture." And
12 what I did, I compared drawdown, how fast
13 drawdown above the fracture and below. So
14 above the fracture, water level dropped
15 15 feet in 40 minutes. So during 40 minutes
16 of pumping, drawdown went down by 15 feet at
17 this pumping rate.

18 Now, when drawdown, water level
19 dropped below this fracture, drawdown is the
20 same. In another 40 minutes, drawdown
21 increase by 56 feet, nearly three times or
22 four times as much.

23 So simply it tells you that this
24 fracture produce most of the water. If you go
25 down below this fracture, you are not gaining
(WATER SUPPLY ISSUE)

□

3414

1 much at all.

2 I'm saying that because there's some
3 argument about location position of the pump.
4 We have a lot of available drawdown below a
5 fracture. Because of a pump, our hole is
6 deeper, it pumps at the lower elevation. It

7 doesn't work this way. This is a clear
8 indication. When you go below the very
9 transmissive structure for hydrology reason,
10 you get a very lousy hydraulic performance.
11 So we can only count from inflow from the
12 transmissive fracture.

13 Another point I want to make is the
14 recovery phase. When they finished this
15 pumping, they stopped pumping as they let
16 water level to bounce back or recover. In the
17 right column, it's a very -- when you have
18 depth to water, 89, because they measure water
19 level when it recovers. So against 89.27, it
20 says, "And cascading." So they apparently,
21 during the pumping recovery when the pump was
22 off, they hear water just rushing in the hole
23 and it rush, rush, and it suddenly became
24 quiet and stop at 90 feet. This is 99 feet
25 when this transmissive fracture again became
(WATER SUPPLY ISSUE)

3415

1 saturated.

2 So all in all, if you look at the
3 simple records, it tells you that this aquifer
4 is not -- you cannot consider it as a one
5 aquifer system, but to have a very distinct
6 fracture here at Pine Hill, 99 feet, and then
7 as a fracture, if present, are not very
8 transmissive.

9 And you could do it by certain tests.
10 You could just -- I define hydrogeology --
11 hydrology of this well. It was not done.

12 Vol. 14 (7-29-04crossroads)
13 Temperature conductivity would simply reveal
14 all the location of those fractures, and it is
15 a standard approach of this bedrock hydrology.

16 MR. GERSTMAN: So the characterization
17 of the bedrock hydrology is possible using the
18 existing data from these pump tests?

19 DR. MICHALSKI: Yes, but you should go
20 one step further. I'm not trying to blame
21 them for not doing this because they probably
22 were -- it's not proper use for them, but it
23 was not done.

24 So in this supplemental page, next
25 page in Exhibit 80 included 80A. Page S-5 has
a record for Rosenthal -- one page from record
(WATER SUPPLY ISSUE)

1 drilling logs from Rosenthal well R2. And it³⁴¹⁶
2 is not the driller's original records, which I
3 would prefer. It's a sanitized version or a
4 computerized version of it.

5 what it says in the right-hand column,
6 says 182 fracture. Then it says 186 fracture
7 with substantial water production. So in this
8 adapted to water, it should say substantial
9 water production. So it's a very transmissive
10 fracture.

11 There was no indication in the records
12 about any significant water. And then what it
13 says below it, 190 sulfur, other. So it means
14 that you don't have fresh water. You are in a
15 different aquifer zone, you didn't have fresh
16 water. After blow test at 199 yields
17 68 gallons per minute. So most of this

18 apparently came from this fracture. Of course
19 this hole was completed to a deeper depth,
20 from what I remember, 250, 270.

21 MR. GERSTMAN: Dr. Michalski, you said
22 the blow test at 199 yielded 68, 66 gallons
23 per minute?

24 DR. MICHALSKI: Yes, just what the
25 record says. But I'm using this as an
(WATER SUPPLY ISSUE)

3417

1 illustration. Really, if you look at the
2 existing data, the aquifer performance --
3 bedrock aquifer performance is consistent with
4 Heisig data of multi-units, multi-stack
5 aquifer with bedding fracture, certain bedding
6 fracture controlling the flow. So that would
7 be my introduction to hydrogeology of the
8 area.

9 If your Honor has the patience, I can
10 continue with pumping tests.

11 ALJ WISSLER: I got lots of patience.

12 DR. MICHALSKI: So this is -- I have
13 to use some theoretical backup for pumping
14 tests. This is generic graph. It does not
15 relate to our situation in any way; it is a
16 generic. These are prototype plots of semilog
17 time versus drawdown.

18 Standard way of performing pumping
19 tests -- and I'm not talking about step
20 drawdown tests, but real pumping tests,
21 long-term pumping tests -- is to present your
22 data for each well, pumping in this fashion.

Vol. 14 (7-29-04crossroads)

23 So you have on the vertical axis, you
24 show drawdown. There's a difference between
25 original static well level and pumping level.
(WATER SUPPLY ISSUE)

3418

1 And on a horizontal scale, you have time in
2 logarithmic scale -- 1, 10, 100, 1,000 minute.
3 Then 10,000 minutes, and so on. This is --
4 I'm not going to go -- this is theoretical.
5 This is -- because of certain theoretical
6 model for which this situation is valid.

7 It is called Jacob, Cooper-Jacob,
8 aquifer test analysis. And it assumes -- the
9 assumption behind it is that the aquifer is
10 like a slab, a constant thickness and very
11 uniform, uniform aquifer of constant
12 thickness.

13 ALJ WISSLER: Not stacked?

14 DR. MICHALSKI: Not stacked, slab.
15 Single one. This is a porous media situation.
16 It has nothing to do with bedrock. This is
17 just for sand. But the aquifer is confined
18 under the assumption. It means its water
19 level is above the top of the slab. This is
20 no dewatering during this situation. So this
21 is how we have uniform aquifer, infinite
22 constant thickness, and confined.

23 Now, the well fully penetrates this
24 aquifer, and it is pumped at a constant rate
25 all the time. When you start pumping, say
(WATER SUPPLY ISSUE)

3419

1 50 gallons a minute, you continue 50 gallons a
2 minute over time.

3 Another very important assumption is
4 here, is that the only source of water you
5 pump from well comes from aquifer storage,
6 comes from aquifer. There's no recharge.
7 There's no recharge.

8 So under this condition, you would
9 have this straight-line plot which has a
10 theoretical drawdown curve, which is derived
11 from a situation. When you do a pumping test
12 and present your data in a drawdown time
13 manner, using semi-log scale for time, your
14 theoretical data should be a straight line
15 going down, down, down. It will never end.
16 Because, you know, the cone of depression
17 would grow and grow and grow because of this
18 assumption.

19 Reality is different. What we do
20 here, we just plot the data and compare our
21 response, our real pumping data with this
22 theoretical curve. And if we see, for example
23 here, upper drawdown -- with passage of time,
24 drawdown tends to stabilize, goes up, like
25 this upper curve on the drawing. We say some
(WATER SUPPLY ISSUE)

□

3420

1 recharge. We call it positive aquifer
2 boundary; like recharge from a stream, from
3 whatever. But there is some recharge, which
4 causes our curve, our drawdown to be smaller,
5 lower than predicted -- predicted
6 theoretically for the case when storage is --
7 when aquifer storage was the only source of

8 water pumped from the wells, there was no
9 recharge. Straight line. No recharge.

10 Now, if we have a situation that our
11 cone of depression -- our data drawdown goes
12 faster with time than theoretical straight
13 line takes, we say that there's some negative
14 boundary, that's there's a limit of aquifer,
15 physical limit.

16 In most cases -- because in most
17 cases, we cannot tie it to particular
18 situation without more thorough investigation.
19 We can say that if you have situation that the
20 drawdown curve with some recharge -- it's a
21 net recharge, because you may have some
22 boundaries, but there's a net positive
23 recharge. If your ponds, it goes down -- you
24 can have -- if any of you may have some
25 recharge, the effect of boundary, negative
(WATER SUPPLY ISSUE)

□

1 boundary, physical boundary is overpowered. 3421

2 So this is all in aquifer, the basis
3 for aquifer analysis. But there is countless
4 possibilities which can explain different
5 responses different than straight line. You
6 have to investigate it on a site-specific
7 basis, what can cause this.

8 This is only just purely from
9 response -- positive, some recharge, negative
10 boundary. That's all we can say. You have to
11 do some more soil evaluation of your data to
12 know the real reason.

13 ALJ WISSLER: The reason for recharge?
Page 31

14 DR. MICHALSKI: For the observed
15 ponds. So this is the theoretical stuff only.

16 Now, example, let's go to real data.
17 This is for Rosenthal well R1. It is a
18 pumping test when only this well was pumped.
19 It is important because there was no
20 interference from two wells. Let's look at
21 the response.

22 Okay, so initially, it was a straight
23 line for about -- let's look at the time
24 scale -- about I would say 200 minutes because
25 it is 200 minutes of the first three hours,
(WATER SUPPLY ISSUE)

1 then it went down. So you have like a bend ³⁴²²
2 here.

3 So first I would say it is indication
4 of negative aquifer boundary, whatever it
5 means, because without saying -- what Alpha
6 did -- we don't know what would happen if you
7 continue pumping for six months because it's
8 likely, and I will tell you later on, that
9 there are physical boundaries in this case,
10 very strong one in this valley setting. So
11 Alpha projects this straight line over 180-day
12 period, which is on the next slide.
13 (Indicating)

14 This is based on the response of the
15 pumping well. They project what will happen
16 to 180 feet. Of course they say that it is
17 based on assumption, that there's no positive
18 or negative boundaries -- which is highly

19 Vol. 14 (7-29-04crossroads)
questionable as you can see. (Indicating)

20 So this is those -- those wiggles
21 indicates period of observation and this is
22 extension. This is case -- not for the case I
23 showed before, but this was a case of
24 simultaneous testing of two wells, R1 and R2.

25 In the previous version, 122 combined
(WATER SUPPLY ISSUE)

1 gallons of a minute; one was pumped at 57, the ³⁴²³
2 other at 71. So it was an older -- not the
3 most recent -- pumping test.

4 What it says, it's a drawdown in the
5 pumping well, would be how much projected
6 drawdown at this pumping rate -- would be 165
7 feet, according to this projection, which is,
8 if the water level in this well, if water
9 level in this well was 25 minutes below the
10 ground surface, which probably I'm correct,
11 which means that the pumping level using this
12 projection would be below that fractured 186,
13 or pretty close to it.

14 MR. GERSTMAN: Could you explain that,
15 Dr. Michalski.

16 DR. MICHALSKI: On this graph was a
17 simultaneous testing results at the lower
18 rate. The drawdown, projected drawdown after
19 six months of pumping 180 days, would be 165.
20 Even the fact that this is drawdown, and
21 drawdown is the difference from pre-pumping
22 water level and pumping level, and the initial
23 water level was 25 feet below ground surface.
24 That means that the pumping level at the time

25 would be like 185. So it would be already at
(WATER SUPPLY ISSUE)

3424

1 this fracture.

2 The driller counts depth from the
3 top -- from the well top, from the well head,
4 while drawdown is the difference only between
5 original level.

6 So, as I mentioned before, you can not
7 claim now that you have 80 feet of available
8 drawdown, because once you go deeper, you just
9 dewater this fracture, you introduce air into
10 this fracture, and the whole hydraulics would
11 collapse.

12 Furthermore, note, during the recent
13 April 2004 simultaneous pumping tests,
14 drawdown in R2 after 1,000 minutes already
15 reached 122 feet. So it was much higher.
16 Because this situation, this projection is
17 based on the previous test, and more recently
18 drawdown stabilization tests in April, they
19 got a much higher drawdown because it was
20 already 122. Here, if you look after 1,000
21 minutes, on the left, drawdown of the pumping
22 wells was less than 100, on the left scale.

23 In the next pumping tests, for which
24 projection was provided, drawdown was already
25 122 feet. All it means is this fracture will
(WATER SUPPLY ISSUE)

3425

1 surely be dewatered.

2 MR. GERSTMAN: Can you repeat that,
3 Dr. Michalski?

4 DR. MICHALSKI: That this primary
5 fracture, water-bearing fracture, 186, would
6 surely be dewatered within a couple of months,
7 like two months.

8 What this is -- this projection is
9 simple. I'm looking at the pumping well and
10 I'm saying: what will happen to this well
11 after six months of pumping. It's just
12 prediction of drawdown for the pumping well
13 itself. It's not prediction of what will
14 happen outside some distance away. But if you
15 say, A, on the flip side, you can create
16 another type of drawdown, drawdown versus
17 distance, which will utilize data from
18 observation well, and I did this kind of
19 drawing graph. (Indicating)

20 Can I have the next slide.

21 This is a distance drawdown analysis
22 of data from two pumping tests conducted by
23 us, and those results are two upper curves, or
24 straight lines -- but in logarithmic scales
25 they should be called curves. The bottom line
(WATER SUPPLY ISSUE)

□

1 is a projection.

3426

2 Now, you may see that at the uppermost
3 curve or straight line, you have three points.
4 This curve is based on three points. And they
5 represent drawdown in Observation well R1, R2
6 and Residential well R4, which was located
7 1500 feet away from the pumping -- from the
8 pumping. That was the only significant
9 bedrock residential level that was observed.

10 (Indicating)

11 You can see that I can plot a line,
12 best approximation. What does the line
13 represent? It represents a position of the
14 cone of depression in bedrock at the end of
15 three-day pumping in well R1 only when this
16 well was pumped at 77 feet. As you can see,
17 the cone of depression then would extend to
18 what distance -- 1,000, the next vertical
19 would be 2,000, the next 3,000. I'm looking
20 at the intersection of the cone of depression
21 with horizontal line of zero drawdown. When
22 you have zero drawdown, there's no effect of
23 pumping fast. (Indicating)

24 Now, based on this information, I
25 calculated so-called hydraulic parameters of
(WATER SUPPLY ISSUE)

3427

1 this aquifer.

2 MR. GERSTMAN: Dr. Michalski, before
3 you proceed, maybe go over each of the lines
4 that you plotted on the graph.

5 DR. MICHALSKI: I'm still at the top
6 ones, where I have three points and I
7 explained they represent observation well,
8 wells which were not pumped while R1 was
9 pumped; and these observation wells included
10 R2, R3, which is the new closest point, and
11 Residential Observation well R4 which was
12 located at a distance of approximately
13 1500 feet from the pumping well.

14 Based on this drawdown distance graph,

15 I could calculate aquifer parameters. So
16 transmissivity of bulk, transmissivity was
17 like 1,360 feet, which is good but not the
18 greatest one, and storage coefficient, the
19 storage was .0001. So it was a very low
20 storage. Because storage is so low, cone of
21 depression propagates over long distances.

22 So this is the whole reason for this.
23 And this estimate of storage is probably
24 optimistic. There was some recharge occurring
25 into cone of depression at the time, and my
(WATER SUPPLY ISSUE)

□

1 calculation does not account for that. 3428

2 ALJ WISSLER: What are the units that
3 storage is expressed in?

4 DR. MICHALSKI: It's dimensionalized.
5 It has no dimension.

6 MR. GERSTMAN: The .0001, what's the
7 unit?

8 DR. MICHALSKI: It's just a measure,
9 it's just storage.

10 ALJ WISSLER: So it's a coefficient of
11 storage?

12 DR. MICHALSKI: Yes, coefficient of
13 storage. Coefficient of storage you can say
14 for the entire thickness of the aquifer, which
15 is not determined. So there's storage.

16 Now, the second -- they also perform a
17 simultaneous pumping test when R1 and R2 are
18 pumped, which left only two observation wells,
19 R3 and the residential well. And the second
20 intermediate line on the graph represents this

21 test. You have only two points, because two
22 wells were pumped, and the pumping is at zero.

23 As you can see, the drawdown when you
24 pump two wells is steeper at the end of
25 three-day pump. It's normal because you have
(WATER SUPPLY ISSUE)

3429

1 two wells, you have drawdown interference,
2 more water, so it's steeper. If you extend it
3 to zero drawdown line, it would go for what
4 distance -- like 10 -- 2, 3 -- 4,000 feet at
5 the end of three-day time. While the distance
6 to Pine Hill wells was how much? was like 7
7 or 5,000 feet. So you could not fill -- the
8 Pine Hill well could not feel the effect of
9 pumping because it was some distance away, but
10 if you pumped for longer distance, it would
11 surely feel the effect. (Indicating)

12 The longest line represents my
13 projection of drawdown or cone of depression
14 after six months of pumping. Using the same
15 assumptions they did, because they did it for
16 one well for a pumping well. What I'm doing
17 is for the drawdown. Same assumption, no
18 positive, no negative boundaries.

19 So as you can see, the drawdown would
20 extend for what distance, 10,000 feet, 20,000,
21 30,000 feet at this storage coefficient. So
22 you get an astronomical number for that. So
23 it would extend for many, many miles. It can
24 not happen, it can not happen because aquifer
25 will have boundaries, and I will discuss it in
(WATER SUPPLY ISSUE)

1 a moment. So therefore, you can expect
2 negative response, some negative boundaries.
3 The drawdown will be greater than predicted by
4 this.

5 MR. GERSTMAN: Let me understand the
6 projection that you made; is it theoretical
7 cone of depression without the expression of
8 any negative boundaries?

9 DR. MICHALSKI: This is theoretical
10 based -- I'm using the same approach Alpha
11 did. Alpha said: Okay, I have a drawdown in
12 my pumping well, simultaneous drawdown of my
13 pumping well. I will project what will be the
14 drawdown after six months of pumping --
15 assuming that there's no positive and negative
16 boundaries.

17 So assuming this theoretical
18 relationship holds. I'm doing the same
19 assumption, exactly, to come to this
20 conclusion. You will get cone of depression
21 extending in bedrock, which is no recharge,
22 for astronomical distances, towards Kingston
23 or whatever -- which obviously cannot happen
24 because aquifer has boundaries, and I show the
25 cross sections. (Indicating)
(WATER SUPPLY ISSUE)

1 what it means is that this assumption
2 is not valid. So you have to perform really
3 long-term pumping to test the reality, because
4 the reality is unique. There's no other
5 situation like that. The only way of finding

6 it is just by actual testing.

7 Another point. There's a claim that
8 pumping at Rosenthal wells have no impact on
9 Pine Hill -- is not justified because the
10 pumping did not last long enough and this
11 graph showed it.

12 By the way, at the end --
13 (Indicating)

14 ALJ WISSLER: Doctor, let me ask you
15 this: when you say long-term pumping tests
16 should be done, what does that mean?

17 DR. MICHALSKI: That means you need to
18 pump for much longer than three days. You
19 have to pump for at least a month or so to
20 have an idea how things would develop.

21 ALJ WISSLER: Constantly?

22 DR. MICHALSKI: Constantly pumping,
23 absolutely. Because if you don't keep
24 constant rate, you are lost. You don't have
25 theoretical guidance with -- you can do a lot
(WATER SUPPLY ISSUE)

□

1 of claims -- which don't have basis.

3432

2 ALJ WISSLER: was that kind of pumping
3 to your knowledge done by Pine Hill water
4 Company or anybody else? Has it ever been
5 historically done, the kind of long-term
6 pumping that you're talking about right now?

7 DR. MICHALSKI: There's a difference
8 between pumping requirements for domestic
9 well, well for a small hotel or whatever, and
10 for two results which would pump significant,

11 large quantities of water, and they're only a
12 couple of miles away.

13 ALJ WISSLER: You're saying, in answer
14 to my question, that even if it was done in
15 Pine Hill, it wouldn't be relevant to this
16 project?

17 DR. MICHALSKI: Yes, because you need
18 to do it -- my evaluation shows that you can
19 not get it, this quantity of water, and it
20 would be like -- because groundwater resources
21 are insufficient.

22 If you have -- like this firehouse, if
23 you have a fire pond available -- and you can
24 demonstrate, and this fire pond has certain
25 storage limits, you can pump like
(WATER SUPPLY ISSUE)

3433

1 2,000 gallons a minute from this pond, but
2 only for a short period of time to satisfy
3 your needs. But if you do continual pumping,
4 you would dry out the pump. There's some
5 analog to this situation. (Indicating)

6 It's a fact that you can get water
7 from -- that you can get this pumping rate for
8 some period of time doesn't mean that you can
9 extend it, particularize it. Geology is not
10 in your favor. Maybe later on, there will be
11 more evidence, I will present the cross
12 sections which show that. (Indicating)

13 Another point of this drawdown
14 distance is that if pumping effect extends for
15 a mile, miles, drawdown effect, and you have
16 more than one pumping center in the

17 in-between, that drawdown cone of depression
18 would coalesce where you have interference of
19 drawdown. The actual drawdown will be larger
20 than expected; so then calculated for
21 individual wells. (Indicating)

22 And this is the next slide which tells
23 the story -- but the basis for this statement
24 is my previous slide and statement by Heisig,
25 who actually says that pumping effects are
(WATER SUPPLY ISSUE)

1 felt for mile up and down the valley over 3434
2 there. So it's not only based on
3 extrapolation, there's physical evidence of
4 that from the area. (Indicating)

5 The proposed pumping at Rosenthal
6 wells would cause an extensive lowering of
7 bedrock groundwater levels for miles. And the
8 graph -- based on my graph, it says: "with
9 50 feet of drawdown within a half mile
10 radius." So the water level -- actually the
11 upper bedrock would be dewatered. It would no
12 longer be confined. So any residential well
13 in this region will be impacted.

14 Now, coalescing cones of depression --
15 coalescing means interference -- interfering
16 cone of depression from the new pumping
17 centers at Rosenthal wells, is 150 g.p.m.
18 proposed, and Fleischmanns wells -- I notice
19 this later -- is 250 g.p.m. So these are
20 large numbers.

21 Together with existing centers, 40

Vol. 14 (7-29-04crossroads)
22 g.p.m. at the ski area -- and the ski area
23 pumping would be concentrated in between
24 Fleischmanns because it's a lower part of the
25 resort between Pine Hill and Fleischmanns --
(WATER SUPPLY ISSUE)

1 would result in extensive regional lowering of ³⁴³⁵
2 groundwater levels from Big Indian to
3 Fleischmanns and beyond.

4 So there's no doubt about it. You
5 would have a very extensive regional impact.
6 Because the impact is regional, you have to
7 use regional approach to analyze the
8 hydrogeologic tests. You have to consider the
9 entire area which will be potential impact.
10 (Indicating)

11 Other groundwater users would be
12 adversely impacted by resulting yield
13 reduction. Even if your water level drops,
14 you have a yield reduction. The same springs
15 can be impacted because it's a leaky system.
16 Higher pumping costs because you have lower
17 water level, upwelling of saline water. If
18 you pump, if you create drawdown, salt water
19 creeps from that below, as my last slide
20 showed, one of the last. And surface water
21 would also be impacted.

22 And my next series of comments
23 concentrate on surface water, impact to Birch
24 Creek, how Birch Creek would be impacted by
25 pumping.
(WATER SUPPLY ISSUE)

1 ALJ WISSLER: Go back to the other ³⁴³⁶
Page 43

2 slide. This, again, all assumes that all of
3 these, Fleischmanns, Ski Center, so on,
4 they're all pulling from the same aquifer?

5 DR. MICHALSKI: From bedrock.
6 They're pulling from bedrock, from different
7 zones, and I will tell you -- initially, and I
8 will give you example.

9 ALJ WISSLER: But all those zones are
10 hydraulically connected?

11 DR. MICHALSKI: Connected because of
12 leaking. So initially when you pump, only
13 certain zone is pumped. But if you pump for
14 long period of time, because of the leaking
15 nature, you engage other water-bearing --

16 ALJ WISSLER: When you say leaking,
17 you mean like hydraulically connected?

18 DR. MICHALSKI: Yes, physically -- and
19 also open holes help you because there are
20 some existing well bores which are never used,
21 but they create cross-communication between
22 those units, so you have your enhanced -- it
23 helps you. And Heisig estimates 25 percent of
24 flow can come from this leakage.

25 ALJ WISSLER: What is it that you are
(WATER SUPPLY ISSUE)

3437

1 basing your assumption that there is this
2 hydraulic connection between these various
3 areas? Do you understand what I'm asking?

4 DR. MICHALSKI: It's based on pumping
5 test data, and one of them -- later on, I
6 noted that my colleague prepares one of the

7 graphs for responsive pumping wells which is
8 very consistent with what I said. Can we
9 defer this question to the end?

10 ALJ WISSLER: Yes.

11 DR. MICHALSKI: I appreciate your
12 question, but it would be more clearer at the
13 end.

14 MR. GERSTMAN: Dr. Michalski, the
15 conclusion that Reynolds drew and Heisig drew,
16 would you say, based upon your evaluation, are
17 applicable here? They essentially supported
18 the evaluation of the bedrock hydrogeology and
19 the way you concluded it?

20 DR. MICHALSKI: Yes, absolutely, and I
21 had more data to follow, but my next couple of
22 slides concentrate on impact to Birch Creek
23 for surface water volumes. But I felt that I
24 need to go through this more heavy stuff to
25 sell my point better later on.

(WATER SUPPLY ISSUE)

3438

1 Is it time for a break?

2 ALJ WISSLER: Fine. We'll take five
3 minutes.

4 (11:01 - 11:18 A.M. - BRIEF RECESS
5 TAKEN.)

6 ALJ WISSLER: Folks, if we could
7 reconvene.

8 Dr. Michalski.

9 DR. MICHALSKI: Thank you, your Honor.
10 I'm going to continue with impacts from
11 surface water, in this case pumping at
12 Rosenthal wells from Birch Creek.

13 So the proposed pumping at Rosenthal
14 wells would reduce flow in Birch Creek through
15 these two mechanisms. The first one is
16 suppressing of intercepting bedrock
17 groundwater contribution to the stream flow,
18 and I'm talking about condition of low-flow
19 situations. All my considerations are mostly
20 for late summer for low-flow conditions; I'm
21 not talking about spring situation. So
22 groundwater contribution will be cut off by
23 pumping, taken by pumping from bedrock.

24 I can refer you to the slides, one of
25 the first showing low groundwater flow in a
(WATER SUPPLY ISSUE)

□

1 valley setting which was from -- so this
2 groundwater contribution would be taken by
3 wells from bedrock.

3439

4 The second mechanism would include
5 pumping-induced water infiltration from the
6 streambed and the saturated overburden. So
7 this is the second mechanism. Not only is
8 there the suppressing of bedrock contribution,
9 and the second, its recharge from the creek
10 and from overburden. The second one is
11 evidenced from data from Observation wells R1
12 and W2.

13 These two mechanisms define long-term
14 sources of water pumped from the Rosenthal
15 wells. This is always a question, the other
16 side of the question. Not only that I pump;
17 what are the sources of water you get to the

Vol. 14 (7-29-04crossroads)
18 wells. If those wells are pumped
19 indefinitely -- because the pumping rate
20 proposed -- the pumping will be sustained all
21 the time. It's not intermittent pumping that
22 they propose, but it's constant pumping
23 particular to -- so there's very little
24 recovery allowed. So these are two sources of
25 water. (Indicating)
(WATER SUPPLY ISSUE)

3440

1 Now, evidence, next slide. what
2 evidence do we have that pumping-induced flow
3 across overburden occurs? This evidence comes
4 from the latest recent April 2004 pumping
5 test.

6 I can just -- I can refer you to a map
7 which is in Exhibit 80A, which is slide --
8 page S-6, which depicts -- which is a map of
9 the Pine Hill -- of the Rosenthal well area
10 which identify location of all those points
11 mentioned.

12 So evidence is like this: water level
13 in Residential well 1, which was a shallow
14 residential well, overburdened residential
15 well, declined by 3.2 feet during the pumping.
16 (Indicating)

17 We can go to the next slide. And it
18 shows -- this is a page taken from Alpha
19 reports which show data for Residential well
20 Number 1, which is a shallow residential well,
21 a completed in consolidated deposit,
22 approximately 50 feet deep and 675 feet away
23 from R1.

24 As you can see, it says, "R1, R2, R3
25 pumps were on at 10 o'clock," and you can see
(WATER SUPPLY ISSUE)

1 the decline over time. And at the end of this ³⁴⁴¹
2 pumping test, declined by 3.24 feet due to
3 pumping. And then it recovers. (Indicating)

4 Notice that this is an overburden
5 well, so it is completed in unconsolidated
6 deposit, an overburden deposit. Pumping is
7 from the bedrock below, so pumping below is
8 extensive cone of depression, causes water in
9 the overburden to go down. So it indicates
10 recharge. (Indicating)

11 The second evidence is response to one
12 of the well points, which is well point --
13 it's a very shallow well, just couple of feet
14 into water table, located near Birch Creek and
15 R2. This well point declined by half a foot
16 during the test. Two other well points did
17 not respond. (Indicating)

18 Go to the next slide. So this is a
19 page from Alpha's report. From Alpha, May
20 2004 report. And it shows depths to water on
21 a vertical axis over the period -- depth to
22 water in Birch Creek and in those well points.
23 Of course the test was conducted in April,
24 there was some rainfall before that. But as
25 you can see, the triangles for well Point
(WATER SUPPLY ISSUE)

1 Number 1 show actually a response to the ³⁴⁴²
2 pumping. There's no doubt about it, that they

Vol. 14 (7-29-04crossroads)
3 responded. (Indicating)

4 If -- somebody may say: what is
5 half-a-foot response, or three-and-a-half-foot
6 response in overburden when you have 50 feet
7 in bedrock? It's important because storage in
8 bedrock, yield of bedrock is very small but
9 overburden is large. Overburden can
10 consolidate, it has a rate of like 10.1 or
11 10 percent, while overburden by bedrock has
12 very low, as I tried to show. It's .0001. So
13 a lot smaller response in overburden because
14 of this idea can contribute a lot of water.
15 So this is a normal response. (Indicating)

16 Let's go back. The same test caused
17 23 feet of drawdown in Residential well 4,
18 which is bedrock well located 1500 feet away.
19 So we have like 23 feet of drawdown during
20 this pumping. Overburden was less.

21 (Indicating)

22 The response of residential well to
23 this pumping test is included on my -- on 18,
24 Exhibit 80A, page S-7. It clearly shows after
25 R1, R2 and R3 pumps went on at 10 o'clock, the
(WATER SUPPLY ISSUE)

3443

1 first measurement taken after that show
2 drawdown by a couple of feet. So they decline
3 by 23 feet. So much more than predicted
4 during the previous tests. This residential
5 bedrock well is 1500 feet away from R1.
6 (Indicating)

7 Can we go forward. So let's go with
8 this evidence. So we definitely see --

9 bedrock well responded, no doubt about it,
10 responded very fast, and very significantly.
11 But some overburden well respond, like R1.

12 The observed pattern of the
13 observation well responses through the pumping
14 tests shows that overburden and bedrock had
15 heterogeneities to control the flow. It's not
16 uniform. It's the heterogeneities control the
17 flow. This is very universal principle, it's
18 not a discovery. And really, in this case,
19 they do control, because certain overburden
20 responses. (Indicating)

21 The variability of overburden is
22 illustrated by cross-sections in Reynolds, in
23 this report by Reynolds.

24 If I can refer to my supplemental
25 pages, Exhibit 80A, page S-8 and S-9. So
□ (WATER SUPPLY ISSUE)

1 these represent cross-sections from another 3444
2 area when there's significant amount of
3 thickness of overburden. It's not
4 site-specific because here we have very little
5 overburden.

6 Those two sections are like probably a
7 half mile away, so they're not far away. And
8 you can see, they look completely different.
9 Page S-8 and S-9, there are -- very lot
10 changes in between. So it illustrates the
11 degree of variability. (Indicating)

12 So when you pump over from bedrock,
13 the bedrock develops cone of depression and it

14 seeks and actually finds available pathway to
15 hook up to the source of water. And you can
16 not predict it, the way it will happen,
17 because of this variability.

18 So that's why one well pump may
19 respond, the other location does not. It's
20 all differences in hydraulic conductivity,
21 which controls this hookup to the water
22 source. Because ultimately, the long-term
23 water source to pumping must come from
24 recharge, because there's no -- we know that
25 its aquifer from theoretical that would go to
(WATER SUPPLY ISSUE)

3445

1 30,000 feet away. It's either recharge or
2 nothing. (Indicating)

3 Now, significant recharge to the
4 bedrock wells occurs at subcrops of conductive
5 bedding fractures beneath Birch Creek
6 thousands of feet downstream. This is an
7 example of this bedrock heterogeneity, which
8 probably relates to what I said at the
9 beginning of my presentation about this
10 bedrock structure. I tried to make a sketch
11 which is as site-specific as possible.
12 (Indicating)

13 So we have a plan view and section,
14 vertical section. Plan view depicts Birch
15 Creek bounded by bedrock valley, which is very
16 narrow, 1500 feet or so. And I show location
17 of Rosenthal well, and next is this pond, the
18 snowmaking pond, and I created a cross-section
19 on a vertical scale, elevation taken from the

20 map, and I tried to keep horizontal scale at
21 one inch to 1,000 feet, 2,000 feet.

22 So I really use USGS map to do this
23 sketch. And as you can see, Birch Creek in
24 sections goes down because of topography. The
25 valley slopes to what is Indian Point.

(WATER SUPPLY ISSUE)

3446

1 (Indicating)

2 The difference, I read it from the
3 map, was probably 100 feet per mile. So this
4 would be the grade of Birch Creek, overall
5 grade, and land surface in that area. So
6 Birch Creek is shown. Residential well R2 is
7 shown, its true dimension, about 60 feet is
8 cased off in the overburden. The overburden
9 is this little stipple layer parallel to the
10 ground surface line, which is like 40 feet or
11 50 feet thick. (Indicating)

12 And at a depth of 182 feet, I
13 marked -- there was a fracture, as we
14 established, and I assumed that this is a
15 bedding fracture, consistent with all the
16 data, and I assumed that this bedding dip at
17 two degrees south to the west. Two degrees,
18 which is very gentle. It is exaggerated here
19 because the vertical scale is five times
20 greater than horizontal. (Indicating)

21 So when you pump well R2, and I
22 indicated this cone of depression, your
23 pumping level goes pretty close to this
24 fracture, goes down. As a result, groundwater

Vol. 14 (7-29-04crossroads)
from the Birch Creek and overburden, which is
(WATER SUPPLY ISSUE)

25

□

3447

1 located more than to half a mile downstream,
2 can be taken by this well, because this is the
3 bedding fracture most productive. It is
4 established.

5 So anything between that fracture and
6 overburden can draw water into the well, as
7 indicated by those blue wiggly lines. So this
8 is an induced leakage. (Indicating)

9 what Alpha performs flow measurements
10 for, water level measurement in the creek next
11 to the pumping wells, and they discharge water
12 from pumping, just like 200 feet away from
13 pumping level, of course, you know, they did
14 no measurements of impact of pumping some
15 distance away.

16 So this is situation under pumping
17 condition, if you -- in the pumping condition
18 when water is drawn from the creek and the
19 intake can be as far as here, like 2,000 --
20 half a mile downstream for this fracture -- so
21 this whole area contributes to the flow. And
22 flow is down the bedding fracture. Without --
23 prior to pumping, so if you discard this cone
24 of depression, assumes there is no pumping,
25 water level in this well Residential R2, is
(WATER SUPPLY ISSUE)

□

3448

1 25 feet, about 20 feet below the ground
2 surface.

3 So it's actually below the creek level
4 at this location. How can it happen? It can

5 happen because of these connections. Because
6 the well, open hole, through this transmissive
7 fracture is connected to a creek at a much
8 lower elevation, at a much lower elevation.
9 So this is the controlling factor of the flow.
10 (Indicating)

11 So under no pumping conditions, flow
12 is a transmissive fracture can be towards the
13 creek, and it's controlled there, the water
14 level in the pumping -- but under the pumping,
15 you can reverse this flow. I believe that the
16 pumping record, they have demonstrated, and I
17 have it in my supplemental page S-10. Here is
18 a record of pumping tests, drawdown versus log
19 of time for well R2, when this well and R1 was
20 pumped.

21 As you can see, the shape of this
22 is -- you have a line going down indicating
23 very little recharge, then the line goes in
24 this direction up from a horizontal,
25 indicating some recharge. This is a positive
(WATER SUPPLY ISSUE)

□

1 boundary -- which is unexplained, somewhat 3449
2 weird. And then it goes down.

3 And this thing is evidence, this type
4 of record for all plots prepared for this one,
5 for all pumping tests, and notice that the
6 recharge starts only when drawdown reaches
7 certain value. When the drawdown is about
8 like here, like 40 feet or so, this is
9 important; because, as I mentioned, initial

10 vol. 14 (7-29-04crossroads)
flow across the well was downward to the
11 creek, and you have to create certain drawdown
12 to overcome, to reverse the flow.

13 So to me, this is an indication of
14 connection hookup to the stream along the
15 bedding fracture distance away. And of
16 course, if you look at this fracture, it's
17 geometric. It ends up, it goes to here.
18 (Indicating)

19 ALJ WISSLER: Let me understand.
20 Looking at S-10, if we come down to drawdown
21 in feet. If we get from 40 to about 60,
22 you're saying that at about 60 feet is where
23 that reversal occurs?

24 DR. MICHALSKI: About 80 feet.

25 ALJ WISSLER: Where it begins?
(WATER SUPPLY ISSUE)

1 DR. MICHALSKI: Yeah.

3450

2 ALJ WISSLER: Where the recharge
3 begins to occur.

4 DR. MICHALSKI: Yes. So -- because
5 you have to overcome initial head difference,
6 which is towards the stream, and resistance of
7 fracture to flow. But this fracture has a
8 limited extent, it gets up into the air, it's
9 no longer there. If you go down there, we can
10 not continue in down-dip directions for long
11 distances because the air pressure will keep
12 it closed. If you go laterally, it goes
13 beyond the valley under the mountains.

14 So it probably -- higher pressure, it
15 loses some of its transmissivity, or it goes

16 to the air or it goes to the next creek. But
17 you can see that it has a limited extent.

18 (Indicating)

19 You have negative boundary. The cone
20 of depression cannot go all the way to
21 Phoenicia. It can actually propagate. I drew
22 a line at the bottom of the well, so it can go
23 a large distance from the well. So this is
24 initial boundary. If you pump the system for
25 a long time --

(WATER SUPPLY ISSUE)

3451

1 ALJ WISSLER: And that limit is
2 demonstrated in S-10, you're saying, at about
3 80 feet where it turns negative; is that what
4 you said?

5 DR. MICHALSKI: It's negative, yes.
6 That's a limit. You don't get as much
7 benefit. It's a classic case of over-pumping.
8 You can continue, but you have to pump at a
9 slower, much lower rate. Such a rate which
10 can be sustained by the rate of recharge. At
11 this rate, you have classic case of
12 over-pumping -- go crazy, and the system
13 cannot deliver this amount of water.

14 The last thing is -- I did this
15 because Applicant's claims that Birch Creek
16 would not be impacted by the proposed pumping
17 are based on improper interpretations of
18 arguments on -- they say there's no impact,
19 you can pump it without impact on the surface
20 water whatsoever. They say because aquifer is

21 vol. 14 (7-29-04crossroads)
22 confined. So because it is confined, it has
23 no connection to the surface water, but the
24 confinement ends. Each fracture is confined
25 because it has bottom and top. If you
envision the fractures by the model -- but it
(WATER SUPPLY ISSUE)

3452

1 has end.

2 So this argument is not like if you
3 have clay on the top which prohibits
4 infiltration and recharge. So this is a
5 semi-confined system. Semi-confined means
6 leaky. And the leakage can go both across,
7 through this wiggly line, and at the sub-crop.
8 (Indicating)

9 The second argument they made is that
10 pre-pumping difference of water level in
11 bedrock and overburden wells. They say,
12 anyway, the water levels are downward. They
13 say the water level in this pumping well are
14 lower than the creek, so it can not happen.
15 And I think that I explained that by means of
16 this sketch, that it actually can happen.

17 In normal circumstances, if you're
18 thinking the bedrock is a single aquifer
19 system, you should not have downward flow
20 other than pumping, because everything should
21 go up. But if you have heterogeneities, like
22 the flow in the bedrock is controlled by
23 fractures, that interplay between
24 heterogeneities and topography creates this
25 effect. And now the situation can be impact
(WATER SUPPLY ISSUE)

1 of pump, of open boreholes, which can also act
2 as a pump. So this argument that water level
3 is lower doesn't -- it doesn't hold water.

4 It says the water quality data. This
5 argument about water quality data for pumped
6 water and the creek during the April 2004
7 test, they say: We measured the conductivity
8 of water in the creek, and it was fresh, it
9 has conductivity. No wonder, because it was
10 rain before. It was a spring water time.
11 That doesn't mean that the water you pump from
12 well was spring water because it takes time
13 for water from the creek actually to get to
14 the well. (Indicating)

15 Second, your own -- Alpha's own data
16 of surface water quality collected during dry
17 season -- I mean October -- clearly show that
18 water quality in the creek next to this
19 tributary which is in the area of what I
20 suggest to be intake for now was the same,
21 roughly the same, was 400 ms, which is about
22 the same -- or micro -- which is about the
23 same as groundwater.

24 So they are comparing water quality in
25 the spring during the time after a rainfall --
(WATER SUPPLY ISSUE)

1 using this argument is also not valid. You
2 should compare it against water quality at the
3 dry season time.

4 Let me tell about this latest pumping
5 test, simultaneous pumping of wells R1, R2

6 Vol. 14 (7-29-04crossroads)
with 149 g.p.m. which I did not address in my
7 comments because the test was subsequent to
8 those.

9 Crossroads claims that the test shows
10 that a sustained yield of 149 g.p.m. was
11 obtainable from these wells with drawdown
12 stabilization and no adverse impacts on other
13 groundwater users and surface water. This
14 claim is based on inappropriate testing
15 procedure that produced misleading results.
16 The pumping was not conducted at a constant
17 pumping rate, as required by the principles of
18 aquifer analysis. This is a requirement.

19 To comment on that, the pumping rate
20 was decreased during the test. This
21 manipulation allowed for a partial recovery
22 and apparent drawdown stabilization near the
23 end of the 3-day test. I can refer you to
24 plot for R1, which is the next slide.

25 (Indicating)
(WATER SUPPLY ISSUE)

□

1 This is Alpha records which shows
2 drawdown versus time but this time is not
3 logarithmic scale, it's just regular scale,
4 just to show stabilization to satisfy certain
5 criteria, which are not scientific.

3455

6 Average flow rate initially was
7 78 gallons per minute. Then, because drawdown
8 went down, down, down, because the water level
9 went down, they decreased rate. When you
10 decrease the pumping rate, you get recovery
11 effect, partial recovery, which cannot

12 continue indefinitely, so you have water level
13 dropping so you can choke some of the flow
14 again and continue it.

15 With this simple manipulation, I can
16 demonstrate stabilization -- which is
17 meaningless -- because what I'm using, I'm
18 using recovery effect, partial recovery.
19 Stabilization has to be demonstrated at the
20 constant pumping rate.

21 I refer, Judge, to the first part I
22 showed about the introduction to well
23 hydraulic conditions for evaluating pumping
24 tests. To come to any conclusion whether you
25 can test aquifer boundaries, you have to
(WATER SUPPLY ISSUE)

□

1 maintain a constant rate.

3456

2 MR. GERSTMAN: Could you explain
3 further the recovery effect.

4 DR. MICHALSKI: That's in the next
5 slide. Now, had this test continued for
6 months, the pumping rate -- I'm talking now
7 about constant drawdown tests -- had this test
8 continued for months, the pumping rate would
9 have been needed to cut back more and more to
10 keep the drawdown stabilized.

11 So ultimately you do this procedure
12 for six months, you would know probably how
13 much water you would get. So that would be
14 the test, if you start with drawdown
15 stabilization.

16 Another point which I should say, slow

Vol. 14 (7-29-04crossroads)
17 and incomplete recovery of water levels after
18 the April 2004 test, and all other tests,
19 indicates insufficient recharge to the bedrock
20 wells even at the wettest time of the year --
21 because the test was conducted in April after
22 it was .9-inch of rain during the recovery.

23 So recovery, water level -- after
24 pumping stopped, water level went up for five
25 days, and you didn't have complete recovery,
(WATER SUPPLY ISSUE)

1 so it didn't bounce back to recovery level. 3457

2 ALJ WISSLER: It looks like 87 and a
3 half percent?

4 DR. MICHALSKI: Yes. But
5 theoretically, if you use my model of slab,
6 this infinite theoretical model, and the only
7 source of water was storage from this stab,
8 the recovery should occur within the same time
9 as pumping did. If you pump three days, you
10 need three days to get complete recovery.
11 There was no recharge, just theoretically
12 basis because you require recharge. It's
13 theoretical, so it assumes there was --

14 ALJ WISSLER: If you pump --

15 DR. MICHALSKI: Anything longer than
16 that, tells you that you've mined your water,
17 you just mined, you just take water from
18 storage, more than it's recovered, and it
19 tells you about the possible presence of
20 negative boundaries on aquifer boundaries,
21 which are expected based on the physics of the
22 process.

23 If you have dipping system, it has to
24 end down-dip, it has to have up-dip. The only
25 extension is laterally, but it also cannot
(WATER SUPPLY ISSUE)

1 last indefinitely, so we surely have boundary. 3458

2 In every pumping test, that water
3 level did not bounce back for much longer
4 time. You would completely dewater
5 significant portion of aquifer if you continue
6 with this pumping. And if you have coalescent
7 cone of depression from other pumps -- because
8 you over-pump this aquifer. This aquifer
9 cannot deliver as much as you want. And we
10 don't know how much it can deliver. But
11 whatever it can deliver, it comes out from the
12 little stream, by reduction of flow to the
13 stream or direct recharge.

14 Observation. Let's look at the system
15 purely from a surface water measurement.

16 MR. GERSTMAN: Judge, did you have a
17 question?

18 ALJ WISSLER: No.

19 DR. MICHALSKI: Different view on the
20 system from measurements performed -- stream
21 flow measurements performed by Crossroads.

22 what is it showing? This is baseflow.
23 Baseflow is flow -- typical characteristic of
24 the water. Rapid, flashy runoff is typical of
25 the site of Birch Creek. Daily flow in Birch
(WATER SUPPLY ISSUE)

1 Creek can increase 1,000 times in one day 3459

Vol. 14 (7-29-04crossroads)
2 after significant rainfall, to drop by two
3 order of magnitude in ten days.

4 So actually this data is from Indian
5 Point from USGS. So in the case of Birch
6 Creek, it's probably less. So it takes you --
7 after seven days or a week -- you don't have
8 effect of any recharge from rainfall, you rely
9 on baseflow.

10 Baseflow, which is the discharge that
11 is exceeded 90 percent of the time -- this is
12 the definition -- it is based on stream flow
13 measure -- is a measure of groundwater
14 contribution to a stream.

15 For a typical -- now I'm jumping to
16 adjacent levels -- for a typical small
17 Catskill mountain stream, the summer baseflow,
18 the water coming through during the summer
19 makes only less than 2.5 percent of the total
20 runoff and less than 2 percent of the total
21 rainfall. So it tells you really how small
22 this baseflow is, because of the nature of the
23 rocks. They're not good groundwater
24 resources.

25 And particularly, for situations when
(WATER SUPPLY ISSUE)

□
1 your overburden doesn't have any stratified ³⁴⁶⁰
2 drift -- I mean stratified -- good aquifer
3 material -- the above shows how small the
4 baseflow, the contribution from groundwater is
5 in this specific setting.

6 During prolonged dry weather spells,
7 the creek and proposed water supply wells

8 would compete for the same limited groundwater
9 resource. So if there's no other water from
10 the creek, after seven days -- a week after a
11 significant rainfall recharge event, the creek
12 relies on its baseflow.

13 And if you continue pumping -- because
14 you pump all the time -- remember the purpose
15 is to pump continuous -- you would just take
16 this base. Recharge estimates from annualized
17 water budget and generic soil types are
18 misleading in that regard.

19 If you wonder about groundwater
20 resources in this area, you should not talk
21 about soil types, about this -- because those
22 things relate to soil aspect, to maybe perc
23 tests, to need for water -- but they are not
24 equivalent to groundwater sources, to
25 groundwater contribution because the critical
(WATER SUPPLY ISSUE)

□

1 period is late summer, early fall, when 3461
2 actually the recharge is fairly small, and
3 this is from stream -- for streamflow and for
4 groundwater. And also, there is a snowmaking
5 aspect this year.

6 Now, streamflow measurements. I'm
7 just -- I'm referring to Table 1A of Exhibit
8 G, and actually are included in my
9 supplemental pages. The last three pages
10 relate to this document.

11 Page S-11 show location of streamflow
12 measurement points. And the next two pages

13 vol. 14 (7-29-04crossroads)
14 show one table in the split format I was
15 provided. This is the source for this
16 conclusion. I just checked the data. They
17 are very weird -- if not sometimes
18 interesting.

19 The lower segment of Crystal Spring
20 from above its confluence with Birch Creek,
21 loses some of its flow, 224 g.p.m. to 364
22 g.p.m. So this is a measurement of the
23 -- it's a losing stream, the lower segment.
24 The water is lost. It is not gaining as you
25 should have, but it is actually losing water.
One of the -- and this was amount of the loss,
(WATER SUPPLY ISSUE)

3462

1 just by simple subtraction of that.

2 I hypothesize that subsurface water
3 transfer to the Emory Creek via transmissive
4 fractures and open bedrock holes may account
5 for much of this loss. So there's -- because
6 we don't think see this thing very much --
7 pumping at Fleischmanns wells would exacerbate
8 the loss because the natural dips. Pine Hill
9 area, the dip is towards Fleischmanns. And if
10 you do some geometric projection, you can see
11 that Belleayre wells and some of the
12 Fleischmanns intercept the same fracture.
13 Now, this is for Crystal Spring section.
14 (Indicating)

15 Now, another data is for Birch Creek.
16 There were two measurement points; one was
17 just below the confluence with Crystal Spring,
18 and the second was USGS gauging station. So

19 when water -- and the conclusion is: At times
20 when water is not diverted for snowmaking --
21 and this snowmaking pond has an extreme effect
22 on the creek because it truly puts the streams
23 haywire -- Birch Creek is barely gaining flow
24 within a two-mile segment below its confluence
25 with Crystal Spring and Indian Point.
(WATER SUPPLY ISSUE)

□

1 So the contribution of groundwater is ³⁴⁶³
2 not great. This low groundwater contribution
3 is attributed to poorer groundwater resources
4 of the area and to effect of open bedrock
5 holes, short-circuiting flow to those
6 conductive bedding fractures that intersect
7 streambed downstream at lower elevations.

8 So some of this may not be measured by
9 this. This is a look at groundwater resources
10 from point of your surface water measurements,
11 and it's not very promising in terms of water
12 resources. (Indicating)

13 Now, this is -- slide is taken from
14 Heath, from an old, very good primer on
15 groundwater. So it shows how a well can be
16 contaminated by two mechanisms. One would be
17 like contaminants coming from above into cone
18 of depression. This is the farms or whatever.

19 And the other one is by upconing of
20 salty water from below. And we know that this
21 case is applicable to that area because high
22 risk for salt upcone in these areas indicated
23 that. Data from the Batavia Creek, Heisig,

Vol. 14 (7-29-04crossroads)
24 and it clearly says that it's about 2, 300
25 feet below, you have saline water. And some
(WATER SUPPLY ISSUE)

1 of them has salinity close to seawater.

3464

2 He just characterizes probably
3 so-called connate water, which is water
4 sitting there from the beginning of time --
5 but it's really established that there is
6 saline water at the bottom of that in this
7 zone which is not very active for flow. It is
8 there because it doesn't participate in this
9 shallow groundwater flow. (Indicating)

10 The second site-specific data, in one
11 of the Fleischmanns wells, high conductivity
12 value, it is 900 ms per centimeter -- was
13 recorded in discharge from well 1 twice. This
14 conductivity translate to total dissolved
15 solid over 500 milligrams per liter, because
16 it's really -- and I was surprised to check.

17 The first thing I'm looking at is to
18 check for some water quality data from the
19 lab. what is the total dissolved solids? It
20 reports 50. So 10 times less than I would
21 expect. Something like that.

22 what is surprising, I just look at the
23 top of this page, and instead of saying
24 well 1, it says well Catch Basin 1, well 1
25 Catch Basin -- something like that.
(WATER SUPPLY ISSUE)

1 So it's really -- there is here a big
2 difference in simple data which do not square
3 up, and they should, because if you have

3465

4 no -- so this is real. And normally this
5 upconing of creeping of saline water would be
6 most pronounced under the valley setting. You
7 have a valley, so this a plan you would
8 expect.

9 So these things should be addressed by
10 the Applicant, because if you don't do it,
11 once the saline water creeps up, you will not
12 be able to get rid of it easy.

13 Monitoring aspect -- because there's a
14 proposal to use some of the wells for
15 monitoring. You can not use very deep bedrock
16 wells for monitoring of nitrates and
17 pesticides because of this hydraulics, you
18 would not get any results. So you need to
19 use -- specifically install a well which would
20 monitor the impact, consistent with
21 hydrogeology.

22 The second thing, monitoring for
23 pumping-induced salinity needs to be included,
24 starting with a baseline salinity assessment.
25 That's a starting point.

(WATER SUPPLY ISSUE)

1 Spring monitoring. Spring monitoring³⁴⁶⁶
2 requires first a realistic hydrogeologic
3 assessment of subsurface flow pathways at
4 seeps and streams. Defining flow contributing
5 areas to springs based clearly on topography
6 features alone is inadequate.

7 And here we have -- how weird the
8 situation is -- example of losing stream below

9 Vol. 14 (7-29-04crossroads)
Marlowe Mansion. I was there once at this
10 field trip, and we clearly noticed that there
11 was a spring, and it was no more. I noticed
12 there was some sandstone bedding exposed in
13 this area not far away.

14 But really, if you want to monitor
15 spring recharge area, you have to define
16 hydrogeology of the site in real terms. You
17 have to take structural effect into account,
18 you have to determine site specifics, you need
19 to identify those springs elevations and
20 seepages when they occur. Then, only then,
21 you can establish realistic monitoring point,
22 otherwise you may have a very weird response.
23 Certainly if you don't have water in a well,
24 you don't know if those things are connected
25 or not.

(WATER SUPPLY ISSUE)

1 That's the end. If I could go back to ³⁴⁶⁷
2 the first page.

3 MR. GERSTMAN: Dr. Michalski, would
4 you again start off with your summary of your
5 conclusions. If you would review those and
6 refer to the offer of proof that we made to
7 support those conclusions.

8 DR. MICHALSKI: So the first one is
9 about pumping rates. The proposed pumping
10 rates from Rosenthal supply wells, and
11 currently based on this, cannot be sustainable
12 in the long run. The long run means couple of
13 months.

14 Long-term stabilization of pumping

15 groundwater levels is not likely at such
16 rates. You cannot. If you pump like this,
17 you cannot get stabilization. So you would
18 create a huge drawdown, but you cannot
19 long-term get what they suggest because the
20 resources are not there.

21 The pumping from Rosenthal wells would
22 subtract flow to Birch Creek basin so this is
23 an impact of pumping to surface water. And I
24 discussed the two mechanisms by which this can
25 occur; suppression of baseflow, groundwater
(WATER SUPPLY ISSUE)

1 contribution; and the second, direct leakage³⁴⁶⁸
2 from overburden from the stream.

3 Now, extensive lowering of bedrock
4 groundwater levels over a large area will
5 adversely impact other groundwater users, so
6 there's no doubt that you have to take into
7 account the cumulative impacts of pumping
8 because of the extent of the cone of
9 depression from individual wells.

10 So the cumulative impacts from
11 interference from new large withdrawals from
12 existing one like Pine Hill, and possible
13 future one, which this development may induce,
14 needs to be considered as they all compete for
15 a limited groundwater resource. There's no
16 groundwater there to be available during that
17 critical period of time. There's plenty of
18 water in the spring, there's a lot of recharge
19 but it's gone. DEC people know what to do in

Vol. 14 (7-29-04crossroads)
those situations.

Additional hydrogeologic information and data are necessary for the entire area from Indian Point to Fleischmanns in order to adequately assess impacts on groundwater resources, and the impact of pumping and (WATER SUPPLY ISSUE)

develop reliable monitoring of water quality changes. ³⁴⁶⁹

In this additional hydrogeologic assessment, we're required to use different tools, specifically borehole geophysics, temperature conductivity data, logging for filing -- you need to do flow meter measurements of existing wells. Downhole TV caliber.

So this is the basic logs which are informative regarding flow in the existing wells, distribution of transmissive zones. And then you have to gather this information and develop a site-specific -- a model of the area, as I tried to do for well Number 2, just based on --

ALJ WISSLER: Could you go through that list again a little more slowly about the hydrogeologic information data that needs to be collected.

DR. MICHALSKI: Yes, additional.

ALJ WISSLER: What?

DR. MICHALSKI: For the entire area.

ALJ WISSLER: What specifically do you think should be done?

1 DR. MICHALSKI: You need to do
2 borehole geophysics. It is standard -- not
3 standard -- borehole geophysics in existing
4 wells. This borehole geophysics would
5 include, first, downhole TV, or maybe acoustic
6 televiewer, because it also gives you idea
7 about the crookedness of the holes. But you
8 need to have a peek into the well. There's
9 tools available to do that.

10 Second, you need to do -- to determine
11 which of those fractures -- and you will see a
12 number of them -- really conduct water, are
13 transmissive. So temperature conductivity
14 provided, which is not expensive, will give
15 you partial answer to that, and flow meter
16 logging, just measuring of cross volumes would
17 give you more.

18 ALJ WISSLER: None of that was done,
19 you're saying, here?

20 DR. MICHALSKI: Pardon?

21 ALJ WISSLER: None of that was done?

22 DR. MICHALSKI: None of that was done.
23 Even the simple temperature conductivity
24 logging. So with this, and certain conceptual
25 models in mind, you can create cross sections,
(WATER SUPPLY ISSUE)

1 and then when you do a pumping test, you can
2 argue whether the response you observed is due
3 to this factor or this factor. You simply are
4 very close to reality.

Vol. 14 (7-29-04crossroads)
It's not a critique of their --

5
6 everybody goes along the lines of least
7 resistance, so it's more like a statement of
8 what needs to be done.

9 MR. GERSTMAN: Dr. Michalski, we had a
10 site visit to the proposed wildacres site.
11 would you relate to us some of your
12 observations from that field trip that relate
13 to your analysis here today.

14 DR. MICHALSKI: The most important one
15 about losing stream, I just mentioned. We
16 had -- I remember some kind of springs which
17 were coming from high elevation in bedrock in
18 an area which looked like a little circular
19 depression, and then they created the wetland.
20 And this wetland -- or whatever it was in
21 piping drawn to -- it reappears in the stream,
22 surface stream. And below Marlowe mansion,
23 this stream was gone at some point. What I
24 know. Where it goes is important. What
25 happens to it is important.

(WATER SUPPLY ISSUE)

1 what I should mention is, also, that ³⁴⁷²
2 wetlands, high-level wetlands, are related to
3 the groundwater source. I don't know whether
4 the wetland that existed next to the Rosenthal
5 well will not be trained in the long run. The
6 pumping, three days, is not sufficient to
7 determine impact to wetlands. But these are
8 some core issues related to groundwater and
9 can be significant.

10 MR. GERSTMAN: May I have a moment?

11 ALJ WISSLER: Yes.

12 (BRIEF PAUSE.)

13 DR. MICHALSKI: It's regarding the
14 impact of the snowmaking pond. The snowmaking
15 pond acts as a kind of buffer reservoir to
16 take water when it is -- when there is excess
17 of it, and unfortunately most this requirement
18 for -- it is empty starting from late
19 November, and it needs to be replenished
20 during that time, some of it, and we see a
21 record in Alpha measurement that can only be
22 explained by diversion of water.

23 In short, during low flow period in
24 Birch Creek, snowmaking and groundwater
25 compete for the same basin, or clash for the
(WATER SUPPLY ISSUE)

3473

1 same basin, which is well-known how to
2 reconcile those things.

3 when you have a lot of water in the
4 spring and it's 50 or 55, it's relevant.
5 where you have critical periods, late summer,
6 you don't have water, so this is relevant.

7 MR. GERSTMAN: To the extent that
8 there was a proposal to increase snowmaking at
9 Belleayre Mountain Ski Center to support an
10 expansion, would those activities -- would you
11 say that would further exacerbate the stress
12 on the availability of water supply for other
13 uses?

14 DR. MICHALSKI: Yes, if this
15 occurred -- if this took place any time during

16 Vol. 14 (7-29-04crossroads)
late summer through -- it's a critical time of
17 the year.

18 MR. GERSTMAN: Thank you,
19 Dr. Michalski.

20 Judge, can we go off the record for a
21 second.

22 ALJ WISSLER: Yes.

23 (BRIEF RECESS TAKEN.)

24 ("OBSERVATION WELL DRAWDOWN

25 ASSOCIATED WITH STATION ROAD WELL AQUIFER
(WATER SUPPLY ISSUE)

3474

1 TEST" RECEIVED AND MARKED AS CPC EXHIBIT NO.
2 84, THIS DATE.)

3 ALJ WISSLER: Mr. Gerstman.

4 MR. GERSTMAN: Your Honor, we will be
5 referring to various exhibits which have
6 already been introduced, including CPC 61, 62
7 and 63. We will also be referring to exhibits
8 we introduced today, CPC 82 and 82A, and the
9 partial testimony of Mr. Rubin, CPC 81. We
10 also introduced just now CPC 84.

11 Judge, I would like to introduce you
12 to Mr. Paul Rubin.

13 Mr. Rubin, would you tell the Judge
14 about your education and experience, please.

15 MR. RUBIN: I'm a geologist,
16 hydrologist. I have a Master's Degree in
17 geology from the State University of New York
18 at New Paltz. I have worked since my
19 graduation in 1981 to the present in a number
20 of different hydrogeologic and hydrologic.

21 MR. RUZOW: Paul, could you keep your
Page 75

22 voice up.

23 MR. RUBIN: I've worked in a number of
24 different locations as a hydrologist or
25 hydrogeologist/geologist at times since my
(WATER SUPPLY ISSUE)

3475

1 graduation from New Paltz College.

2 Initially I worked with the Stone &
3 Webster Engineering Corporation where I did
4 hydrogeologic investigations. Texas
5 Panhandle -- siting of a nuclear waste
6 repository, doing subsurface investigations
7 for a nuclear waste repository, predominantly
8 deep basin groundwater testing pump tests.

9 After that, I went to work for the
10 Attorney General's Office in Albany,
11 Environmental Protection Bureau, doing a lot
12 of litigation work that's important of the law
13 office, places like Love Canal and hazardous
14 waste sites, I had a significant involvement
15 in at that time. That was for about eight and
16 a half years.

17 After that I went down to Oak Ridge,
18 Tennessee where I worked as a research
19 scientist at the Oak Ridge National
20 Laboratory, mainly doing hydrogeologic
21 contaminant transport investigations,
22 predominantly with karst, cave-bearing
23 aquifers, studies down there. I was there
24 about a year and a half, submitted my resume
25 on the exact date.

(WATER SUPPLY ISSUE)

3476

1 After that I came to work for the New
2 York City Water Supply right up here at their
3 Shokan office where I was actively involved in
4 surface hydrology work, both water quality
5 analysis and a lot of geologic mapping,
6 glacial sediments throughout this area,
7 including the Berkshire Creek area as well,
8 all as part of my New York City Department of
9 Environmental Protection work.

10 Subsequent to that -- right now I
11 teach full-time at a community college in the
12 area, and I also run a small consulting firm
13 where I do environmental analyses, Geographic
14 Information System map work, that type of
15 hydrologic assessments.

16 So at this time I do that part-time,
17 but as of January, I'll be doing that
18 full-time.

19 MR. GERSTMAN: Mr. Rubin, have you had
20 a chance to review Crossroads Ventures' Draft
21 Environment Impact Statement concerning its
22 application for water supply for both Big
23 Indian and Wildacres?

24 MR. RUBIN: I have.

25 MR. GERSTMAN: Let me clarify on the
(WATER SUPPLY ISSUE)

3477

1 record something that Dr. Michalski had
2 referred to. When he was referring to Indian
3 Point, the reference was to Big Indian.

4 ALJ WISSLER: To Big Indian.

5 MR. GERSTMAN: Does that include the
6 original and revised water supply applications

7 that were submitted for Big Indian and the
8 Wildacres Resort?

9 MR. RUBIN: It does.

10 MR. GERSTMAN: What conclusions did
11 you come to with respect to those applications
12 and the supporting documentation?

13 MR. RUBIN: The broad conclusion is
14 that based on the data that's available to us,
15 there's insufficient evidence to indicate we
16 would have sufficient water supply for the Big
17 Indian Resort, and furthermore, the basis for
18 the conclusion -- and I'll go into this in
19 more detail -- hinges on a draft Department of
20 Health guidance document to take a look at
21 what is considered a stable state or
22 equilibrium-type condition in an aquifer. And
23 we'll look at some graphics to identify
24 whether that's a reasonable, or whether that
25 draft guidance needs to be updated with
(WATER SUPPLY ISSUE)

3478

1 hydrologic input.

2 MR. GERSTMAN: You listened to
3 Dr. Michalski's offer of proof earlier today?

4 MR. RUBIN: I did.

5 MR. GERSTMAN: Do you agree with
6 Dr. Michalski's offer of proof?

7 MR. RUBIN: I do. It was excellent.

8 MR. GERSTMAN: Mr. Rubin, would you
9 proceed to explain to the Judge the basis of
10 your concerns about the adequacy of the water
11 supply and the contradictions that were found

Vol. 14 (7-29-04crossroads)
12 in the application submitted by Crossroads
13 Ventures concerning the availability of water
14 supply to support the project.

15 MR. RUBIN: I will. I submitted a --
16 testimony, just a partial draft of some of the
17 issues, I'm going to go through that and some
18 of the graphs that go with it so we can
19 understand what I'm talking about here.

20 MR. GERSTMAN: That's introduced as
21 CPC Exhibit 81.

22 MR. RUBIN: Hydrogeologic evaluation
23 of well test data indicates that the planned
24 water source for the Big Indian Plateau
25 development may not be adequate. Rosenthal
(WATER SUPPLY ISSUE)

1 wells R1, R2 and R3 are planned sources of 3479
2 water for the potable and irrigation water
3 supply for the Big Indian Plateau Development.

4 we can see these on Exhibit 61 which
5 was introduced into evidence or marked as --
6 this graph is a Geographic Information System
7 map that portrays the reasonably close
8 locations of the three Rosenthal wells, and it
9 also shows on there the link hydrologically
10 between R1 and Residential well 1 and
11 Residential well 4, which as we have seen in
12 the record from Dr. Michalski's discussion,
13 that there was some limited observation well
14 testing done of these wells, but not a full
15 transducer-type assessment that we might hope
16 for.

17 with that figure in hand -- I should
Page 79

18 say these wells are approved by the New York
19 State Department of Health and the Ulster
20 County Department of Health as having adequate
21 yield.

22 This approval hinges on the concept
23 that a combined well test of at least 72 hours
24 was conducted and continued until all three
25 wells demonstrated a stabilized drawdown for
(WATER SUPPLY ISSUE)

3480

1 at least six hours. This is detailed in a
2 letter by John M. Dunn, P.E., from the New
3 York State Department of Health of March 23,
4 2004 to Alexander Ciesluk, Jr. of the New York
5 State Region 3 office in New Paltz.

6 Specifically Mr. Dunn's letter --
7 ALJ WISSLER: Is that a separate
8 exhibit that we have?

9 MR. RUBIN: I believe that's in the
10 record.

11 MR. GERSTMAN: We'll give you the
12 reference, Judge.

13 MR. RUBIN: Specifically this letter
14 states -- this is critical, their
15 understanding of whether there's adequate
16 water supply for the project: New York State
17 Department of Health Draft Standards for water
18 wells defines the stabilized water level as,
19 "The level of water in a well that has
20 achieved equilibrium during a period of
21 constant rate withdrawal of groundwater, i.e.,
22 stabilized drawdown."

23

The draft standards further state:

24

"The stabilized pumping water level shall not

25

fluctuate more than plus or minus 0.5 foot for
(WATER SUPPLY ISSUE)

3481

1

each 100 feet of water in the well, and

2

plotted measurement shall not decrease during

3

the constant flow test period."

4

This definition allows for the water

5

level to fluctuate a reasonable amount above

6

or below the stabilized pumping level. It

7

does not allow for the water level to continue

8

dropping during the stabilization period. So a

9

critical element of this is that the water

10

level -- when things are stabilized, should

11

not continue to drop, which we'll examine as

12

we go on here.

13

It's important to point out that the

14

Rosenthal well test was not conducted

15

throughout at a constant withdrawal rate, as

16

pointed out previously by Dr. Michalski here,

17

thus negating the stated intent of the New

18

York State Department of Health draft

19

standards for water wells.

20

Similarly, because a constant water

21

withdrawal rate was not maintained throughout

22

the drawdown test, it is not possible to

23

assess that equilibrium conditions were met.

24

Equilibrium conditions occur when the

25

rate of recharge within the area of pumping
(WATER SUPPLY ISSUE)

3482

1

influence equals the rate of pumping, thus

2

resulting in stabilized water levels

3 throughout the area of influence.

4 Because observation wells were not
5 used continuously -- they were used but they
6 were not continuously monitored throughout the
7 well pumping test -- it is not possible to
8 fully assess how far outward the cone of
9 depression extended during the pumping test,
10 whether aquifer boundary conditions would have
11 been encountered, or any measure of the
12 potential quantity of groundwater available in
13 the aquifer. Those observation wells that
14 were monitored partially were few and areally
15 limited.

16 Assessment of aquifer equilibrium
17 conditions is routinely assessed by
18 hydrogeologists via the examination of a
19 semi-logarithmic time drawdown plot of the
20 drawdown data, preferably the drawdown data as
21 observed in an observation well versus a
22 pumping well.

23 The semi-logarithmic plots of time
24 drawdown data are the standard means of
25 portraying aquifer drawdown when assessing
(WATER SUPPLY ISSUE)

1 equilibrium conditions and can be extended to ³⁴⁸³
2 predict drawdown for a period of continuous
3 pumping longer than the test itself.

4 Plenty of references use this
5 technology or methodology, Driscoll,
6 Groundwater and wells, 1986, is one common
7 source of information of many. These semi-log

Vol. 14 (7-29-04crossroads)
8 plots are also used for calculating aquifer
9 constants.

10 The Applicant elected, instead of
11 using a semi-logarithmic plot, to only present
12 drawdown data in a arithmetic graphing format
13 versus standard graphical procedures.

14 No observation wells were continuously
15 monitored throughout the well test, although
16 partially; thus, it's not possible to assess
17 whether equilibrium conditions would
18 ultimately have been reached had the well test
19 been continued for a longer period of time.

20 Similarly, the Applicant's failure to
21 use observation wells, with continuously
22 recorded drawdown data, precludes the full
23 analysis of the coefficient of storage or
24 storativity, which is an aquifer parameter
25 that assesses the volume of water an aquifer
(WATER SUPPLY ISSUE)

1 releases from or takes into storage per unit ³⁴⁸⁴
2 surface area of the aquifer per unit change in
3 head.

4 Storativity is important in assessing
5 how much water is available for use in the
6 aquifer of a reasonable water supply for this
7 project. Sound hydrogeologic assessment of
8 water availability requires determination of
9 this coefficient of storativity. Thus, it was
10 not fully possible because observation wells
11 were not comprehensively incorporated into the
12 testing procedure with full data collection.

13 My colleague, Dr. Michalski, had
Page 83

14 previously presented his calculated S value of
15 .001 or less that indicates very little
16 aquifer storage.

17 So the key here is, in order for us to
18 understand whether there's adequate water
19 quantity available, we need to be able to
20 access common aquifer coefficients, and
21 storativity is one of these coefficients.
22 Although we can do it crudely, ideally we like
23 a full, comprehensive set of observation well
24 drawdown data from an aerially wide area.

25 As a hydrogeologist, I would not be
(WATER SUPPLY ISSUE)

□

1 comfortable stating that sufficient water
2 quantity was available without comprehensive
3 assessment and evaluation of storativity and
4 transmissivity that are routinely assessed in
5 water supply studies.

3485

6 Neither were determined by the
7 Applicant. Thus, while test results are
8 intended to indicate that the well will
9 produce the yield flow rate, in other words,
10 the minimum sustained yield for a prolonged
11 period -- that is stated on page 2 of 6 of the
12 New York State Department of Health Bureau of
13 Water Supply Protection, Technical Guidance
14 for Designers and Developers of Realty
15 Subdivisions -- once the drawdown data is
16 correctly plotted, it is clear that
17 equilibrium conditions were not achieved; and
18 two, the well test at each new discharge rate

19 Vol. 14 (7-29-04crossroads)
was terminated shortly after the data
20 indicates the aquifer was not able to readily
21 keep up with the pumping rate. We see this in
22 Figure 82, and in the steep slopes, semi-log
23 slopes shown on 82A.

24 why don't we turn to those figures for
25 a minute. First, looking at Figure 82, we
(WATER SUPPLY ISSUE)

1 have this in front of us. This is a plot, 3486
2 semi-logarithmic depiction of the drawdown
3 portion of Well R1's testing during the
4 aquifer well test that we had here, and it
5 shows a very steeply descending drawdown
6 curve, which would be projected with the blue
7 dash line on the figure.

8 we see that that straight alignment of
9 the data points of drawdown indicate little or
10 no aquifer recharge is going on. We could
11 typically use a graph like this to have a
12 reasonable prediction of how much the drawdown
13 would be after a certain period of time in the
14 aquifer.

15 Remember, we heard -- the Department
16 of Health has this draft guidance document out
17 there. What the Department of Health wants us
18 to do is take a look -- or at least have 72
19 hours of pumping test work done, and then to
20 reach a water level that is reasonably
21 consistent -- doesn't fluctuate
22 substantially -- over a six-hour time period.

23 Now, if you were to follow that
24 guidance, you could come up with plots that

25 would indicate there was inadequate water
(WATER SUPPLY ISSUE)

3487

1 supply, and certainly what ended up being
2 approved by the New York State Department of
3 Health.

4 Perhaps we should look at that for a
5 second. In the Belleayre Resort report, there
6 are three specific graphs that show this. One
7 of them is entitled, "Belleayre Resort at
8 Catskill Park Simultaneous Pumping Tests for
9 wells R1, R2 and R3." And what it shows --

10 MR. GERSTMAN: Before you start to
11 talk about it, where can the Judge find that
12 in the application or the DEIS?

13 MS. BAKNER: Applicant's Exhibit 51B,
14 which is Conceptual Design Report, Big Indian
15 Plateau water Supply Treatment and
16 Distribution. And the letter from John Dunn
17 from the New York State Department of Health
18 dated March 23, 2004 is also included in that
19 report immediately after the protocol
20 submitted by Alpha Geoscience dated March 11,
21 2004. The table should be in the front, but
22 we need the table numbers to find the page
23 number.

24 MR. RUBIN: Appendix F titled,
25 "Draw-down and Stabilization Plots." The
(WATER SUPPLY ISSUE)

3488

1 second page of Appendix F, we see the first
2 arithmetic plot of well R1 that shows a
3 0.995-foot fluctuation for the final six hours

Vol. 14 (7-29-04crossroads)
of pumping in Well R1.

Similarly, on pages 4 and 6, we see similar plots for the final six hours of pumping for well R2 and well R3. Well 2, R2, shows an overall fluctuation in the last six hours of pumping of 1.264 feet, and well R3 shows a fluctuation in the final six hours of pumping of 1.634 feet.

As part of the procedure that was agreed upon between the Department of Health and the Applicant, specifically Alpha Geoscience in part, they bought into this minor fluctuation of .05 per 100 feet of well.

And I would like to address the fact that that was a draft guidance document, and it really is not in keeping with the sound hydrogeologic principles that would be put forth by the National Groundwater Association.

And I'm going to show us graphically why this is important to our assessment, and that these graphs that we just talked about, the roughly one-foot fluctuation water table
(WATER SUPPLY ISSUE)

for the last six hours of the test, are not really representative of what's going on and what is.

Looking at the two plots, start with Exhibit 82. Exhibit 82 shows the comprehensive test data from well R1. We see on it that using a semi-log plot versus an arithmetic plot, that we have a steady decrease in the amount of water that's

3489

10 available to the aquifer; in other words, we
11 are pumping out more water faster than the
12 aquifer can continuously replenish it. Then
13 we see when they decided to reduce the
14 discharge in an effort to reach some sort of
15 stabilized condition, also indicated on
16 Exhibit 82.

17 To make life easier, what I have done
18 is I've blown up that portion of the test seen
19 on Exhibit 82, we see it now on Exhibit 82A.
20 It's just a little piece of it, so we can see
21 it in detail.

22 Looking at this exhibit, what we see
23 is what really happens when we turn off the
24 higher flow rate in an aquifer is we're in the
25 condition where the cone of pumping influence
(WATER SUPPLY ISSUE)

□
1 is extended laterally outward for some great ³⁴⁹⁰
2 distance laterally. It may not be a circular
3 cone of depression because, in fact, we're in
4 a fractured bedrock situation, so it may be
5 anisotropic or unequal in different
6 directions.

7 And that's why we see evidence for a
8 mile away, different impacts from fracture
9 input, secondary porosity of the aquifer. So
10 things aren't equal in all directions but they
11 are drawing things down.

12 What happens? No matter what the
13 actual shape of that cone of depression is,
14 once we reduce the flow from about

15 78.5 gallons per minute as seen in the left
16 portion of Exhibit 82A, what we would expect
17 to happen is the water from the aquifer is
18 coming back in at a greater rate than it could
19 before because we've decreased the pumping
20 rate.

21 So we can break out what happens in
22 the aquifer as it starts to -- attempts to
23 recover with the reduced pumping rate into
24 three sections. That's what I have done in
25 this plot here.

(WATER SUPPLY ISSUE)

1 The first section we call the initial³⁴⁹¹
2 water level, or aquifer rebound, that occurs
3 with a decreased pumping rate. And that's
4 where we see the data points go up in
5 elevation on this graph, the drawdown
6 decreases. That's what's happening, is the
7 aquifer is rebounding. Water is coming back
8 in because suddenly we're pumping at a reduced
9 rate.

10 Then we have a very temporary period
11 of time where the data shows we have very
12 temporary stabilization of our data points,
13 and then in both, reduction and flow rates of
14 70 gallons per minute, and flow rate of
15 63 gallons per minute.

16 We take a look at the data up close --
17 a pretty nice set of data -- we see that,
18 again, just as in our initial flow rate of
19 78.5 gallons a minute, what we see is that the
20 aquifer is starting to have renewed drawdown.

21 If you look at my extensions, if I
22 were to project roughly how the flow would
23 continue with time, using a semi-logarithmic
24 plot, you would see, in fact, we don't have a
25 stable condition here at all. what we have is
(WATER SUPPLY ISSUE)

3492

1 renewed reduction in our discharge,
2 groundwater level is going to go down through
3 time. It may follow my line of best fit here
4 or it may become even steeper, for all we
5 know. And the only way we would know this of
6 course would be to run the test for a lot
7 longer period of time --

8 Here we put that fact that the
9 one-foot fluctuation that we saw in the
10 Applicant's three graphs really shouldn't be
11 bounded very narrowly on an arithmetic plot,
12 that we can break it down into the actual
13 mechanics of what's going on within the
14 aquifer. Let's discuss that in a little more
15 detail.

16 MR. GERSTMAN: Mr. Rubin, you're
17 reiterating, I believe, what Dr. Michalski has
18 already talked about in terms of this recovery
19 effect. That is that the physics of the
20 situation artificially heightens or
21 artificially suggests that there's greater
22 recharge or greater availability of water than
23 there would otherwise be just because of this
24 recovery effect?

25 MR. RUBIN: That's right. Let me go
(WATER SUPPLY ISSUE)

1 on and explain this a little further.
2 Mr. Dunn's letter further clarifies that the
3 New York State Department of Health's
4 definition of a stabilized pumping level does
5 not allow for the water level to continue
6 dropping during the stabilization period. I
7 suspect that the reason the New York State
8 Department of Health acknowledges that their
9 standards are "draft" is because it needs
10 detailed refinement when it comes to the
11 hydrogeologic assessment of "stabilized
12 pumping level" or equilibrium conditions.

13 In fact, six hours of water level data
14 collected after reducing the discharge of a
15 well is not likely to be able to demonstrate
16 any kind of stabilization or equilibrium
17 conditions.

18 The Applicant has carefully and
19 readily worked to take advantage of the draft
20 nature of the New York State Department of
21 Health draft standards even though final
22 sign-off, and probably evaluation, has not
23 occurred.

24 These draft standards, in their
25 current form, are not based on a rigorous
(WATER SUPPLY ISSUE)

□

1 hydrogeologic foundation. They require
2 significant modification and input from
3 hydrogeologists. No project water supply
4 should be approved based upon an incomplete
5 draft standard.

6 The New York State Department of
7 Health and Ulster County Department of Health
8 well test procedure used is very
9 unconventional and has some serious flaws.
10 I'll detail some of the biggest problems.

11 First, the most serious flaw with this
12 methodology. When you pump at a high rate and
13 then reduce the rate to get a steady state
14 condition, it might seem that this is a valid
15 worst-case approach because the well is being
16 stressed more than it would if only the
17 smaller pumping rate had been used all along.
18 However, when you decrease the pumping rate,
19 the water level rebounds a little bit, as we
20 saw in Figure 82A, and takes a while to
21 stabilize. After it has this initial
22 stabilization, then it begins to drop again.

23 For example: If you pump at one cubic
24 foot per second for 72 hours and then cut the
25 discharge to half of that, say 0.5 cubic feet
 (WATER SUPPLY ISSUE)

3495

1 per second, the drawdown curve will rise,
2 gradually level off and then start dropping
3 about half the original rate. But in the
4 transition between the two stable slopes,
5 there's an extended period when there's very
6 little fluctuation in water level when you
7 could easily meet the New York State
8 Department of Health requirements of less than
9 0.5-foot fluctuation. This is exactly the
10 situation we have seen in looking at the three

11 Vol. 14 (7-29-04crossroads)
graphs out of the Applicant's report.

12 But the well has not yet begun to
13 respond in our example, to the 0.5
14 cubic-foot-per-second pumping rate, and that
15 test would be invalid. This situation is
16 directly visible in the well R1 semi-log plot,
17 Exhibit 82A we're looking at here.

18 The reduced discharge simply has not
19 had adequate time to demonstrate the steeply
20 dropping drawdown data that would more fully
21 resemble the discharge, $Q = 78.5$ g.p.m. curve.

22 Yet, by the time of culmination of both the
23 reduced discharge rates, both the 70 gallons
24 per-minute and the 63 gallons per-minute
25 rates, the precipitous drop in water levels
(WATER SUPPLY ISSUE)

□

1 had already begun. We can see that both in ³⁴⁹⁶
2 Exhibits 82 and Exhibit 82A.

3 The short-term duration of the
4 Belleayre well test at the two reduced pumping
5 rates fails to provide sufficient data to
6 reliably define the slope and position of the
7 time-drawdown graph needed to predict drawdown
8 at different time intervals.

9 In other words, the length of the
10 lower discharge portions of the well test do
11 not reasonably meet the intent of testing or
12 stressing the aquifer at the new lowered
13 pumping rate since this test was not actually
14 conducted at a stabilized constant discharge
15 rate.

16 we heard previously, previous to my
Page 93

17 testimony, the same thing. If you're going to
18 analyze this information, we want a constant
19 rate test. It's a standard procedure in this
20 type of investigation.

21 So this straight alignment of drawdown
22 points indicates little or no aquifer
23 recharge. Thus, the six-hour plus or minus,
24 0.5-foot "acceptable" water level fluctuation
25 currently in the New York State Department of
(WATER SUPPLY ISSUE)

3497

1 Health draft standard requires significant
2 revision, as it will often result in a
3 completely erroneous well yield figure, as
4 happened here.

5 This is a major flaw in the current
6 draft of New York State Department of Health
7 standard, and can cause a serious
8 over-estimation of the well capacity, or what
9 we call the specific capacity of the well's
10 yield per unit of drawdown. And this can be
11 demonstrated, as you wanted, with any
12 groundwater software as well.

13 So this is a very serious flaw, and I
14 think it's probably good reason that the
15 Department of Health has this as a draft
16 guidance document. It should not be relied
17 upon in our assessment of water resources as a
18 finalized statement, and certainly would not
19 get a seal of approval from the National
20 Groundwater Association. At this point it
21 needs to be completely revamped.

Vol. 14 (7-29-04crossroads)
That's probably the most significant
flaw, but let me talk about the other flaws
with this Department of Health standard that
we're relying on as the proof that there's
(WATER SUPPLY ISSUE)

adequate water supply for this entire project. 3498

Altering the discharge during a well
test complicates the assessment of long-term
aquifer performance -- although it is still
possible to do so.

Assessment of boundary effects, we
heard about before, leakage, et cetera, are
greatly complicated; the effects may be masked
entirely by changing the discharge; our
coefficients of transmissivity and storativity
can be calculated from the straight-line
portion of this time drawdown curve for the
higher pumping rate, if any, but you have to
wait a long time, perhaps days or maybe far
longer, maybe months for the reduced flow to
stabilize enough to give a straight line.

Thus, as seen in Exhibit 82A, the
aquifer has not had sufficient opportunity
during the reduced discharge rate portions of
the well test to reasonably assess the aquifer
coefficients of T and S, transmissivity and
storativity.

Transmissivity is one of the two
most-important aquifer parameters in any sound
hydrogeologic characterization that a
(WATER SUPPLY ISSUE)

potential water supply must assess. 3499

2 The Applicant lacks the comprehensive
3 hydrogeologic data to fully characterize T and
4 S -- although we can do it peripherally based
5 on the limited data, it's really not complete.
6 Thus, potential approval of the Rosenthal
7 wells as a major water source should not have
8 been approved in the absence of comprehensive
9 and properly conducted and analyzed aquifer
10 testing in keeping with National Groundwater
11 Association approved hydrogeological methods,
12 such as those in Driscoll's Groundwater and
13 wells, and other authors -- Fedder, et cetera.

14 At this time, the project approval,
15 based on the analysis presented by the
16 Applicant, has the very real potential of
17 resulting in a large-scale project without
18 adequate water resources.

19 I'll repeat that. At this time
20 project approval, based on the analysis
21 presented by the Applicant, has the very real
22 potential of resulting in a large-scale
23 project without adequate resources.

24 I think we saw in the presentation
25 before mine that this aquifer has almost no
(WATER SUPPLY ISSUE)

□

1 storativity; its cone of influence can extend 3500
2 outwards of up to a mile. There are certain
3 preferential fracture sets that can only
4 provide so much water, and then the aquifer
5 just can't handle it.

6 We've seen that there are multiple

7 impacts going on simultaneously with
8 overlapping cones of depression of different
9 wells from Belleayre, from the Pine Hill water
10 supply, from homeowners up on the hill
11 involved in another project. They're
12 concerned about the same issue in the same
13 basin. That's a whole 'nother influence of
14 people who are going to be on this aquifer.

15 The approval of this project based on
16 this draft Department of Health guidance that
17 is not really soundly founded in accepted
18 hydrogeologic methodology would be a mistake.

19 I'll discuss this just a little
20 further: Non-pumping observation wells are
21 essential for a truly valid assessment of
22 storativity. Pumping results can be
23 extrapolated using a time drawdown plots
24 beyond the immediate areas of the pumping
25 wells, but not beyond the cone of depression.

(WATER SUPPLY ISSUE)

3501

1 This extrapolation is difficult and often
2 flawed if no observation wells -- or few
3 aerial observation wells or observation wells
4 with limited drawdown data are used.

5 The assessment of low permeability or
6 high permeability boundaries, for example,
7 relies strongly on multiple observation wells.
8 Multiple pumping wells can also be used to
9 some extent, but the data is not as reliable.

10 Importantly, the entire Rosenthal test
11 of the combined 3-well pumping only provides
12 detailed hydrogeological data specific to the

13 area immediately surrounding each of the three
14 pumped wells, and none of what is going on
15 very far afield in the surrounding bedrock
16 aquifer since no long-term continuous data
17 observation wells were used for the test.

18 Granted, they did use some, but the
19 data is very limited and it wasn't used -- it
20 wasn't plotted. We didn't see the Applicant
21 provide information on transmissivity and
22 storativity based on their calculations. None
23 of that was presented for this approval
24 process.

25 The project evaluation based on the
(WATER SUPPLY ISSUE)

1 proposed Rosenthal well water source must be ³⁵⁰²
2 based on a rigorous evaluation, hydrogeologic
3 assessment of the aquifer, such that standard
4 calculations of transmissivity and storativity
5 can be made.

6 It's interesting to note that the
7 Applicant did analyze for T and S in their
8 evaluation of the Wildacres Resort and
9 Highmount Golf Club, Highmount Estates water
10 supply -- yet not for this.

11 Hydrogeologic testing and limited
12 non-conventional "draft" New York State
13 Department of Health guidance at this time
14 does not provide sufficient documentation of
15 an adequate ground water supply.

16 Hydrogeologic testing of the Rosenthal
17 wells should be completely redone in

18 Vol. 14 (7-29-04crossroads)
accordance with the National Groundwater
19 Association accepted procedures.

20 I'd like to say in support of my
21 colleagues, Dr. Michalski's bedrock fracture
22 model -- if we can turn our attention for a
23 minute to Exhibit 84 and Exhibit 61.

24 Exhibit 61, first, is a GIS,
25 Geographic Information System, map, depicting
(WATER SUPPLY ISSUE)

1 the locations of the Rosenthal wells and the ³⁵⁰³
2 two observation wells that were used in a
3 limited extent during that Rosenthal test,
4 both Residential well 1 and Residential
5 well 4, those being the two that were
6 impacted.

7 what we see -- if we take a look --
8 excuse me, turn to Exhibit 62. 62, wrong
9 figure there.

10 MR. GERSTMAN: We're not referring to
11 61 at this point?

12 MR. RUBIN: No.

13 MR. GERSTMAN: Pine Hill water supply?

14 MR. RUBIN: Pine Hill water supply,
15 the locations are portrayed on a GIS map I
16 constructed shown here as Exhibit 62. On this
17 map, we portray the Station Road well which
18 was pumped for a period of time, and other
19 wells in the area were monitored to see if
20 drawdown occurred -- as observation wells.

21 Two of those wells, Pine Hill 1 and
22 Pine Hill 2, did show substantial drawdown
23 during this pumping of Station Road well. The

24 distance between Station Road well and Pine
25 Hill 1 and 2 is on the order of about
(WATER SUPPLY ISSUE)

1 1800 feet. So on this figure, depicted as a ³⁵⁰⁴
2 dashed red line, I just point out that there's
3 a hydraulic link because when they pumped the
4 Station Road well, the Pine Hill water levels
5 decreased.

6 Now, the fact that we have such a
7 significant distance between the pumping --
8 one well is pumped and the others that are far
9 away -- is quite significant and certainly
10 goes to help support Dr. Michalski's bedrock
11 fracture model; that we have this
12 cross-connected fracture in the bedrock
13 system, we have anisotropic aquifer condition,
14 and that we must recognize in this situation
15 that not only are we drawing water from far
16 afield in different fractures -- as pointed
17 out by my colleague -- we're drawing water
18 from Birch Creek itself, and all of this is
19 impacting the aquifer. It's drawing it down.
20 And the term that was used by my colleague of
21 mining of groundwater certainly applies to the
22 situation.

23 There's a very high potential that if
24 this project were approved at this time based
25 on these draft Department of Health guidance
(WATER SUPPLY ISSUE)

1 standards, that we would, in fact, be mining ³⁵⁰⁵
2 the groundwater supply.

3 At the same time, we'd be impacting
4 the ski resort's water potential; we'd be
5 impacting some clients of mine who are just up
6 the hill from this site, whose wells are
7 fractured bedrock.

8 Their wells -- I just want to mention
9 this as an aside -- I have four homeowners I'm
10 representing up there. At least one of the
11 wells is over 600 feet deep. Why are they
12 concerned? Three out of four of these wells
13 seasonally go virtually dry, they dewater.
14 They can barely water their lawns from them.
15 They're on the same fractured anisotropic
16 bedrock aquifer system.

17 Their concern -- and they're in the
18 same area here -- their concern is if 17 new
19 houses go up around them, which is the current
20 proposal -- that first, they can barely get
21 enough water themselves now. If 17 house ring
22 them with new groundwater supplies, that
23 they'll be adversely impacted.

24 So the concern is very serious,
25 especially when we see how far afield we have
(WATER SUPPLY ISSUE)

1 drawdown occurring. So mining of groundwater³⁵⁰⁶
2 is very likely what will be going on here if
3 we continue with this approval process.

4 So really, we need to seek -- or maybe
5 work with the Department of Health, upgrade
6 their draft guidance standards in concert with
7 the National Groundwater Association, reliable
8 groundwater testing procedures.

9 If we're going to attempt to rely on
10 this water source, we need to really redo the
11 whole test. And we certainly need to apply
12 standard methodologies to calculate
13 transmissivity and storativity.

14 So we are not in a position now to
15 comfortably use this water supply and -- with
16 the knowledge that there will be no adverse
17 impact to nearby homeowners, to the Pine Hill
18 water supply, to the Belleayre Resort, or that
19 there will be enough water to run the project
20 itself.

21 MR. GERSTMAN: Any questions, Judge?

22 ALJ WISSLER: No.

23 MR. GERSTMAN: May I have a few
24 moments?

25 ALJ WISSLER: Yes.
 (WATER SUPPLY ISSUE)

□

3507

1 (1:17 P.M. - BRIEF PAUSE.)

2 MR. GERSTMAN: Just to clarify, the
3 17-home subdivision that Mr. Rubin is
4 referring to are not homes that are associated
5 with this project. It's a separate
6 application for a subdivision.

7 Mr. Rubin's previous offer of proof
8 was submitted as Exhibit -- Exhibits E and F
9 accompanying our petition.

10 Mr. Rubin, let me suggest that when we
11 were taking issue with the draft DOH standard,
12 we're not here to suggest that in this forum
13 that DOH ought to redraft those standards or

Vol. 14 (7-29-04crossroads)
14 those guidelines at this point.

15 What we're offering to your Honor is
16 that the methodology that was used by
17 Crossroads to evaluate the availability of
18 water supply didn't meet acceptable and
19 standard methodologies that are known
20 throughout the profession and accepted
21 throughout the profession.

22 There are some real issues with
23 following a draft guidance document, but our
24 real concern is that the methodologies used
25 didn't follow standard procedures, as you
(WATER SUPPLY ISSUE)

3508

1 heard from Dr. Michalski and Mr. Rubin.

2 I'd like to take a few moments for
3 Dr. Michalski to describe the physics of the
4 recovery effect. I don't know if you want to
5 do that now or you want to come back from
6 lunch.

7 ALJ WISSLER: How long is it going to
8 be? I would like to complete your
9 presentation.

10 MR. GERSTMAN: I don't know how long
11 it's going to be. I just sprung this on him.

12 How long would it take you to describe
13 the physics of the recovery effect just so we
14 can understand it?

15 DR. MICHALSKI: Five minutes. I don't
16 have much -- just general.

17 MR. GERSTMAN: Just the notion of --
18 there's a lot been said about the pump tests
19 that were done in April 2004, and the lack of

20 reliability based upon this recovery effect.
21 I'd like you to comment to the Judge upon the
22 physics of the recovery effects and how it
23 skews, essentially, the test results.

24 DR. MICHALSKI: The test conducted,
25 the latest one, the April 2004 test, was -- I
(WATER SUPPLY ISSUE)

1 would say, a bit of hydrogeologic gimmickry to ³⁵⁰⁹
2 satisfy certain requirements. They know how
3 to do it. Data doesn't mean anything. They
4 used recovery effect for this.

5 when we discussed this theoretical
6 model, when I tried to present the slab
7 assumption behind it, it's only for the
8 pumping well, only for the pumping condition.

9 You have homogenous aquifers is the
10 only source of water, it's confined, its
11 storage is the only source of water. So this
12 model cannot explain recover because this
13 should be -- so recovery, theoretical model
14 assume that there is an injection well.

15 when you start pumping, at that time
16 there's an injection well which goes into
17 effect. So you continue pumping, and another
18 injection well is going on. So this is a
19 basic for this. The moment you start pumping,
20 there's another injection effect. So you have
21 in extra water recovery going on.

22 Based on this theoretical model, your
23 duration of the recovery should not be longer
24 than pumping phase. And the recovery phase

25 allows you -- gives you a second chance to
(WATER SUPPLY ISSUE)

1 look at the aquifer boundary, at the aquifer
2 situation derived.

3510

3 And this look from point of view of
4 recovery, as I mentioned before, is not good
5 because what it tells -- that the
6 recovery -- while it's immediately fast
7 initially, because it takes over five days or
8 a week and water level cannot recover -- even
9 during springtime when you have no -- April,
10 you have plenty of water.

11 So this situation -- this is why I
12 refer to this as mining, effect of
13 over-pumping. But in this particular context
14 of this regulation, what it means, it means
15 when you lower a pumping well, it looks like
16 you work additional injection well
17 theoretically going on to make up for this.
18 So you get this rebound effect, which Alpha
19 cleverly used to satisfy to set a standard,
20 which is not good.

21 This standard -- I'm not
22 criticizing -- is good for small development,
23 residential, when your pumping rates or
24 pumping needs a couple gallons a minute or
25 10 gallons a minute, but it should never be
(WATER SUPPLY ISSUE)

1 applied, even in this forum, to something --
2 to 100 gallons a minute, because that's
3 actually the pumping of sustained pumping;
4 because homeowner pump water on and off, it's

3511

5 intermittent. So you have recovery effect in
6 between.

7 What Applicant proposes is a constant
8 pumping rate, particularly at the critical
9 time of the year, late summer, early fall,
10 because my whole presentation concentrates
11 around this time.

12 This test actually cannot be evaluated
13 because of the basic condition of constant
14 repumping was not satisfied. It was, as I
15 mentioned, a type of constant drawdown test,
16 so assumption of the test was to keep drawdown
17 constant after some -- utilizing this rebound
18 effect.

19 What I'm saying to that, they did it
20 by choking the pumping rate -- cut back, cut
21 back, cut back. So continue on this path for
22 a month, and then you would see how much water
23 you can get, what would be surreal pumping
24 rate from this aquifer.

25 Of course, it still doesn't mean that
(WATER SUPPLY ISSUE)

1 you solve all these cumulative impacts because ³⁵¹²
2 there's other pumping, there's still lots of
3 drawdown development. But that gives you an
4 idea about how much you could get.

5 MR. GERSTMAN: Thank you. Two final
6 points.

7 Dr. Michalski, you heard Mr. Rubin's
8 testimony. Do you agree with his analysis and
9 his conclusions?

Vol. 14 (7-29-04crossroads)
DR. MICHALSKI: Yes, I do.

10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15

MR. GERSTMAN: Judge, we will, of course, be briefing this issue. We believe we have offered substantive and significant issues for adjudication here, both in terms of the methodology used, but also in terms of the impact on other water users and the cumulative impact of this project and the Belleayre Ski Resort expansion, which we believe is forthcoming sometime, on the water supply in this area, but that will be subject to my brief.

ALJ WISSLER: Anything before we break?

MS. BAKNER: No.

ALJ WISSLER: It's 1:25 now. 2:15.
(WATER SUPPLY ISSUE)

3513

(1:25 - 2:39 p.m. - LUNCHEON RECESS
TAKEN.)

ALJ WISSLER: Ms. Bakner and Mr. Ruzow.

MS. BAKNER: First of all, I would like to go through the list of exhibits that we just introduced in connection with water supply, groundwater and surface water.

Just to refresh everybody's recollection, we put in expert resumes a number of weeks ago for Gary Kerzic, Mary Beth Bianconi, Sam Gowan and Mike Palleschi, as well as Steve Trader; and they are our experts to discuss these issues.

Exhibit 97 is a document that details
Page 107

16 the experience of Delaware Engineering in the
17 New York City watershed and all the projects
18 that they have been involved in. We put this
19 on here to show that they worked in many of
20 the areas around here, including the Town of
21 Windham, the Village of Hunter and the Village
22 of Fleischmanns, and they worked on both water
23 supplies as well as wastewater systems.

24 (DELAWARE ENGINEERING NYS WATERSHED
25 PROJECT EXPERIENCE RECEIVED AND MARKED AS
□ (WATER SUPPLY, GROUNDWATER & SURFACE WATER ISSUE)

3514

1 APPLICANT'S EXHIBIT NO. 97, THIS DATE.)

2 MS. BAKNER: We also have a letter
3 dated July 28, 2004 from Steve Trader of Alpha
4 Geoscience addressed to Alex Ciesluk of New
5 York State DEC, and the purpose of this letter
6 is to provide a comprehensive response to the
7 comments made by Mr. Habib on the last day of
8 Issues Conference on this topic.

9 what this letter does -- I'll have
10 Steve address this later -- is basically go
11 through all of the questions that Mr. Habib
12 had regarding Table 1A in a fashion that
13 should be a little bit easier to understand
14 than merely the verbal presentation.

15 (LETTER DATED 7/28/04 FROM STEVE
16 TRADER TO ALEX CIESLUK RECEIVED AND MARKED AS
17 APPLICANT'S EXHIBIT NO. 98, THIS DATE.)

18 MS. BAKNER: Next we have geological
19 cross sections prepared by Alpha Geoscience.
20 Exhibit 99A, first one, is a Cross Section

21 vol. 14 (7-29-04crossroads)
21 Location Map.

22 (CROSS SECTION LOCATION MAP RECEIVED
23 AND MARKED AS APPLICANT'S EXHIBIT NO. 99A,
24 THIS DATE.)

25 MS. BAKNER: Next one is cross section
(WATER SUPPLY, GROUNDWATER & SURFACE WATER ISSUE)

3515

1 A-A', 99B.

2 (CROSS SECTION A-A' RECEIVED AND
3 MARKED AS APPLICANT'S EXHIBIT NO. 99B, THIS
4 DATE.)

5 MS. BAKNER: And 99C is cross section
6 B-B', and Alpha Geoscience will discuss these
7 later on.

8 (CROSS SECTION B-B' RECEIVED AND
9 MARKED AS APPLICANT'S EXHIBIT NO. 99C, THIS
10 DATE.)

11 MS. BAKNER: Exhibit 100 is a
12 compilation of documents. What these are,
13 your Honor, is a copy of the communications
14 between Alpha Geoscience and Global Water
15 Sensor Samplings and Systems, specifically the
16 president of the company, John Dickerman,
17 regarding the calibration of the flow meter.
18 And Steve and Dr. Gowan have brought the flow
19 meter here today just in case you had any
20 follow-up questions regarding that particular
21 issue.

22 (FLOW METER EXHIBITS RECEIVED AND
23 MARKED AS APPLICANT'S EXHIBIT NO. 100, THIS
24 DATE.)

25 MS. BAKNER: The next exhibit is
(WATER SUPPLY, GROUNDWATER & SURFACE WATER ISSUE)

1 Exhibit 101, which is "Pumping Test Dates and
2 Conditions of the Big Indian Well Field."

3 ("PUMPING TEST DATES AND CONDITIONS
4 OF BIG INDIAN PLATEAU WELL FIELD" RECEIVED AND
5 MARKED AS APPLICANT'S EXHIBIT NO. 101, THIS
6 DATE.)

7 MS. BAKNER: 102 is the Big Indian
8 Plateau Capacities of Water Supply Sources.

9 ("BIG INDIAN PLATEAU CAPACITIES OF
10 WATER SUPPLY SOURCES" RECEIVED AND MARKED AS
11 APPLICANT'S EXHIBIT NO. 102, THIS DATE.)

12 MS. BAKNER: 103 is a comment letter
13 from Steve Trader at Alpha Geoscience to Alex
14 Ciesluk at DEC asking for points of
15 clarification with respect to the draft water
16 supply permit issued by DEC, which has since
17 apparently been superseded.

18 (COMMENT LETTER DATED 6/21/04 FROM
19 STEVEN TRADER TO ALEX CIESLUK RECEIVED AND
20 MARKED AS APPLICANT'S EXHIBIT NO. 103, THIS
21 DATE.)

22 MS. BAKNER: Exhibit 104 is a very
23 large map depicting the Existing and Proposed
24 Public Water Supplies in the Vicinity of the
25 Belleayre Resort at Catskill Park.
(WATER SUPPLY, GROUNDWATER & SURFACE WATER ISSUE)

1 (MAP DEPICTING "EXISTING AND PROPOSED
2 PUBLIC WATER SUPPLIES IN THE VICINITY OF THE
3 BELLEAYRE RESORT AT CATSKILL PARK" RECEIVED
4 AND MARKED AS APPLICANT'S EXHIBIT NO. 104,
5 THIS DATE.)

6 Vol. 14 (7-29-04crossroads)
MS. BAKNER: Exhibit 105 is the Public
7 Service Commission order denying the Pine Hill
8 Water Coalition's petition for rehearing.

9 (PSC ORDER DENYING PINE HILL WATER
10 COALITION PETITION FOR REHEARING ISSUED AND
11 EFFECTIVE 3/14/02 RECEIVED AND MARKED AS
12 APPLICANT'S EXHIBIT NO. 105, THIS DATE.)

13 MS. BAKNER: Exhibit 106 is the Public
14 Service Commission order denying the petition
15 and the Pine Hill water Coalition Complaint
16 issued and effective November 1st, 2001.

17 I would just point out for the record
18 that attached to that decision should be a
19 report on the water supply prepared by Jack
20 Aganski [sic].

21 (PSC ORDER DENYING PETITION AND PINE
22 HILL WATER COALITION COMPLAINT ISSUED AND
23 EFFECTIVE 11/1/01 RECEIVED AND MARKED AS
24 APPLICANT'S EXHIBIT NO. 106, THIS DATE.)

25 MS. BAKNER: The next exhibit is
(WATER SUPPLY, GROUNDWATER & SURFACE WATER ISSUE)

1 Exhibit 107, which was Whiteman, Osterman & ³⁵¹⁸
2 Hanna's response to the Pine Hill water
3 Coalition's Application to the Public Service
4 Commission dated July 5th, 2001.

5 (WHITEMAN, OSTERMAN & HANNA RESPONSE
6 TO PINE HILL WATER COALITION APPLICATION TO
7 PSC DATED 7/5/01 RECEIVED AND MARKED AS
8 APPLICANT'S EXHIBIT NO. 107, THIS DATE.)

9 MS. BAKNER: And Exhibit 108 is the
10 Pine Hill Water Coalition Petition to the
11 Public Service Commission dated June 11th,

12 2001.

13 (PINE HILL WATER COALITION PETITION
14 TO PSC DATED 6/11/01 RECEIVED AND MARKED AS
15 APPLICANT'S EXHIBIT NO. 108, THIS DATE.)

16 MS. BAKNER: Exhibit 109 is the
17 petition to the Public Service Commission for
18 the transfer of assets from the Pine Hill
19 Water Company to the Town of Shandaken, and
20 that's dated 11/15/02.

21 (PETITION TO PSC FOR TRANSFER OF
22 ASSETS DATED 11/15/02 RECEIVED AND MARKED AS
23 APPLICANT'S EXHIBIT NO. 109, THIS DATE.)

24 MS. BAKNER: Exhibit 110 is the Public
25 Service Commission order approving the asset
(WATER SUPPLY, GROUNDWATER & SURFACE WATER ISSUE)

3519

1 transfer.

2 (PSC ORDER CASE 02-W-1442 APPROVING
3 ASSET TRANSFER FOR PINE HILL WATER COMPANY TO
4 TOWN OF SHANDAKEN DATED 3/20/03 RECEIVED AND
5 MARKED AS APPLICANT'S EXHIBIT NO. 110, THIS
6 DATE.)

7 MS. BAKNER: Exhibit 111 is the Albany
8 County Supreme Court's Amended Decision dated
9 July 16, 2003 regarding the appeal by the Pine
10 Hill Water District Coalition, and others, of
11 DEC's issuance of a modified water supply
12 permit to the Pine Hills Water Company. And
13 that has already been entered -- the permit
14 has been entered already as Applicant's
15 Exhibit 56.

16 (ALBANY COUNTY SUPREME COURT AMENDED

17 Vol. 14 (7-29-04crossroads)
18 DECISION DATED 7/16/03 RECEIVED AND MARKED AS
19 APPLICANT'S EXHIBIT NO. 111, THIS DATE.)

20 MS. BAKNER: Next is the original
21 decision by the Albany County Supreme Court as
22 Exhibit 112, and that's dated April 25th,
23 2003.

24 (ORIGINAL ALBANY COUNTY SUPREME COURT
25 DECISION DATED 4/25/03 RECEIVED AND MARKED AS
APPLICANT'S EXHIBIT NO. 112, THIS DATE.)
(WATER SUPPLY, GROUNDWATER & SURFACE WATER ISSUE)

3520

1 MS. BAKNER: Exhibit 113 is
2 simultaneously the application to transfer the
3 Pine Hill water company's water supply permit
4 to the Town of Shandaken, and the actual
5 transfer itself.

6 (PINE HILL WATER COMPANY APPLICATION
7 TO TRANSFER WSA DATED 4/7/03 RECEIVED AND
8 MARKED AS APPLICANT'S EXHIBIT NO. 113, THIS
9 DATE.)

10 MS. BAKNER: Exhibit 114 is the letter
11 dated August 8th from Mary Beth Bianconi to
12 Alex Ciesluk.

13 (LETTER DATED 8/8/02 FROM MARY BETH
14 BIANCONI TO ALEX CIESLUK RECEIVED AND MARKED
15 AS APPLICANT'S EXHIBIT NO. 114, THIS DATE.)

16 MS. BAKNER: Exhibit 115 is a letter
17 dated August 5th, 2002 from Whiteman, Osterman
18 & Hanna to Alex Ciesluk regarding the Pine
19 Hill system.

20 (LETTER DATED 8/5/02 FROM WHITEMAN,
21 OSTERMAN & HANNA TO ALEX CIESLUK RECEIVED AND
22 MARKED AS APPLICANT'S EXHIBIT NO. 115, THIS

23 DATE.)

24 MS. BAKNER: There's a letter dated
25 June 28th, '02, which is Exhibit 116, another
(WATER SUPPLY, GROUNDWATER & SURFACE WATER ISSUE)

1 letter from whiteman, Osterman & Hanna to Alex ³⁵²¹
2 Ciesluk.

3 (LETTER DATED 6/28/02 FROM WHITEMAN,
4 OSTERMAN & HANNA TO ALEX CIESLUK RECEIVED AND
5 MARKED AS APPLICANT'S EXHIBIT NO. 116, THIS
6 DATE.)

7 MS. BAKNER: Exhibit 117 is a letter
8 dated August 7th, 2001 from whiteman, Osterman
9 & Hanna to Alex Ciesluk, again, regarding the
10 Pine Hill water supply permit.

11 (LETTER DATED 8/7/01 FROM WHITEMAN,
12 OSTERMAN & HANNA TO ALEX CIESLUK RECEIVED AND
13 MARKED AS APPLICANT'S EXHIBIT NO. 117, THIS
14 DATE.)

15 MS. BAKNER: Exhibit 118 is the DEC
16 Notice of Completion of the request for a
17 modified water supply permit by the Pine Hill
18 Water Company.

19 (NYSDEC NOTICE OF COMPLETION OF WSA
20 BY THE PINE HILL WATER COMPANY DATED 5/24/02
21 RECEIVED AND MARKED AS APPLICANT'S EXHIBIT NO.
22 118, THIS DATE.)

23 MS. BAKNER: Exhibit 119 is a letter
24 dated June 13, 2002 from Mary Beth Larkin,
25 Delaware Engineering, to Alex Ciesluk.
(WATER SUPPLY, GROUNDWATER & SURFACE WATER ISSUE)

1 (LETTER DATED 6/13/02 FROM MARY BETH ³⁵²²

2 Vol. 14 (7-29-04crossroads)
LARKIN TO ALEX CIESLUK RECEIVED AND MARKED AS
3 APPLICANT'S EXHIBIT NO. 119, THIS DATE.)

4 MS. BAKNER: Exhibit 120 is the Pine
5 Hill water Company application for a
6 modification of a public water supply permit.
7 The application is dated 4/3/01.

8 (PINE HILL WATER COMPANY APPLICATION
9 FOR MODIFICATION OF A PUBLIC WATER SUPPLY
10 PERMIT DATED 4/3/01 RECEIVED AND MARKED AS
11 APPLICANT'S EXHIBIT NO. 120, THIS DATE.)

12 MS. BAKNER: Exhibit 121 are the
13 public comment letters previously provided to
14 the DEC regarding the Pine Hill water supply
15 application modification.

16 MR. RUZOW: There are actually two
17 letters that should be attached as part of
18 that one exhibit.

19 (PUBLIC COMMENT LETTERS PROVIDED TO
20 NYSDEC REGARDING PINE HILL WSA MODIFICATION
21 RECEIVED AND MARKED AS APPLICANT'S EXHIBIT NO.
22 121, THIS DATE.)

23 MS. BAKNER: Next exhibit is 122,
24 which is a letter dated July 28, 2004 from
25 Steve Trader, Alpha Geoscience, to Alex
(WATER SUPPLY, GROUNDWATER & SURFACE WATER ISSUE)

1 Ciesluk, and this is the response to comments³⁵²³
2 on the water budget prepared by Alpha
3 Geoscience.

4 (LETTER DATED 7/28/04 FROM STEVEN
5 TRADER TO ALEX CIESLUK RECEIVED AND MARKED AS
6 APPLICANT'S EXHIBIT NO. 122, THIS DATE.)

7 MS. BAKNER: Exhibit 123 is a table
Page 115

8 entitled, "Wildacres Resort - Source Versus
9 Demand Calculation."

10 ("WILDACRES RESORT - SOURCE VERSUS
11 DEMAND CALCULATION" RECEIVED AND MARKED AS
12 APPLICANT'S EXHIBIT NO. 123, THIS DATE.)

13 MS. BAKNER: This is 124.

14 (FIGURE(11 BY 17) MAP ENTITLED,
15 "PUMPING TEST MONITORING LOCATIONS" RECEIVED
16 AND MARKED AS APPLICANT'S EXHIBIT NO. 124,
17 THIS DATE.)

18 MS. BAKNER: Lastly, we have Exhibit
19 125, which are photographs taken from the
20 worldwide web of the Pepacton Reservoir during
21 the drought in December of 2001.

22 (PHOTOGRAPHS TAKEN OF PEPACTON
23 RESERVOIR ON 12/20/01 RECEIVED AND MARKED AS
24 APPLICANT'S EXHIBIT NO. 125, THIS DATE.)

25 MS. BAKNER: The experts for CPC have
(WATER SUPPLY, GROUNDWATER & SURFACE WATER ISSUE)

□

1 maintained that our studies were insufficient,
2 that they didn't follow appropriate protocol,
3 and that somehow we did not provide sufficient
4 information in the DEIS.

5 So what I'd like to start out doing is
6 recounting where in the Draft Environmental
7 Statement we cover the very important
8 groundwater, surface water and water supply
9 sources. Section 2.2.1, C4. Section 2.2.1,
10 D4. Section 2.23, which addresses potable
11 water supply. Section 2.25, which addresses
12 irrigation water supply. Section 2.46, which

13 vol. 14 (7-29-04crossroads)
14 is energy and materials management, with
15 special attention to water use and
16 conservation. Section 37.1, geologic and
17 topographical resources. Section 3.2, surface
18 water resources. Section 3.3, groundwater
19 resources. Section 5.4, alternative water
20 supplies, which runs to several pages,
21 evaluating existing systems in the vicinity of
22 our proposed water supply.

23 volume 2, Appendix 2 contains the DEC
24 permit application, and I just want to note
25 for the record that those applications and the
26 water supply report found in volume 3,
(WATER SUPPLY, GROUNDWATER & SURFACE WATER ISSUE)

3525

1 Appendix 7 have all been superseded by the
2 Conceptual Design Reports for wildacres and
3 Big Indian which are Exhibits 51A through D,
4 including the revised applications themselves.

5 volume 6, Appendix 16 of the DEIS
6 contains a discussion of the use of treated
7 wastewater for golf course irrigation. Volume
8 7, Appendix 19 goes through a comprehensive
9 surface water and groundwater assessment of
10 the Big Indian Plateau and wildacres, as well
11 as Appendix 19A goes through the water budget
12 analysis.

13 The importance of the Conceptual
14 Design Reports is that there were rather --
15 there were changes between the Draft
16 Environmental Impact Statement and the
17 Conceptual Design Report that reflected
18 different manner in which we propose to do

19 irrigation, and reflected our desire to use
20 R1, R2 and R3 interchangeably for potable and
21 irrigation water. So the best description of
22 our proposed water system is in there.

23 The way we would like to start out is
24 addressing the geological and hydrogeological
25 issues, and Dr. Gowan and Mr. Trader, if you
(WATER SUPPLY, GROUNDWATER & SURFACE WATER ISSUE)

□

1 could run through your qualifications again
2 for the record, that would be extremely
3 helpful.

3526

4 DR. GOWAN: I'm Sam Gowan, I have a
5 Ph.D. in geology from Texas A & M University.
6 I also have a Master of Science Degree from
7 Texas A & M University, and a Bachelor of Arts
8 Degree all with majors in geology.

9 I have been with Alpha Geoscience
10 since 1992. Before that, I was with Dunn
11 Geoscience, which I started there in 1986. As
12 of now, I have over 22 years of experience in
13 geology and hydrogeological consulting.

14 My primary experience has been in the
15 evaluation of groundwater resources, both
16 water supply, and also evaluating impacts of
17 groundwater and surface water resources. This
18 includes doing water budget analysis, doing
19 evaluations of streamflow, doing pumping test
20 analysis, and other related investigations.

21 MR. TRADER: I'm Steve Trader, I have
22 a Bachelor's, BS, in geology from Virginia
23 Tech. and graduate school hours at Old

24 Dominion University. I've been with Alpha

25 Geoscience since 1994, and involved with all
(WATER SUPPLY, GROUNDWATER & SURFACE WATER ISSUE)

3527

1 sorts of geological and hydrogeological
2 projects involving pumping tests, fracture
3 trace analysis, water budgets. I've been
4 involved with a lot of contamination issues,
5 petroleum contamination and environmental
6 impacts.

7 Many of the same projects that Sam has
8 worked on, I've also been there as well,
9 doubled up on a lot of things.

10 MS. BAKNER: Dr. Gowan, can you
11 explain what professional organizations you or
12 your company belong to?

13 DR. GOWAN: We are a member of the
14 National Groundwater Association. We're also
15 working in the Geological Society -- I'm
16 personally in the Geological Society of
17 America; Association of Engineering Geology;
18 the American Institute of Professional
19 Geologists; the Hudson-Mohawk Professional
20 Geology Association, which I was a founder and
21 a past president.

22 The New York State Council of
23 Professional Geology, of which I am the
24 president now, and have been the secretary in
25 the past. That's an organization for
(WATER SUPPLY, GROUNDWATER & SURFACE WATER ISSUE)

3528

1 promoting professional license for geologists
2 in New York State. I'm also a member of the
3 Solution Mining Research Institute. I think

4 that covers most of it.

5 MS. BAKNER: At this point, what we
6 would like to do for your Honor is describe
7 the studies that we've done on the site before
8 we rush into responding to the allegations
9 from this morning. We think it's important to
10 give you an overview of what we have done on
11 the site and the studies.

12 Steve, if you could go ahead and do
13 that.

14 MR. TRADER: What I'd like to do is
15 talk about some of the responsibilities that
16 Alpha Geoscience was asked to address, and
17 then I'll briefly give some details on some of
18 the pumping tests that we performed, other
19 water studies we've done for the project, and
20 I would like to start by -- like I said, going
21 about what we were asked to do.

22 Primary thing we were asked was to
23 evaluate the potential for water supply
24 sources to meet the project demands of Big
25 Indian and Wildacres Resort. We were asked to
(WATER SUPPLY, GROUNDWATER & SURFACE WATER ISSUE)

□

1 assess the potential impacts that the use of³⁵²⁹
2 these water supplies might have on the
3 existing community water supplies, as well as
4 the local surface water sources such as
5 streams and wetlands, also various springs
6 that might exist in the area. We were also
7 asked to address or assess the impacts of
8 these wells on existing private residential

9 wells.

10 Also, in general, what would be the
11 project development impact to the groundwater
12 and surface water resources of the area.
13 Those are our main responsibilities.

14 I'd like to give you -- point out a
15 few site features.

16 ALJ WISSLER: You're referring to
17 what? Where is this?

18 MS. BAKNER: This is Applicant's
19 Exhibit 104.

20 MR. TRADER: Many of these features
21 we're all pretty familiar with by now. We
22 have the Big Indian Resort area which is on
23 the southeast side of a drainage and
24 groundwater divide that separates it from the
25 wildacres Resort project area to the
(WATER SUPPLY, GROUNDWATER & SURFACE WATER ISSUE)

3530

1 northwest. (Indicating)

2 This divide here occurs approximately
3 where Highmount is, which is where we would
4 meet for several of the outings that we did in
5 the field. (Indicating)

6 The Belleayre Ski Area is located
7 between the projects, right here, between both
8 wildacres and Big Indian. Some of the
9 existing water supplies, public water supplies
10 in the area.

11 We have the Village of Fleischmanns,
12 which has a series of wells and springs. The
13 springs are located just north of the project
14 boundary of wildacres, just below the railroad

15 tracks, and above Route 28. Fleischmanns has
16 three wells, wells 1, 2 and 3. Well 1 and 2
17 are located down in the Emory Brook Valley.
18 Those are each bedrock wells. Well 3 is
19 located between Route 28 and the Village
20 Springs. It's also a bedrock well.

21 (Indicating)

22 The Belleayre Ski Center recently
23 installed three water supply wells for their
24 potable demand. They're labeled here as 1, 2
25 and 3. They're located on the east side of
(WATER SUPPLY, GROUNDWATER & SURFACE WATER ISSUE)

3531

1 the Highmount groundwater divide at the
2 western end of Crystal Spring Brook Valley.
3 (Indicating)

4 The Pine Hill Water District, which
5 services the hamlet of Pine Hill, has as its
6 sources a series of springs and wells. Bonnie
7 View Springs, which we visited in the field in
8 the end of May, are located up towards Crystal
9 Spring Brook Valley, right below the railroad
10 tracks. There's three different spring houses
11 there that feed into a reservoir. There's a
12 nearby well, PH-1, also located along Crystal
13 Spring Brook. (Indicating)

14 MR. RUZOW: Is that a bedrock well?

15 MR. TRADER: This is also a bedrock
16 well. Another bedrock well is located further
17 down Crystal Spring Brook Valley to the
18 southeast, it's Station Road well; and Silo B
19 Spring and Station Road Spring are also

20 vol. 14 (7-29-04crossroads)
located right in that same area near the
21 junction of Station Road and Bonnie View Road.
22 (Indicating)

23 The Pine Hill Water District starts up
24 near Bonnie View Springs and extends down the
25 Crystal Spring Brook Valley, until where it
(WATER SUPPLY, GROUNDWATER & SURFACE WATER ISSUE)

1 joins with Birch Creek Valley, slightly to 3532
2 north, northwest, as well as continuing down
3 valley past the New York State DEC day use
4 area. It goes beyond the Rosenthal well
5 field, and ends at the DEP's wastewater
6 treatment plant for the village. (Indicating)

7 The proposed sources for Big Indian
8 Plateau are located just down valley,
9 downstream from the day use facility of the
10 DEC. There are three wells there, wells R1,
11 R2 and R3, and they are all three bedrock
12 wells.

13 Another water source for the project
14 is Silo A Spring, which is located over a mile
15 to the northwest, up Birch Creek and up into
16 Crystal Spring Brook Valley. (Indicating)

17 DR. GOWAN: I want to mention, your
18 Honor, before we jump -- there's some colored
19 areas that are marked on here. These are
20 recharge areas for water supply features down
21 slope. The green is recharge area for the
22 Fleischmanns' system, the blue is in the
23 recharge area for Pine Hill -- Bonnie View
24 Springs and the Pine Hill system, and the
25 purple is the recharge area for the Silo A and

1 Station Road facilities. (Indicating)

2 ALJ WISSLER: Just as an aside, the
3 broken line there that runs around Pine Hill,
4 is that the borders of the Pine Hill water
5 District? Do you see where I'm talking about?

6 MR. TRADER: Kind of a rectangular?

7 ALJ WISSLER: Yes.

8 MR. TRADER: Yes. I believe that
9 approximates it.

10 MS. BAKNER: For everybody's
11 reference, the cross sections are Applicant's
12 Exhibit 99A, B and C.

13 MR. TRADER: I'll first show a map
14 that shows the locations of where the cross
15 sections have been generated. (Indicating)

16 MR. RUZOW: That's 99A.

17 MR. TRADER: On the right here, I have
18 constructed a cross section. I've labeled it
19 A-A prime. (Indicating)

20 ALJ WISSLER: 99B.

21 MR. TRADER: On a map view, it extends
22 from the village of Fleischmanns well field
23 and up and over the Highmount area and down
24 into Crystal Spring Brook Valley to the
25 east -- past Station Road well, continuing

1 down Crystal Spring Brook Valley until it
2 meets Birch Creek Valley; and on past the day
3 use facility, through well field, and then
4 further to the southeast, to pick up a few of

5 Vol. 14 (7-29-04crossroads)
the residential wells that we monitored during
6 our pumping tests. (Indicating)

7 Just to avoid any confusion, the north
8 arrow on this map -- the whole map has been
9 tilted a little to the left.

10 ALJ WISSLER: North is pointing
11 northwest.

12 MR. TRADER: Right, northwest. On the
13 cross section of A-A prime, this has a
14 vertical exaggeration of seven times. The
15 reason for the vertical exaggeration was to
16 show some thickness of the units that were
17 very narrow that wouldn't show up otherwise.
18 (Indicating)

19 what we see at the top of the hill on
20 the ridge is the Highmount area. Leading down
21 to the west, taking you down a slope towards
22 the Fleischmanns well field. To the east,
23 Crystal Spring Brook valley and Birch Creek
24 valley. (Indicating)

25 Some of the wells that are located on
□ (WATER SUPPLY, GROUNDWATER & SURFACE WATER ISSUE)

1 here. The information from these wells was ³⁵³⁵
2 used in the construction of this cross
3 section, the depth to bedrock and the geology
4 that was encountered at the known locations.
5 The Fleischmanns wells, 1, 2 and 3.

6 Here is Emory Brook Valley, and you
7 can see the depths of these wells. Well 1 is
8 70 feet deep, well 2 is 200 feet deep, and
9 well 3 is 410 feet deep. They're all three
10 bedrock wells, as I mentioned before.

11 MR. GERSTMAN: You're going to have to
12 keep your voice up.

13 MR. TRADER: They're all three bedrock
14 wells, as I mentioned before. There were a
15 couple private wells that were used to monitor
16 that are no longer used to supply water to
17 residences. They're on the project grounds
18 for wildacres known as the Rashad well and the
19 Coachhouse well. They are 475 feet deep and
20 550 feet deep respectively. (Indicating)

21 Continuing down the eastern side of
22 the cross section, we come into the Crystal
23 Spring Brook Valley. You see two of the ski
24 Center wells are located here, wells 2 and 3,

25 Pine Hill Water District PH-1 well is located
(WATER SUPPLY, GROUNDWATER & SURFACE WATER ISSUE)

1 here. There's a bump here that's reflective³⁵³⁶
2 where the railroad tracks are. (Indicating)

3 ALJ WISSLER: How many wells does the
4 Ski Center have, if you know?

5 MR. TRADER: I'm not aware of how many
6 they're going to be using on a routine basis.
7 It's my understanding that they're going to be
8 using three. I know they have a few more up
9 on the slope, but I think the reason for
10 drilling these is because they weren't that
11 good. (Indicating)

12 Station Road well is located here.
13 It's 248 feet deep. (Indicating)

14 As we move into the Birch Creek
15 Valley, we pick up the day use facility pond.

Vol. 14 (7-29-04crossroads)

16 It's not actually shown on here, but this is
17 the area it covers. The green is not water.
18 We'll get to that in a minute. (Indicating)

19 well R1 and R2 of the well field,
20 Rosenthal well field, are located here. 124
21 feet deep and 274 feet deep. (Indicating)

22 Residential well 4, further down the
23 valley. It's a bedrock well; it's 155 feet
24 deep. (Indicating)

25 Birch Creek is winding in and out of
(WATER SUPPLY, GROUNDWATER & SURFACE WATER ISSUE)

3537

1 the cross sections so you see that located
2 here several times. (Indicating)

3 Finally, Residential wells 2 and 3.
4 Residential well 2 is actually a dug well at
5 Mr. Frisenda's house. It's eight feet deep.
6 And Residential well 3 is a bedrock well, and
7 it is a flowing Artesian well. (Indicating)

8 I'll address some of the geology on
9 the cross section here. Most of the gray area
10 here is the sandstone and shale and silt
11 stone, bedrock that makes up most of this area
12 in the Catskills. What I'm trying to portray
13 here is reflective of what the population
14 occasion by Heisig that was referenced earlier
15 by Dr. Michalski -- is that we have more
16 intense fracturing of the bedrock in the
17 valleys. The depth of fracturing is also
18 deeper in the valley than it is on the
19 hillsides and hilltops. (Indicating)

20 Overlying bedrock is a mantle of
21 glacial till. This is a hodgepodge of clay

22 and silt, sand and gravel cobbles. This
23 glacial till is thinner on the hillsides and
24 on the hilltops than it is in the valleys in
25 general. (Indicating)
□ (WATER SUPPLY, GROUNDWATER & SURFACE WATER ISSUE)

1 As you come down Crystal Spring Brook³⁵³⁸
2 valley, there's a considerable thickness of
3 glacial till located above bedrock. And by
4 considerable, I mean approximately 100 feet.
5 (Indicating)

6 As we move down into the Birch Creek
7 valley, we start picking up some alluvial
8 sediments that are associated with the stream
9 in Birch Creek. We have seen that long Birch
10 Creek stream itself. We see all the cobbles
11 and boulders and sand and gravel that's
12 deposited on that. (Indicating)

13 That is overlying either a glacial
14 till or a glacio-lacustrine clay, a clay that
15 was deposited by glacial lakes. The clay is
16 reflected here in the dark green interval.

17 Residential well 3 has, I think,
18 80-plus feet of glacial clay involved at that
19 location. (Indicating)

20 The day use facility was reportedly
21 dug -- the pond was reportedly dug into clay
22 in order to create that. (Indicating)

23 We actually saw some of this glacial
24 clay at the Winding Mountain Road bridge when
25 we visited that -- I guess that was the end of
□ (WATER SUPPLY, GROUNDWATER & SURFACE WATER ISSUE)

1 May. We could see the layering of the clay,
2 and top of that was the thin unit of sand and
3 gravel and cobble, the recent alluvium
4 deposited by the stream. (Indicating)

5 Both the glacial till and the
6 glacio-lacustrine clay is a very low
7 permeability. So it's difficult for water to
8 move in these materials.

9 I think that's a brief overview of
10 what I'm trying to show in this cross section
11 as far as the geology and the different wells.

12 There's another cross section I put
13 together which goes through the Rosenthal well
14 field. On the map here.

15 ALJ WISSLER: You're on 99C?

16 MR. TRADER: 99A and C. The cross
17 section B-prime is located here. It goes from
18 the north to the south, across the Rosenthal
19 well field. It also is including Residential
20 well 1. (Indicating)

21 Again, we see the gray here is the
22 bedrock with the depth of fracturing. This is
23 a deeper fracturing in the valley than it is
24 on the hillside and hilltops. (Indicating)

25 Residential well 1 is an open-ended
(WATER SUPPLY, GROUNDWATER & SURFACE WATER ISSUE)

3540

1 steel casing that was drilled and installed
2 through the overburden and through the glacial
3 till, and into a small sand and gravel unit
4 that is right on top of bedrock. It's just a
5 steel casing with an open hole at the bottom,
6 and it gets its water there. And it's in

7 direct connection with the fractured bedrock
8 beneath. (Indicating)

9 Well R2 at the Rosenthal well field
10 extends through the overburden and into
11 bedrock. It is sealed, grouted into bedrock
12 to prevent any migration of water down around
13 the well casing. It's an open hole, from that
14 point down, 274 feet. (Indicating)

15 The thin layer of green here that you
16 see, light green is the alluvial deposition
17 that is along the Birch Creek valley. At this
18 location, the drilling log provided by the
19 well drillers did not indicate a clay at that
20 location. (Indicating)

21 For reference, I've shown where the
22 future fairways are proposed for holes 14 and
23 15. (Indicating)

24 DR. GOWAN: I think, your Honor, we
25 should emphasize that the bedrock aquifer
(WATER SUPPLY, GROUNDWATER & SURFACE WATER ISSUE)

1 boundary is really the upper few hundred feet³⁵⁴¹
2 of the bedrock. I know we heard some
3 testimony this morning about the Heisig and
4 Reynolds reports.

5 MR. GERSTMAN: Excuse me, could you
6 keep your voice up, please.

7 DR. GOWAN: Yes. We heard testimony
8 this morning about the Heisig and Reynolds
9 reports, and in those reports, they talk about
10 the depth of fracturing in the rock. When you
11 get up on the hillsides is less than it is

12 when you get into the valley. It's greater in
13 the valley.

14 They also talk about the stacked
15 aquifer system which, in fact -- what that
16 does is as that water -- it mirrors the
17 topography because it's basically this
18 fractured, weathered rind -- it follows the
19 topography. And as you get down deep, there
20 are fractures in depth but they're very tight,
21 they move very little water. It's really the
22 fractures towards the top that move the water.

23 So in effect, your aquifer and your
24 flow is going to follow the topography.

25 That's going to be important when we talk
(WATER SUPPLY, GROUNDWATER & SURFACE WATER ISSUE)

□

1 about things like divide -- I know Mr. Trader³⁵⁴²
2 mentioned the divide at Highmount -- because
3 of the higher relief there, and that brings
4 the level of the fracturing, that brings the
5 aquifer system up so that your water flows in
6 both directions off that divide. So your
7 surface water and groundwater divides
8 basically mirror each other. (Indicating)

9 This is commonly what we see in the
10 Catskills, and really throughout New York
11 State, where we have shales, siltstone,
12 sandstones. Other types of rocks may have
13 different kinds of situations, but in this
14 type of environment where you don't have major
15 faults or features like that where your
16 fracturing is pretty much bedding plane, as we
17 heard this morning, and also vertical

18 fractures -- when you read those reports, you
19 see that it's both vertical fracturing and
20 horizontal fracturing that's important.

21 what I want to say about the stacked
22 aquifer system where you have packages of
23 sandstone separated by shale layers, what
24 happens is that water will enter those
25 fractures, move down slope, and when it
(WATER SUPPLY, GROUNDWATER & SURFACE WATER ISSUE)

3543

1 encounters that shaley zone, that forces it
2 out. And that's where you get these contact
3 springs.

4 I know when we walked these streams,
5 start -- for example, the Mid Road Spring,
6 spring is well up on the slope, then the water
7 disappears underground, and as you go down the
8 slope, periodically you'll see the water
9 reappear as springs. And that's what's
10 happening. So it's coming down that thin
11 bedrock aquifer and popping out where you have
12 those shales that are bringing it out.

13 So the point I want to illustrate is
14 you're not seeing the stacked aquifer system
15 all the way through the core of the mountain;
16 your primary aquifer is really a shallow
17 surface, if you will, the upper 200, 300 feet.

18 MR. TRADER: So a portion of that
19 water is going to go into the bedrock and
20 occasionally pop out and back in again. Some
21 of it does not pop back in again, and it
22 continues on down and flows down to Birch

23 Creek.

24 The remaining water continues on down

25 in the bedrock fractured system into the main
(WATER SUPPLY, GROUNDWATER & SURFACE WATER ISSUE)

1 access of the Birch Creek Valley. This figure ³⁵⁴⁴
2 here, think of it as the end of an arrow from
3 a bow and arrow that is showing flow going
4 away from you, into the picture down the
5 valley. (Indicating)

6 So that's our brief overview there.

7 I'd like to just direct you to some of the
8 valuations we did for the water supplies for
9 the Big Indian Plateau at this point.

10 Silo A Spring which -- back to Exhibit
11 104. Silo A Spring was monitored for
12 approximately two years, monitored for two
13 years on approximately a monthly basis. This
14 was between the year 2000 to 2001. From
15 January 2000 to December of 2001. The flow
16 during that time period in Silo A was measured
17 to be 69 gallons a minute, up to 212 gallons a
18 minute. That was the range.

19 In the later part of 2001, there was a
20 very dry season starting in about August,
21 eventually which became a drought by the time
22 November and December came along. The DEC
23 issued a drought watch for November, and in
24 December it turned into a drought warning.

25 During that whole time, Silo A flow
(WATER SUPPLY, GROUNDWATER & SURFACE WATER ISSUE)

1 did not fall below 69 gallons per minute. ³⁵⁴⁵

2 Actually by December, it started to climb back
Page 133

3 up again. It was up to, I think, 78 gallons
4 per minute.

5 ALJ WISSLER: Where is that collected,
6 that data?

7 MR. TRADER: That data is located in
8 the infamous Table 1A; part of the surface
9 water and groundwater assessment. The DEC has
10 issued the temporary -- the DEC has issued a
11 draft permit for the water supplies, and for
12 Silo A, it has a limitation or a restriction
13 on its use. That restriction is due to that
14 low flow measurement that we did.

15 During times of drought, Crystal
16 Spring Brook can provide a significant portion
17 of the Crystal Spring Brook flow. That's the
18 stream that Silo A is discharging to
19 naturally. So, based on what's known as the
20 tenant method, for a stream to maintain viable
21 aquatic life, the flow should be above
22 30 percent of the average flow of the stream.

23 So for Crystal Spring Brook, Table 1A
24 measurements again, based on those

25 measurements, the average flow times
(WATER SUPPLY, GROUNDWATER & SURFACE WATER ISSUE)

□

1 30 percent is 797 gallons per minute. So when³⁵⁴⁶
2 the flow in Crystal Spring Brook is such that
3 you're in a drought-type situation, the use of
4 Silo A is restricted such that you don't cause
5 Crystal Spring Brook to drop below that.

6 MS. BAKNER: Your Honor, I think at
7 this point we would like to point out that in

8 the draft water supply permit that was
9 introduced by the Department previously, there
10 is a Special Condition 3 that says: "Silo A
11 is not to be used for irrigation purposes.
12 Also, use of this source shall be further
13 eliminated as follows based upon the measured
14 flow of Crystal Spring Brook below the silo's
15 overflow point." And it specifies maximum
16 withdrawal rates, depending upon the quantity
17 of flow in Crystal Spring Brook.

18 So it has a maximum ever of 69 gallons
19 per minute, which as Steve just mentioned, was
20 its rate of discharge during a drought; and up
21 to 34 gallons per minute if the flow is 797 to
22 1,328 gallons per minute, and up to 10 gallons
23 per minute if the flow is less than
24 797 gallons per minute.

25 There's some additional language that
(WATER SUPPLY, GROUNDWATER & SURFACE WATER ISSUE)

3547

1 says: "Withdrawal rates of 69 and 34 g.p.m.
2 shall not be resumed until flows in the brook
3 return to 1,397 and 831 gallons per minute
4 respectively, for a continuous period of at
5 least one week." Then it just indicates that:
6 "The flows are to be measured in a manner
7 approved by the Department."

8 So that addresses the issue of the
9 connection of Silo A to the baseflows or the
10 flows in Crystal Spring Brook.

11 MR. TRADER: I'd like to concentrate
12 now a little more on the evaluation of the Big
13 Indian Plateau well field or the Rosenthal

14 wells, R1, R2 and R3, and I guess we need to
15 bring out --

16 MS. BAKNER: Exhibit 102. This is
17 Exhibit 124.

18 MR. TRADER: Exhibit 124 is this map.
19 Exhibit 102 is the Big Indian Plateau
20 Capacities of Water Supply Sources.

21 Alpha conducted many pumping tests
22 between 2001 and 2004. The tests developed as
23 the project itself was developed. This table,
24 Exhibit 102, shows for each of the wells the
25 tests that have been performed.

(WATER SUPPLY, GROUNDWATER & SURFACE WATER ISSUE)

3548

1 These range from step rate tests to
2 72-hour individual pumping tests, and
3 combinations of different wells. R1 and R2
4 were tested together, and R1, R2 and R3 were
5 also tested together.

6 The step rate test, I think we heard
7 some mention of that this morning. That is
8 done just to get yourself a proper rate with
9 which to pump -- a longer-term pumping test, a
10 72-hour pumping test. You're pumping the well
11 at successively higher rates and looking at
12 the reaction of the water level in the well.

13 we did a 72-hour individual test on
14 wells R1 and R2. Those were -- let's see,
15 September 2002 was for well R1. The very
16 first pumping test we did was actually with
17 well R2 in the drought of November 2001.

18 What I'd like to focus on now is the

19 Vol. 14 (7-29-04crossroads)
20 simultaneous testing of R1, R2 and R3. This
21 was a 75-hour pumping test. The purpose for
22 this pumping test -- and the other pumping
23 test -- was to assess capability of the well
24 field to meet the demands of the project for
irrigation and potable sources.

25 We wanted to also assess the
(WATER SUPPLY, GROUNDWATER & SURFACE WATER ISSUE)

1 capability of these wells in meeting the Ten ³⁵⁴⁹
2 State standards, and especially with this most
3 recent test, we had to make sure that we met
4 the DOH requirements that they issued in
5 response to the protocol that we had submitted
6 to them.

7 MS. BAKNER: The protocol that Alpha
8 Geoscience submitted to the Department of
9 Health and to the Department of Environmental
10 Conservation is found in Exhibit 51, and the
11 response -- Jack Dunn's response -- is also
12 included right after that, and in it he
13 directs us to undertake the test in a specific
14 manner which is represented by the draft
15 standard which was referenced earlier today.

16 MR. TRADER: Right. Also, we wanted
17 to assess the potential impacts of the use of
18 these wells on the local groundwater and
19 surface water resources. The Ten State
20 Standards requires that you have to be able to
21 meet -- with your water sources, you have to
22 be able to meet the maximum day demand for
23 your project.

24 ALJ WISSELER: Where are the Ten State
Page 137

25 Standards? Are they part of the Public Health
(WATER SUPPLY, GROUNDWATER & SURFACE WATER ISSUE)

3550

1 Law?

2 MR. RUZOW: They're referenced in the
3 regulations as a standard to meet for public
4 water supply. There's separate standards for
5 wastewater. But it's referenced in the DOH
6 reg.'s themselves. The 1997 version, I
7 believe, is the most current.

8 MR. DUNN: John Dunn, State Health
9 Department. It's referenced in Part 5-1 of
10 the State Sanitary Code, and the current
11 edition that's referenced is Recommended
12 standards for waterworks 1997. There's
13 another version out, but it hasn't been
14 incorporated into the code yet by reference.

15 MR. TRADER: So the table of Big
16 Indian Plateau Capacities of Water Supply
17 Sources, the maximum day demand for the
18 project is 132 gallons permit. That amount is
19 met with the use of the three wells. We have
20 149 gallons per minute, combined capacity.
21 That number is actually not shown on the table
22 as 149, but you just sum up the combined
23 capacity here, column 3, 63, 74.5 and 11.5 is
24 149 gallons per minute. That was the test

25 rate that we did in the April combined
(WATER SUPPLY, GROUNDWATER & SURFACE WATER ISSUE)

3551

1 testing.

2 The other aspect of the Ten State
3 standards is that you must be able to meet

4 vol. 14 (7-29-04crossroads)
5 your average day demand with your largest
6 producer out of service.

7 In this case, our largest produce is
8 well R2. Here in the fifth column: Capacity
9 with the largest producing well out of service
10 during a drought. We have 77 gallons per
11 minute for R1, which was based on an
12 individual pumping test on that well, and 11
13 and a half gallons a minute for well R3.
14 Together it was rounded up to 89 gallons per
15 minute. So we meet that standard as well.

16 The DOH protocol and its
17 modifications that were required for us to
18 meet during this pumping test had two main
19 aspects to that. One was it had to occur for
20 at least 72 hours, and our pumping test ran
21 for 75 hours. There was also, as we heard
22 before, the mention of -- we had to meet the
23 definition of stabilized drawdown that the DOH
24 put forth, which was a half foot of
25 fluctuation per 100 foot of water in the well.

MR. RUZOW: No more than a half foot?
(WATER SUPPLY, GROUNDWATER & SURFACE WATER ISSUE)

3552

1 MR. TRADER: Right, no more than a
2 half foot of fluctuation. And this was to be
3 during the last six hours during a constant
4 rate portion of the test. This standard was
5 also met by that pumping test, in all three
6 wells.

7 MS. BAKNER: Steve, I just wanted you
8 to add -- when you did the pumping test, who
9 was present during the -- for the end of the
Page 139

10 pumping test?

11 MR. TRADER: Ulster County DOH
12 personnel came out towards the end of the
13 pumping test, for the last two hours of the
14 pumping test. Alan Dumas was out there, and
15 he agreed, in looking at the data that was
16 presented, that it was okay to stop the test.
17 And that was at 75 hours.

18 I'd like to identify again the surface
19 water features around -- local to the well
20 field as well as the groundwater resources.

21 Birch Creek runs right through the
22 well field. R1 is located on the north side,
23 R2 and R3 are on the south side.

24 ALJ WISSLER: We're looking at
25 Applicant's 124?
(WATER SUPPLY, GROUNDWATER & SURFACE WATER ISSUE)

1 MR. TRADER: 124. There is a wetland³⁵⁵³
2 area to the southeast of the well field. It's
3 not really shown here except for a pond gauge
4 that we measured the water level in there.
5 It's a beaver pond in a wetland that's fed by
6 some springs.

7 Residential wells that were monitored
8 during the pumping test -- four of them,
9 Residential wells 1, 2, 3 and 4. And I'll
10 tell you a little more about those.

11 Residential well 1 is located across
12 Route 28 to the north, at least approximately
13 675 feet or so away from the well field. It's
14 50 feet deep. On the cross section, I showed

15 vol. 14 (7-29-04crossroads)
16 how that was tapping into a sand and gravel
17 deposit that was located directly on the
18 fractured bedrock. (Indicating)

19 The next well out would be Residential
20 Well 4; it's also a bedrock well. It's
21 located 1,500 feet to the east. (Indicating)

22 Residential well 2, which is Al
23 Frisenda's well, is a dug well, it's a shallow
24 well. It's installed into the surficial
25 alluvium, and actually he dug it into the

□ underlying clay to act as a sump. So it's a
(WATER SUPPLY, GROUNDWATER & SURFACE WATER ISSUE)

1 total of eight feet deep. That's located 3554
2 about 2,700 feet to the east. (Indicating)

3 Residential well 3 is a flowing
4 Artesian bedrock well. It is 145 feet deep,
5 and it's 3,300 feet to the east. (Indicating)

6 That's all downgradient when you head
7 towards the east. Groundwater flow is in this
8 direction towards the east, down the main
9 access of the valley, as is shown by the back
10 end of that arrow. (Indicating)

11 Heading upgradient -- we're going to
12 leave this map now, go back to --

13 ALJ WISSLER: 104.

14 MR. TRADER: Exhibit 104. The well
15 field is here. We're going to head up Birch
16 Creek and into Crystal Spring Brook Valley.

17 The public groundwater source here,
18 Station Road Well. We monitored the water
19 level in that throughout the test. We also
20 measured the production, the yield of silo B

21 Spring before, during and after the test.
22 (Indicating)

23 I'd like to outline the monitoring
24 that we did, not just water levels but the
25 discharge rates and all that that we did for
(WATER SUPPLY, GROUNDWATER & SURFACE WATER ISSUE)

3555

1 the pumping test.

2 we monitored the water levels, of
3 course, in all three of the pumping wells.
4 This was done with transducers which
5 automatically do water level collection, as
6 well as with a water level meter by hand,
7 checked it out, what the depth was.

8 we monitored water levels also -- also
9 in the pumping wells. We monitored the
10 discharge rate of R1, 2 and 3 throughout the
11 test to make sure it was pumping what we
12 wanted it to be pumping. (Indicating)

13 Also, we monitored the water table
14 aquifer which exists above the till and above
15 the clay in the alluvial deposits at the
16 surface. We did this through well points;
17 well Point 2 and well Point 3. Each well
18 point is located such that it lies between the
19 creek and one of the pumping wells.

20 So each pumping well has between it
21 and the creek a well point. Those are driven
22 by hand into the ground between 7 and 10 feet
23 deep. The purpose was to monitor any effects
24 on the water levels there that might have been
25 induced by pumping at the well field.

(WATER SUPPLY, GROUNDWATER & SURFACE WATER ISSUE)

1 The wetlands -- as I said before, the
2 Beaver Pond located southeast of the well
3 field was measured, the water level was
4 measured at a pond gauge we installed labeled
5 P-1. (Indicating)

6 We did stream gauging in Birch Creek
7 at two locations, both of these locations are
8 upstream of the discharge waters from the
9 pumping wells. SG-2 is the furthest upstream
10 and -- I'm sorry -- SG-1 is upstream from
11 SG-2. Both of the stream gauges are upstream
12 from the discharge location. (Indicating)

13 MR. RUZOW: When you say the discharge
14 location, you mean the discharge of the water
15 that you're taking out of the wells during the
16 pumping?

17 MR. TRADER: Right.

18 Also on the Pumping Test Monitoring
19 Locations map are the water quality locations
20 where we measured the different water quality
21 parameters of the surface water in Birch Creek
22 and also in Rose Mountain Creek.

23 We have two locations in Birch Creek
24 monitoring the water quality during the
25 pumping tests. WQ-1 is located upstream from
(WATER SUPPLY, GROUNDWATER & SURFACE WATER ISSUE)

1 the discharge point of the pumping test. WQ-2
2 is located downstream from Rose Mountain Creek
3 down by Al Frisenda's house. (Indicating)

4 We also have a measuring location
5 where we monitored parameters for water

6 quality at WQ-3 on Rose Mountain Creek.

7 DEP's wastewater treatment plant is
8 located between the well field and Rose
9 Mountain Creek. It discharges here into Rose
10 Mountain Creek, just above Birch Creek. And
11 we monitored water quality in that outfall as
12 well. (Indicating)

13 Basically we're monitoring
14 temperature, pH, conductivity and turbidity.

15 I'd like to finish up talking about
16 the results of this combined 75-hour pumping
17 test.

18 We were able to sustain 149 gallons
19 per minute. We met the stabilized drawdown
20 requirements that were put out by the DOH. No
21 impacts to the Pine Hill Water District system
22 were observed. We know that because we
23 measured not only the flow out of Silo B
24 during the test -- we measured the discharge
25 there, no change in that was really evidenced.
(WATER SUPPLY, GROUNDWATER & SURFACE WATER ISSUE)

□

1 We measured that before, during and after the ³⁵⁵⁸
2 test.

3 Station Road well was not affected by
4 the pumping test either. Station Road well is
5 a bedrock well. It serves as kind of a
6 sentinel well for any other water supply wells
7 up valley, including PH-1. We saw no impacts
8 to the surface water bodies that exist.

9 We examined the beaver pond at the
10 wetland area. No change there reflective of

11 vol. 14 (7-29-04crossroads)
the pumping rate. I think actually the water
12 level actually rose in that.

13 The well points. There was no change
14 in the well points that was attributed to
15 pumping at the Rosenthal well field. We
16 monitored the water levels in those three well
17 points before, during and after the pumping
18 tests. The reason we monitored there, again,
19 was to see if there was any influence on the
20 water table -- water levels in those well
21 points which are representative of the water
22 table.

23 MR. RUZOW: How close were those well
24 points to the wells you were pumping?

25 MR. TRADER: They were very close.
(WATER SUPPLY, GROUNDWATER & SURFACE WATER ISSUE)

1 50 feet or so in general. 50 feet.

2 There was no drawdown evidenced in an
3 upgradient -- I already talked about that, I'm
4 sorry. I'll get back to the bedrock
5 residential wells.

6 There was an effect in the water level
7 on some of these wells, specifically
8 Residential R1. That's not a bedrock well,
9 but it is a deep, unconsolidated well. That's
10 this well right here, 50 feet deep. The
11 pumping test drew down -- the well field
12 pumping test drew the water level in the
13 residential well down by a grand total of
14 three and a half feet. That is located
15 675 feet to the northeast. (Indicating)

16 Residential 4, located 1,500 feet
Page 145

3559

□

17 away, total drawdown of 24 feet, or
18 approximately 24 feet, was observed there.

19 (Indicating)

20 The next bedrock well we have
21 downgradient was the Residential well 3, the
22 flowing Artesian well. It was flowing at
23 approximately three-quarter gallon per minute,
24 and no observable change was observed during
25 the time of the pumping test. It kept
(WATER SUPPLY, GROUNDWATER & SURFACE WATER ISSUE)

3560

1 flowing. (Indicating)

2 The water quality results also
3 confirmed no direct surface water influence to
4 any of the wells. The water quality
5 measurements that were made in Birch Creek
6 were fairly consistent and they were distinct
7 from the water quality results of the
8 monitoring of discharge water from each of the
9 three wells.

10 I should also say we had to collect
11 laboratory analytical samples of water from
12 all three wells, and they were submitted to
13 the lab for analysis for the DOH's Part 5,
14 which is required for drinking water sources
15 for public supplies.

16 MS. BAKNER: Steve, can you explain
17 briefly why it's significant that the quality
18 of the water in the creek was different than
19 the quality of the water taken in the water
20 tables in the bedrock?

21 MR. TRADER: Yes. The fact that the

Vol. 14 (7-29-04crossroads)
22 water quality remained consistent in Birch
23 Creek, and also distinct from the water
24 quality that we saw in the well discharge,
25 that means that there was no connection. It's
(WATER SUPPLY, GROUNDWATER & SURFACE WATER ISSUE)

1 an indication of no connection to the bedrock³⁵⁶¹
2 wells from the surface water features,
3 primarily Birch Creek.

4 Birch Creek is running along this
5 surficial sand and gravel, which lies directly
6 on top of a thick glacial lake clay.
7 Throughout most of the Birch Creek Valley,
8 from the well field down, it might be a thick
9 glacial till directly where the well field is.
10 There was no connection witnessed between
11 Birch Creek and those wells.

12 DR. GOWAN: Your Honor, that's a
13 pretty normal procedure when you're near a
14 stream and you're testing a well and you're
15 concerned for influences of surface water.
16 That raises the level of treatment and so
17 forth that you have to do to the water if you
18 have an influence from surface water.

19 So you monitor the water quality to
20 see if you have any trends. You may not end
21 up with a quality exactly the same as the
22 stream, but in time you should see a
23 progression more towards quality like the
24 stream as you continue to pump. But we didn't
25 see that kind of trend.
(WATER SUPPLY, GROUNDWATER & SURFACE WATER ISSUE)

1 MR. TRADER: That's it.
Page 147

3562

2 MS. BAKNER: What we're going to do
3 next is respond to the issues that were raised
4 this morning, and go through some materials
5 that Steve and Sam have developed in response
6 to the written materials that were submitted.
7 Then we're going to have some representatives
8 from Delaware Engineering talk about the
9 demand, and Kevin is going to address
10 irrigation.

11 I'm directing these questions to
12 either of you. Dr. Michalski claims that the
13 proposed groundwater withdrawal rates from the
14 Rosenthal wells cannot be sustained over dry
15 weather periods. Do you share that opinion?

16 DR. GOWAN: No, I don't. What you
17 will see -- since we did the 3-well
18 simultaneous pumping test, we reached a
19 stabilized drawdown. As time proceeds and
20 recharge conditions change -- in other words,
21 if you go into a dryer period, what's going to
22 happen is you're going to go back on to a
23 drawdown period where you're going to lower
24 the level in your pumping wells and you're
25 actually going to extend your influence out a
(WATER SUPPLY, GROUNDWATER & SURFACE WATER ISSUE)

□

3563

1 greater distance.

2 what we did in the pumping test is
3 that we achieved a stabilization, and what
4 that means is that we extended the cone out to
5 the point where there's sufficient recharge
6 within that zone of draw to sustain the level

7 in that well. And during times of lower
8 recharge in dryer periods, you're going to
9 have to reach out a greater distance to get
10 enough recharge to sustain that well. When
11 you come back into a recharge period, the
12 distance of your influence is going to shrink
13 and your water level in your pumping wells is
14 going to climb.

15 It's also affected by the fact that
16 it's not going to be continuously pumped.
17 This system is not going to be continuously
18 pumped at 149 g.p.m. I believe the maximum
19 demand --

20 MR. TRADER: 132 is on the permit.

21 DR. GOWAN: That's our maximum demand
22 number that you rarely -- you rarely pump to
23 the maximum level. You're more often going to
24 pump to an average level, and I think Delaware
25 is going to address that later and we'll give
(WATER SUPPLY, GROUNDWATER & SURFACE WATER ISSUE)

3564

1 you a more realistic number.

2 So your cone of influence and your
3 level and your pumping well is going to
4 fluctuate with that too.

5 MS. BAKNER: Dr. Gowan, if you could
6 cover please for us -- what is the area that's
7 contributing to the Rosenthal wells and the
8 Pine Hill system? Is that a small area of a
9 couple miles? Is it a large area? Could you
10 maybe go over that for us on the plan there.

11 DR. GOWAN: Well, these wells are in
12 the valley and recharge area, which is

13 essentially the entire drainage divide --
14 entire drainage area, which is essentially
15 everything within the surface water drainage
16 basin which corresponds with the groundwater
17 drainage basin. That's what's contributing
18 the water down towards these wells. So you
19 have a huge area of recharge. (Indicating)

20 But if you want to look at it in terms
21 of how many gallons per minute that we
22 would -- that is represented by this pumping
23 test, which is 149 gallons per minute, and if
24 you want to look at it in terms of how much
25 land area do you need to support 149 gallons
(WATER SUPPLY, GROUNDWATER & SURFACE WATER ISSUE)

1 per minute, you only need 288 acres. This is ³⁵⁶⁵
2 a very, very small part of this huge drainage
3 basin.

4 And the way I come up with that
5 number -- and I basically took a conservative
6 number for rainfall which is down in the
7 valley which we know in the valley --
8 different from Slide Mountain which is up high
9 where we had over 60 inches average annual
10 precipitation -- if we're down in the valley,
11 we might be as low as 40 inches precipitation.

12 And in a lot of the publications that
13 you read from the USGS, they use a number,
14 somewhere in the neighborhood of one-quarter
15 of that is available for recharge. So if you
16 assume 10 inches of recharge, then over a
17 period of a year, you only need 288 acres to

18 Vol. 14 (7-29-04crossroads)
support that 149 gallons per minute.

19 MR. RUZOW: The simultaneous pump test
20 didn't take into account the artificial
21 recharge that the project is proposing to
22 provide as well; by that I mean irrigation and
23 return of effluent?

24 DR. GOWAN: That's correct. When we
25 look at a water supply and we look at an
(WATER SUPPLY, GROUNDWATER & SURFACE WATER ISSUE)

1 impact to a basin, the first thing we ask 3566
2 ourselves is: Is this water going out of the
3 basin? If we had a municipality and they were
4 coming into an aquifer system and they were
5 pumping it and taking it across the drainage
6 divide and they're using it in the
7 municipality outside of the drainage divide
8 and putting it through their sewage treatment
9 system and taking it out of the basin, that's
10 a loss of water to that basin. That's not
11 happening here.

12 what we're doing is we're taking water
13 out of this well field, putting it back up
14 into the recharge basin where some of it,
15 granted, will be lost to evaporation, but a
16 good percentage of that is going to be either
17 discharged to the effluent system where it's
18 going to go back in to maintain the baseflow
19 in the creek, it's going to turn to
20 groundwater and it's going to be an actual
21 surcharge on the groundwater recharge. And
22 that's going to show up in springs, that's
23 going to show up in the maintenance of

24 baseflow in the streams, and also the water
25 levels in the system.
□ (WATER SUPPLY, GROUNDWATER & SURFACE WATER ISSUE)

3567

1 Interestingly, this is going to
2 occur -- maximum would be in the driest part
3 of the year. It would be helping to sustain
4 that baseflow in the dry season.

5 We see something different at the
6 Belleayre Ski Resort where they're using this
7 for snowmaking. So they're putting a
8 surcharge on the flow in the spring. So you
9 see a slug of that surcharge, and then that's
10 gone. It doesn't help you much in the
11 summertime. But that's not a negative impact
12 either, because there's a delay of getting
13 that groundwater recharged out to the springs
14 so they're benefiting the system too.

15 MR. RUZOW: But the proposed use of
16 effluent for irrigation purposes supplemented
17 by other irrigation water during the driest
18 period of the year is something that doesn't
19 occur today in terms of demands on -- demands
20 created by the Pine Hill water system and
21 other uses currently?

22 DR. GOWAN: That's correct.

23 MR. RUZOW: So you're adding water to
24 the overall regime over that which is
25 currently available during that summer time of
□ (WATER SUPPLY, GROUNDWATER & SURFACE WATER ISSUE)

3568

1 year?

2 DR. GOWAN: That's correct.

3 MS. BAKNER: In light of that
4 evaluation, do you anticipate that the use of
5 the bedrock wells will have any kind of an
6 adverse effect on surface water baseflows such
7 as Birch Creek?

8 DR. GOWAN: No.

9 MS. BAKNER: We have heard quite a bit
10 about the use of bedrock wells in this area
11 inducing the upward migration of saline water.
12 Can you give us your thoughts on that; and
13 particularly, if you can relate it to test
14 results that you have obtained from bedrock
15 wells.

16 DR. GOWAN: Yes. First, I'd like to
17 point out that I have particular experience in
18 this area. In fact, I had communicated with
19 Paul Heisig, the author of one of these
20 reports back in '99, when he first came out
21 with the report because I had two cases I was
22 working on involving contamination of aquifers
23 with salt.

24 And as it turns out, one of the cases
25 was our client who happened to be a
(WATER SUPPLY, GROUNDWATER & SURFACE WATER ISSUE)

1 municipality, and they contaminated the 3569
2 surface water. The other case happened to be
3 an over-pumping scenario, much like we heard
4 this morning. That's why I got to know
5 Mr. Heisig.

6 Our situation out here is a little
7 different in that we do have wells that are
8 pumping. In fact, well Number 3 at

9 Fleischmanns is 410 feet deep, and I
10 understand from Delaware Engineering -- and
11 they can talk to this further on -- that well
12 Number 3 for a period of time has been pumped
13 continuously. And we know that it's pumped
14 often enough now to sustain the level as
15 needed in their spring water supply in their
16 reservoir.

17 When we examined that well, it had a
18 very low concentration of chloride, less than
19 20 parts per million. It's very clean
20 relative to salinity.

21 I would also like to point out that
22 there was some discussion this morning about
23 well Number 1 at Fleischmanns having a high
24 conductivity. That was -- it was high, the
25 numbers were correct. That happens to be a
□ (WATER SUPPLY, GROUNDWATER & SURFACE WATER ISSUE)

1 shallower well; that happens to be 70 feet 3570
2 deep, and is close to the stream.

3 If you recall, I know we've heard this
4 in the testimony before, that well -- actually
5 piping from that well got destroyed by a flood
6 in January of 1996, so that well has been
7 off-line since '96, and we brought that
8 on-line for a very short-term capacity test
9 back in, that would be the fall -- fall of
10 2000.

11 I have to verify that number, but we
12 ran a short-term test, and one of the problems
13 that we encountered, of course, is that this

14 well has been sitting idle for a long period
15 of time, and there was a fair amount of iron,
16 bacteria and crustation in the well. We have
17 a higher content of iron -- relatively higher
18 in iron, I should say, relative to the other
19 two wells. But the chloride level,
20 corresponding chloride level, was still just
21 like the other two bedrock wells in
22 Fleischmanns.

23 So we don't see this salinity issue at
24 Fleischmanns in a case where -- I kind of like
25 to think that's our canary in the coal mine
(WATER SUPPLY, GROUNDWATER & SURFACE WATER ISSUE)

□

1 for our local area. If we were going to see a ³⁵⁷¹
2 problem, we should see that now in the
3 Fleischmanns well Number 3.

4 MR. RUZOW: Because of the level of
5 pumping that occurs there?

6 DR. GOWAN: Yes, because it's been
7 pumped for an extended period of time. And if
8 you were over-pumping that well, and if you
9 had a saline condition at depth, then that
10 would indicate that's a potential problem.

11 MR. RUZOW: From the conductivity that
12 you found, though, you associated with the
13 potential with the iron levels as opposed to
14 saline levels?

15 DR. GOWAN: Yes.

16 MS. BAKNER: There was a lot of
17 discussion this morning about the geophysics
18 of boreholes. I guess what I would like you
19 to do now, if you can, address for us why

20 the -- the types of studies that were
21 described by Mr. Michalski were not done here.

22 DR. GOWAN: Well, first off, the kind
23 of work that we do is very practical
24 application.

25 MR. GERSTMAN: I'm sorry?
(WATER SUPPLY, GROUNDWATER & SURFACE WATER ISSUE)

1 DR. GOWAN: It's far more practical to ³⁵⁷²
2 go by the drilling, and we like to have a
3 geologist on the well site to make the
4 observations about when a fracture is
5 encountered. And you can tell that by the way
6 the drilling is progressing and changes in
7 your available water as you hit those
8 fractures. That's pretty standard practice.

9 Then we want to look at connectedness
10 of fractures. That's where your pumping tests
11 come in. That tells you how connected these
12 are.

13 As far as the borehole geophysics are
14 concerned, they're really focusing on what's
15 going on immediately around your borehole.
16 That's telling you -- that's giving you
17 another picture, if you will, of where the
18 fractures are, and whether they're flowing
19 within that hole, within that immediate drill
20 hole environment. It doesn't tell you
21 anything about the connection of these
22 fractures to the larger area. It's expensive,
23 and the result is not warranted.

24 Quite often you see that kind of data

25

□

1 environment where you might be willing to
2 spend a lot more money to try to understand a
3 lot more about the physical characteristics of
4 those fractures, where you intersect them in
5 the borehole.

6 MR. RUZOW: Might you also use it in a
7 remediation? If you're trying to identify a
8 remediation technique for contamination, does
9 it become more relevant in that context than
10 in a typical water supply?

11 DR. GOWAN: Yes.

12 MR. TRADER: Flow meters are sometimes
13 used, borehole flow meter devices, to see
14 whether water is flowing up or down, whether
15 contamination would be flowing down to another
16 fracture, or maybe it's coming up.

17 MS. BAKNER: In terms of the study
18 that you did for this project, in your
19 professional opinion, would there be any point
20 in doing that type of analysis?

21 DR. GOWAN: No.

22 MS. BAKNER: It wouldn't provide any
23 more information that would be helpful or more
24 helpful in addition to the pumping tests?

25 DR. GOWAN: No.
(WATER SUPPLY, GROUNDWATER & SURFACE WATER ISSUE)

□

1 MS. BAKNER: It was suggested several
2 times this morning that a 72-hour pump test
3 simply won't cut it for a project like this,
4 that for some reason we should do a month-long

5 pumping test. Can you describe whether you
6 have ever done a month-long pumping test in
7 connection with the public water supply?

8 DR. GOWAN: Never. 72-hour is the
9 standard. And the reason we do 72-hour test
10 is that is long enough to either reach
11 stabilization, or else get a change in your
12 curve that tells you enough how the -- how the
13 aquifer system is behaving. That's -- 72
14 hours is the standard that you see pretty much
15 across the industry.

16 MS. BAKNER: Is it only a standard
17 used by New York State Department of Health,
18 or is it used by other similar entities?

19 DR. GOWAN: It's used by other
20 entities.

21 MS. BAKNER: So the Delaware River
22 Basin or Susquehanna River Basin, they would
23 use a similar kind of test?

24 MR. TRADER: Yes, they would, 72-hour
25 test.

(WATER SUPPLY, GROUNDWATER & SURFACE WATER ISSUE)

3575

1 MS. BAKNER: We have heard some
2 criticism, and I'm sure the Department of
3 Health will have no trouble defending their
4 test. There's some suggestion that somehow
5 the Applicant took advantage of a draft
6 standard. Can you describe to the contrary
7 sort of what happened?

8 DR. GOWAN: Well, we really would have
9 preferred -- and we had discussions with the

10 Department of Health -- to run the test at a
11 higher rate and do what we had done on a
12 previous test actually, R1 and R2 combined
13 test, where we pumped at a higher rate and
14 watched for the behavior of the curve.

15 ALJ WISSLER: When did you do that?

16 DR. GOWAN: It's on the table that
17 Mr. Trader showed you.

18 MR. TRADER: That's September of 2002.

19 MR. RUZOW: For R1 and R2.

20 MR. TRADER: The combined test for R1
21 and R2.

22 MS. BAKNER: What was also significant
23 about the time period within which you did
24 that test?

25 DR. GOWAN: That was during the
(WATER SUPPLY, GROUNDWATER & SURFACE WATER ISSUE)

3576

1 drought.

2 MR. TRADER: September 2002 was
3 considered a drought watch.

4 MR. RUZOW: So we performed the test
5 in the manner in which they were suggesting
6 that it be performed this morning at that
7 point in time for R1 and R2?

8 DR. GOWAN: That's correct.

9 MR. TRADER: It was a constant rate
10 test. The duration was 72 hours, so in that
11 sense, yes.

12 MS. BAKNER: And the results and
13 description of that test are included in the
14 Draft Environmental Impact Statement.

15 ALJ WISSLER: But not summarized in
Page 159

16 Exhibit 102? 102, there is only one set of
17 values and four test days?

18 MS. BAKNER: That's correct, your
19 Honor. The reason why the Department of
20 Health required us to do the test following
21 their draft standards was to satisfy their
22 questions regarding the sustained capacity of
23 the wells. So of course after that protocol
24 was approved, the test was undertaken and the
25 results were provided to the Department and
(WATER SUPPLY, GROUNDWATER & SURFACE WATER ISSUE)

3577

1 from those results, those numbers came.

2 MR. RUZOW: We were adding a third
3 well, and we were trying to -- we were going
4 to demonstrate or seeking to demonstrate the
5 combined yield available from all three wells.

6 ALJ WISLER: But again, the summary
7 that is 102?

8 MS. BAKNER: That's correct.

9 ALJ WISLER: That is Exhibit 102?

10 MS. BAKNER: That is correct.

11 ALJ WISLER: Just looking at well 1,
12 it says gallons per minute for the individual
13 capacity, that set of values all the way
14 across that, that's for the step drawdown test
15 of August 2002; correct?

16 MR. TRADER: No. I guess we should
17 have centered those on that table.

18 ALJ WISLER: Where does that belong?

19 MR. TRADER: The summary of pumping
20 tests is not directly related, if you go

21 across, to any of these numbers. That's just
22 a list there. These numbers -- the individual
23 capacity for R1 and R2, 77 gallons a minute
24 and 82 gallons a minute respectively, those
25 individual capacities were determined in the
(WATER SUPPLY, GROUNDWATER & SURFACE WATER ISSUE)

3578

1 year 2001 at individual pumping tests that
2 were performed. We pumped R1 by itself, and
3 monitored everything around it. Then we ended
4 up pumping R2, and monitored everything around
5 it. So these are the individual pumping
6 tests.

7 ALJ WISSLER: From 2001?

8 MR. TRADER: From 2001.

9 MS. BAKNER: R2 is 2001, R1 is 2002.

10 Just to clarify that. That's shown on
11 Appendix Exhibit 101.

12 ALJ WISSLER: I understand. Looking
13 at 102, 102 has this -- there's five columns
14 over. Says, "Summary of Pumping Test
15 Monitoring Analysis." If we look at
16 individual capacity, 77 gallons a minute and
17 110,880 gallons per day; that is the result of
18 a test that was done in 2001?

19 MR. TRADER: That was the 72-hour
20 individual test that was done in September of
21 2002.

22 ALJ WISSLER: Of 2002?

23 MR. TRADER: Yes. For R2, the
24 82 gallons per minute was the 72-hour

25 individual test done in November of 2001.
(WATER SUPPLY, GROUNDWATER & SURFACE WATER ISSUE)

1 ALJ WISSLER: So going back to R1,
2 those numbers should be associated with
3 September 2002 for a 72-hour individual test?

4 MS. BAKNER: Only in the individual
5 capacity column. In the combined capacity
6 volume, the values come from the April 2004
7 simultaneous well pump test of R1, 2 and 3.
8 So you see for R1, it's 63 g.p.m.; for R2,
9 it's 74.5 g.p.m.; and for R3, it's
10 11.5 g.p.m., and that's because they affect
11 each other.

12 ALJ WISSLER: Okay.

13 MS. BAKNER: Let's get back again to
14 the reason why we do pump tests. You did two
15 types of pump tests out at the site --
16 actually more like three or four type pump
17 tests out at the site, including this most
18 recent one in April.

19 As a result of everything that you've
20 seen out at this location, are you confident
21 that there's enough water to supply the
22 resort?

23 DR. GOWAN: Yes.

24 MR. RUZOW: And without impacting
25 other sources of supply in a material way?
(WATER SUPPLY, GROUNDWATER & SURFACE WATER ISSUE)

1 DR. GOWAN: Yes.

2 MR. TRADER: Yes.

3 MR. RUZOW: And that includes the
4 levels of Birch Creek or Crystal Spring Brook
5 as well?

6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25
1
2
3
4
5
6
7
8
9
10
11

MR. TRADER: Yes.

DR. GOWAN: Yes.

MS. BAKNER: There was discussion again this morning about the stacked aquifer conditions, which I know you have described more fully in relation to what actually occurs on our site. There's the allegation that somehow increased pumping at the Village of -- at the Village of Fleischmanns' water supply location will have an impact on the other side of the groundwater divide and Crystal Spring Brook. Could you address those claims, please.

DR. GOWAN: Yes. The first thing I'd like to say is if this was an issue, it would be affecting the springs that exist over in the Pine Hill side already, and that's not happening.

And the other aspect of this is what I described earlier about the groundwater
(WATER SUPPLY, GROUNDWATER & SURFACE WATER ISSUE)

3581

divide, and the way the water table mirrors the topography. And as you get down into the core, if you will, of that Highmount point, high point there, topographic high, the permeabilities at that point are very low.

And one of the points that was made by Dr. Michalski is that there's a bedding plane parting that he is projecting through this system, through Highmount to the area on the east side over towards Pine Hill and Birch Creek and so forth. well, that fracture

12 system -- and I think we also heard some
13 testimony this morning from Dr. Michalski that
14 structures are not necessarily continuous.

15 I would agree with that. And I would
16 agree with that, particularly when you get
17 under -- at depth under Highmount where those
18 fractures are just not going to be very
19 permeable. They're going to be fairly tight,
20 if they exist at all. So I don't think
21 there's any merit whatsoever to the concept
22 that you're going to pump over at Fleischmanns
23 and affect what's going on over in Pine Hill.

24 MR. RUZOW: Or vice versa, pumping at
25 the Rosenthal wells and somehow affect the
(WATER SUPPLY, GROUNDWATER & SURFACE WATER ISSUE)

□

3582

1 wells on the other side of Highmount?

2 DR. GOWAN: That's correct. Maybe
3 Mr. Trader can talk about the relationship of
4 what he saw on the pumping tests in Pine Hill
5 and the silos and Station Road well.

6 MR. TRADER: For one thing, like I
7 said before, there was no effect on Station
8 Road well, which is further upgradient to the
9 west during the pumping test, no water level
10 change that could be attributed to the pumping
11 was noticed in the 75 hour's duration of the
12 test.

13 DR. GOWAN: This is important because
14 we know that in a previous pumping test when
15 we were doing work on the Pine Hill water
16 system, and I believe we were pumping Pine

Vol. 14 (7-29-04crossroads)
Hill Number 1 --

17
18
19
20
21
22
23
24
25

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22

MR. TRADER: This one you're talking about would be Station Road well. We pumped that one at 39 gallons a minute.

DR. GOWAN: And that had what kind of effect?

MR. TRADER: It drew down the water level in PH-1 by -- I think it was about four to five feet approximately. We saw the number
(WATER SUPPLY, GROUNDWATER & SURFACE WATER ISSUE)

3583

this morning. I don't know it right offhand, but I think it's approximately four to five feet.

So what that tells us, your Honor, is that there's a connection in that zone from Pine Hill, down Station Road, and if we were going to have a connection -- if we were going to drawdown the Station Road well during our Rosenthal test -- if we didn't draw it down, then we weren't going to be affecting the Pine Hill well. So we know that we're not drawing all the way up to that extent. I don't know if that was clear.

Station Road well is over a mile upgradient from the Rosenthal well. So heading upgradient, about a mile up that way. The distance from Station Road well to PH-1 is a much shorter distance. We saw an effect at PH-1 when we pumped Station Road well. That's similar to seeing an effect at Residential well 4 when you're pumping at the well field.

MR. RUZOW: You're saying the

23 gradient -- the groundwater has a gradient
24 just as the surface waters do, heading towards
25 the east?
□ (WATER SUPPLY, GROUNDWATER & SURFACE WATER ISSUE)

3584

1 MR. TRADER: Yes.

2 MR. RUZOW: So since we're further
3 east, the location of the Rosenthal wells are
4 further east, it would presumably take greater
5 effort or result to be able to --

6 MR. TRADER: Greater than what we did.

7 MS. BAKNER: Steven, before you sit
8 down, you mentioned that you also monitored
9 Silo B which is also a backup source in the
10 permit for the Pine Hill water District now
11 owned by the Town of Shandaken. Did you see
12 any effects on Silo B?

13 MR. TRADER: We monitored the flow in
14 Silo B during the test, and Silo B flow
15 actually increased for a while during the
16 test. There was no change in the yield of
17 that spring during the test.

18 MS. BAKNER: What's the other primary
19 source of the Pine Hill water supply?

20 MR. TRADER: Bonnie View Springs.

21 MS. BAKNER: Bonnie View Springs. Is
22 that shown on there?

23 MR. TRADER: It's not shown on this
24 cross section but it's in this area where PH-1
25 is located.
□ (WATER SUPPLY, GROUNDWATER & SURFACE WATER ISSUE)

3585

1 MS. BAKNER: How do you know that we

Vol. 14 (7-29-04crossroads)
2 wouldn't have an impact on Bonnie View
3 Springs?

4 MR. TRADER: Bonnie View Springs
5 reflects water that is freely discharging to
6 the surface by itself, regardless of any
7 pumping. It's lost to the system. Once
8 daylight enters the brook, it's gone to the
9 groundwater system.

10 MR. RUZOW: It's gone from the
11 groundwater system?

12 MR. TRADER: It's gone from the
13 groundwater system to the surface water.

14 MS. BAKNER: Do the Bonnie View
15 Springs contribute water to Crystal Spring
16 Brook as well?

17 MR. TRADER: Yes, they do.

18 ALJ WISSLER: Dr. Gowan, it's your
19 view that the view expressed by Dr. Michalski
20 this morning with respect to this
21 stratification of aquifers, you're saying that
22 in your view, that is not the case in this
23 area?

24 DR. GOWAN: It's really a combination,
25 and I tried to make that clear. Your aquifer,
(WATER SUPPLY, GROUNDWATER & SURFACE WATER ISSUE)

1 is really that upper part of the rock, it's ³⁵⁸⁶
2 the fractures in -- the fractured zone in the
3 upper part of the rock. The way that this
4 stacked system plays into this, is that as the
5 water is coming off your hillside, coming
6 through these fractures, when it comes to
7 that --

8 ALJ WISSLER: You might hit some shale
9 vein of some kind that causes some kind of
10 spring to come out of the side of the
11 mountain?

12 DR. GOWAN: Right. And the shale is
13 fractured too.

14 ALJ WISSLER: But you're saying that
15 kind of division of the aquifer, that's what
16 it is; it's not some layer sandwiched between
17 two impervious layers and stacked in that way?

18 DR. GOWAN: Right.

19 ALJ WISSLER: You're saying that's not
20 the case?

21 DR. GOWAN: That's not the case. And
22 I would elaborate on that a little bit. If
23 you were going to say this is all a stacked
24 aquifer, then in theory, you should be able to
25 go right back through the mountain and find
(WATER SUPPLY, GROUNDWATER & SURFACE WATER ISSUE)

□

1 these sandstones that have this moderately 3587
2 uniform permeability in each one of those
3 units, such that each one is behaving as an
4 aquifer, and you would see it in the valley
5 bottom too. That's not what we see. We see
6 the sandstone back in the mountain is very
7 tight, isn't behaving like an aquifer at all.

8 MR. RUZOW: You described it as a band
9 before that follows the topography of 200 to
10 300 feet?

11 DR. GOWAN: Right.

12 MR. RUZOW: It's within that band that

Vol. 14 (7-29-04crossroads)
13 you describe the fractures as primarily
14 occurring and interacting with each other?

15 DR. GOWAN: Yes.

16 ALJ WISSELER: Let me understand this.
17 The water table, the surface of the water
18 table generally follows the topography of the
19 land?

20 DR. GOWAN: Yes.

21 ALJ WISSELER: But the aquifer does
22 too; is that what you're saying? That there's
23 this pretty much homogeneous aquifer layer
24 that runs beneath the surface of the land and
25 generally follows the topography also?

(WATER SUPPLY, GROUNDWATER & SURFACE WATER ISSUE)

3588

1 DR. GOWAN: The one thing you had
2 right was the water table -- you had two
3 things -- I want to start from that point.
4 That water table is the surface. Now, the
5 fractured rock beneath that water table,
6 that's your aquifer.

7 ALJ WISSELER: Right. But you're
8 saying that that is not in any way banded or
9 isolated into distinct stratified aquifers?

10 DR. GOWAN: It is banded in the sense
11 that --

12 ALJ WISSELER: Every once in a while,
13 you might get a break out on the hillside?

14 DR. GOWAN: Right. As you're coming
15 down that hillside, as you're moving through
16 this upper 200 feet down the hillside through
17 the fractured sandstone, and when you
18 encounter this shale interval, it's forcing

19 the water to come out.

20 ALJ WISSLER: At that point?

21 DR. GOWAN: Right.

22 ALJ WISSLER: But that shale isn't
23 creating an impervious barrier that literally
24 divides the aquifer and creates two levels of
25 aquifer?

(WATER SUPPLY, GROUNDWATER & SURFACE WATER ISSUE)

1 DR. GOWAN: No, it's not a -- it will ³⁵⁸⁹
2 allow some water across that, but not all of
3 it.

4 MR. TRADER: If it was providing such
5 a barrier, you would see flow coming out on
6 that shale unit all across that elevation.
7 Wherever that shale is coming out, you would
8 see flow coming out. But the fact of the
9 matter is, you don't see that. You do see the
10 popouts every once in a while.

11 Drawing some hypotheticals in here.
12 Your main flow is in this fractured rind.
13 Occasionally you have a shale layer popping
14 out at that one location, but perhaps not
15 100 feet away.

16 MS. BAKNER: Can you describe what a
17 dip determination is, and whether you did any
18 on-site? The dips that Dr. Michalski was
19 talking about.

20 DR. GOWAN: Mr. Trader.

21 MR. TRADER: We took some measurements
22 of the dip of the bedrock. The bedrock is not
23 exactly laying flat. We measured it to be

24 dipping at approximately one degree to the
25 southwest. Those are the measurements that we
(WATER SUPPLY, GROUNDWATER & SURFACE WATER ISSUE)

3590

1 took.

2 Also, when looking at the state
3 geological map, it shows that area. If you
4 look at the formational contacts, it also,
5 using that method, with elevation and contacts
6 between two formations, you can use a
7 three-point problem to determine it's also
8 approximately a one-degree dip. So using the
9 map method to determine the dip agrees with
10 what we measured in the field.

11 MS. BAKNER: Dr. Michalski had a
12 diagram showing the fracture in one of the
13 Rosenthal wells that he postulated based on
14 the well records. Then he showed some kind of
15 a extension, if you will, out to some future
16 point on Birch Creek. Can you address why you
17 don't feel that's reflective of actual
18 conditions?

19 MR. TRADER: Sure. There was a water
20 yielding fracture that was found at
21 approximately 185 feet in well Number -- in R1
22 I believe it is -- well R2 is where we found
23 the fracture at 186 feet.

24 Now, an important thing that we need
25 to note here is that this fracture -- if this
(WATER SUPPLY, GROUNDWATER & SURFACE WATER ISSUE)

3591

1 was a bedding plane fracture that we
2 encountered at that level, and if it was this
3 extensive that it would extend all the way

4 back to Fleischmanns, we, in fact, did not see
5 that same fracture only a couple hundred feet
6 away at wells R1 and R3. There was no
7 fracture viewed in any water at that depth.

8 So that's telling me that this is not
9 that pervasive of a bedding plane fracture.
10 If it was, we would have encountered it right
11 there at the well field in all locations.

12 If you extrapolate -- if this was a
13 bedding plane fracture and you extrapolated it
14 in an up-dip manner, let's say one degree, to
15 where it would intersect towards the east,
16 where it would intersect the base of the
17 overburden, it would be in contact with
18 approximately 80 feet of clay or till, which
19 as we heard before from testimony, is a very
20 low permeability unit.

21 So it's -- for the water to be going
22 from Birch Creek through this very low
23 permeability clay and till and hitting this
24 bedrock fracture and making its way down to
25 our well field within the 72-hour pumping
(WATER SUPPLY, GROUNDWATER & SURFACE WATER ISSUE)

□

1 test -- I doubt that that would happen. 3592

2 MS. BAKNER: For the record, we're
3 referring to CPC Exhibit 80, page 18 entitled,
4 "Distant Recharge from Birch Creek to Supply
5 Well R2." In your opinion, this doesn't bear
6 any resemblance to reality?

7 MR. TRADER: No.

8 MS. BAKNER: Is there anything you

Vol. 14 (7-29-04crossroads)
would like to add to that?

9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

1
2
3
4
5
6
7
8
9
10
11
12
13
14

DR. GOWAN: No.

MS. BAKNER: There's been a lot of comments and concerns about the water budget analysis, Mr. Trader. I know that you have prepared a response to these questions, and that can be found on Applicant's Exhibit 122. It's a July 28, 2004 letter to Alex Ciesluk.

And I guess what I'd like you to do now is address for me first, if you will, Dr. Michalski's comment that the annualized water budget analysis is not useful for looking at recharge in this area.

MR. TRADER: Doing a water budget analysis, looking at the soil types and their moisture capacities and the permeabilities of these soil types is vital to a water budget.
(WATER SUPPLY, GROUNDWATER & SURFACE WATER ISSUE)

3593

It's part of how you determine how much water ends up percolating into your underlying aquifer, in this case, the fractured bedrock aquifer.

MS. BAKNER: How many water budget analyses have you done for projects during the time you've been with Alpha Geoscience; ballpark?

MR. TRADER: Ballpark, less than 10.

DR. GOWAN: I would like to add something here, your Honor. We do a lot of different kinds of water budgets and we apply different approaches depending on how large they are and what kind of objectives there

15 are, and some of them are basin-wide analysis.

16 If we're looking at, say -- if we're
17 looking at a basin, for example, Saratoga Lake
18 is looking to use their -- the City of
19 Saratoga wants to use their lake as a water
20 supply. And what they look at there -- what
21 we had to look at there was streamflow,
22 basin-wide streamflow and flow analysis.

23 In this case, in our site-specific
24 case, we want to know what our project is
25 doing to the water balance in specific. And
(WATER SUPPLY, GROUNDWATER & SURFACE WATER ISSUE)

1 the only real way to do that is to look at the ³⁵⁹⁴
2 site-specific characteristics -- and soils are
3 a very important part of the site-specific
4 characteristics -- pertaining to whether it's
5 going to runoff or you're going to evaporate
6 or it's going to recharge.

7 So soils are a critical piece of this.
8 And I was a little surprised this morning to
9 hear that soils are unimportant, because
10 really the basis of this, in theory, was in
11 the landfill work, started several decades ago
12 in which they were looking at different types
13 of material on top of waste and trying to
14 determine what percolation rates would be
15 through those soils, determine what the
16 leachate quantities would be. And that was
17 really the theoretical beginnings of this.

18 And there's been a fairly substantial
19 amount of good research on these aspects. So

20 I think it is very important. It's very
21 important to look at the site-specific
22 conditions in order to determine what your
23 project impacts are. And that's what we did.

24 MS. BAKNER: Can you describe for me
25 what you did as part of the water budget
(WATER SUPPLY, GROUNDWATER & SURFACE WATER ISSUE)

3595

1 analysis.

2 MR. TRADER: The purpose of the water
3 budget analysis that we did for Big Indian and
4 the wildacres, the overall purpose was to see
5 what effect the project development is going
6 to have on groundwater resource area. Was
7 there going to be a net negative effect, or a
8 net positive effect.

9 what we looked at was -- I guess we
10 should really get into maybe what the water
11 budget reflects. It's a water balance.
12 Precipitation comes down. It is either
13 evaporated or evapotranspired or it becomes
14 percolation or it becomes runoff. Whatever
15 doesn't runoff or get taken up by plants or
16 evaporate into the sky ends up in percolation.
17 And percolation is recharge to your aquifer
18 system.

19 So we wanted to see -- by developing
20 the projects, were we going to negatively or
21 positively impact the potential recharge that
22 was available.

23 MS. BAKNER: Let me ask you this,
24 Steve, just to put it in perspective: If we
25 had a negative effect, what kind of things

3596

1 could happen?

2 MR. TRADER: A negative effect,
3 meaning there's less recharge to the
4 groundwater system, that would mean there
5 would be either an associated increase in
6 runoff or an increase in evapotranspiration.

7 MR. RUZOW: Or less recharge into the
8 ground?

9 MR. TRADER: Right, that's where it
10 started. If we had a negative impact, in this
11 regard, it would mean a lower recharge into
12 the ground. That would mean less water would
13 be available potentially, depending on how
14 much you affected it. Less water would be
15 available to groundwater wells and to springs.

16 MS. BAKNER: So we specifically did
17 this to determine if we were going to have an
18 adverse effect on groundwater inputs to the
19 system. Would there be less water in Bonnie
20 View Springs, would there be less water in the
21 Village of Fleischmanns -- that was precisely
22 what we were trying to find out?

23 MR. TRADER: Right.

24 MS. BAKNER: How did you compare the
25 pre- and post-conditions? What type of
(WATER SUPPLY, GROUNDWATER & SURFACE WATER ISSUE)

3597

1 information did you use to do that?

2 MR. TRADER: We used precipitation
3 data, we used soil information that was
4 obtained from the soil surveys that are

5 vol. 14 (7-29-04crossroads)
published for the local area.

6 ALJ WISSLER: What precipitation data
7 did you use?

8 MR. TRADER: For the water budget
9 purposes, we used the data from Slide
10 Mountain.

11 MS. BAKNER: Why did you use the data
12 from Slide Mountain?

13 MR. TRADER: Slide Mountain is the
14 closest NOAA, the National Oceanographic
15 Atmospheric Administration. They maintain
16 weather stations across the country.

17 These have high quality control on the
18 data, so the Slide Mountain station was the
19 closest to most of the project area. It also
20 is at a similar elevation. It's not on top of
21 Slide Mountain; it's on a shoulder of Slide
22 Mountain, approximately the same elevation
23 right within what our project area is.

24 Slide Mountain data was a continuous
25 record. What we looked for is at least 30
(WATER SUPPLY, GROUNDWATER & SURFACE WATER ISSUE)

1 years of precipitation and temperature data
2 from a single station, and Slide Mountain fit
3 that bill. None of the other stations around
4 that area met our criteria for doing water
5 budget analysis.

6 ALJ WISSLER: That 30-year standard,
7 is that some protocol within the industry or
8 is that your choice?

9 MR. TRADER: That's defined as the
10 normal.

3598

11 ALJ WISSLER: By who?

12 MR. TRADER: By NOAA.

13 DR. GOWAN: They define that. That's
14 how they calculate their averages, what they
15 call the normals. When you watch the weather
16 report and they say what the average is for
17 this day, it's based on that 30-year average.

18 ALJ WISSLER: Okay. So NOAA --
19 there's some protocol within NOAA's rules and
20 reg.'s with respect to the development of a
21 water budget, and they say use 30-year data?

22 DR. GOWAN: No. What we want to do is
23 if we're going to do an average -- what we're
24 looking for is a change from a beginning --

25 from existing to future. And we want to use
(WATER SUPPLY, GROUNDWATER & SURFACE WATER ISSUE)

1 data that we feel appropriately represents the ³⁵⁹⁹
2 general characteristics of that site, and the
3 30-year average, that average is -- we feel is
4 representative of that site.

5 MS. BAKNER: I would just draw your
6 Honor's attention to page 8 of Applicant's
7 Exhibit 122 where the climate data and station
8 requirements are described in a little bit
9 greater detail.

10 Mr. Trader, I think you referred to
11 the World Meteorological Organization defining
12 climatic normals as the arithmetic mean of a
13 climatic element computed over three
14 consecutive decades. So there is a definition
15 of what this is and why you use it? You

Vol. 14 (7-29-04crossroads)
16 didn't just pull it out of your hat.

17 MR. TRADER: It's the most recent 30
18 years. It's to recognize any changes through
19 time that may be occurring to general weather
20 patterns.

21 MS. BAKNER: Was the temperature data
22 at the NOAA station, was that available at
23 other stations?

24 MR. TRADER: Temperature data was
25 available at Slide Mountain, it was available
(WATER SUPPLY, GROUNDWATER & SURFACE WATER ISSUE)

3600

1 at other stations that might be further
2 away -- closer stations might not have had a
3 continuous record of temperature and/or
4 precipitation.

5 MS. BAKNER: A lot of discussion has
6 taken place with respect to the Belleayre ski
7 station data, and I just direct you to page 10
8 there. What was it about the Belleayre ski --

9 ALJ WISSLER: Page 10 of --

10 MR. RUZOW: Exhibit 122.

11 MS. BAKNER: What was it about the
12 Belleayre ski station data that you felt made
13 it less suitable than the NOAA data?

14 MR. TRADER: A couple of things. One
15 was primarily, they didn't have a 30-year
16 record; they only a 12-year record of
17 precipitation -- 1992 through 2003. This is
18 not a long enough span of years to calculate
19 climatic normals.

20 There were also some discrepancies in
21 some of the monthly data. We use monthly data
Page 179

22 for water budget purposes. There was a
23 discrepancy that I saw in some of the monthly
24 data that was sent to me by the personnel at
25 the -- it's operated by the Acid Rain
(WATER SUPPLY, GROUNDWATER & SURFACE WATER ISSUE)

1 Monitoring Program from the DEC. They sent me ³⁶⁰¹
2 the data. Some of that monthly data had
3 discrepancies with monthly data that was
4 available on their website.

5 I had the daily precipitation as well,
6 and there was no way in that record to tell
7 whether or not a data point was missing or if
8 it was just zero rainfall. It simply said
9 zero. I called them on this and said: Does
10 the zero mean no precipitation or does it mean
11 that you didn't get anything on that day? And
12 he said: well, there's really no way of
13 knowing that.

14 So these discrepancies led me to steer
15 away from the Belleayre Ski Center data.

16 MS. BAKNER: How does NOAA show that
17 data, just for comparison purposes?

18 DR. GOWAN: 999, or something like
19 that.

20 MR. TRADER: I believe negative 999
21 indicates missing data. If there's ten days
22 in a month, it will be one symbol. If it's
23 missing over 50 percent of the month, it will
24 be another symbol. So it gives you an idea of
25 how good the data is.

(WATER SUPPLY, GROUNDWATER & SURFACE WATER ISSUE)

1 MS. BAKNER: So from a scientific
2 standpoint, it's just more standardized and
3 it's more reliable?

4 MR. TRADER: The quality control is
5 much better. Plus the intent for the Acid
6 Rain Monitoring Program is not just to
7 determine what is rainfall. They want to
8 know -- they have a certain criteria, a
9 certain amount of data needs to be collected
10 in order for their analysis to be important
11 for them. It's a different purpose.

12 MS. BAKNER: Based on the water budget
13 analysis you did using the NOAA data, what was
14 your conclusion as a result of evaluating all
15 that data?

16 MR. TRADER: There was going to be no
17 negative impact to the recharge to the
18 groundwater system based on the development of
19 the project.

20 MS. BAKNER: What do you attribute
21 that "no negative impact" to; what
22 characteristics of the project do you believe
23 lead to that conclusion?

24 MR. TRADER: A couple of them.

25 Creation of the golf courses is one
(WATER SUPPLY, GROUNDWATER & SURFACE WATER ISSUE)

□

1 significant part of that. It's not like
2 you're just cutting down trees and planting
3 grass. What's happening is you're cutting
4 down trees, but then you're modifying the
5 landscape. Many areas of the slope are going
6 to be not as steep any longer. So your

3603

7 runoff -- the runoff extent is not as much as
8 it would be without that.

9 Another aspect is the material that
10 they're going to bring in to build the
11 fairways and greens and tees is going to be a
12 certain spec., a sandy loam.

13 MS. BAKNER: Sand and organic
14 material.

15 MR. TRADER: Right. So according to
16 that, that would have an increase in the
17 amount of permeability for the soils there.
18 So you would increase your recharge there.

19 We need to say that in typical dry
20 seasons, the soil moisture goes away and
21 starts to diminish, so you have this hard, dry
22 soil. By irrigating, you're going to
23 alleviate some of that. You're not going to
24 suddenly dry out your soil. You want to keep
25 your soil nice and moist so you can grow
(WATER SUPPLY, GROUNDWATER & SURFACE WATER ISSUE)

1 grass. That is going to have an increase in ³⁶⁰⁴
2 the amount of recharge to the groundwater
3 system.

4 MS. BAKNER: In addition to the change
5 in topography and the new, more permeable
6 soils being brought onto the site, is there
7 anything else that would contribute to the
8 results that you obtained?

9 MR. TRADER: I think those are the two
10 main factors.

11 MS. BAKNER: You did mention

12 irrigation as a part of the whole change in
13 the site. When you calculated the water
14 budget, when you looked at that, did you add
15 in as inputs to the system the recycled
16 effluent or irrigation -- or general
17 irrigation water?

18 MR. TRADER: No.

19 MS. BAKNER: So how would that affect
20 your results?

21 MR. TRADER: That would make the
22 results be more positive. There would be
23 additional infiltration, percolation to the
24 groundwater.

25 MS. BAKNER: So the only thing that
(WATER SUPPLY, GROUNDWATER & SURFACE WATER ISSUE)

3605

1 would do is make more water available for
2 water supplies, you know, down the mountain
3 and everything else?

4 MR. TRADER: Correct.

5 MS. BAKNER: Now, you feel -- I don't
6 mean to say feel, I'm sorry. As a scientist,
7 you believe you chose the right data in using
8 the NOAA station data from Slide Mountain, but
9 at the request of your lawyers, who aren't
10 scientists, did you do another type of
11 analysis in response to some of these
12 criticisms?

13 MR. TRADER: Yes. We reran the water
14 budgets for wildacres and Big Indian using
15 Belleayre Ski Center data, which is roughly --
16 it's a little more than half of the -- the
17 drought actually, we used the drought -- the

18 lowest annual precipitation that was reported
19 at the Belleayre Ski Center was 1988, I
20 believe it was -- 1991 had the lowest -- I'm
21 sorry.

22 ALJ WISSLER: What are you reading
23 from?

24 MS. BAKNER: Table 1, page 11 of
25 Applicant's Exhibit 122. The table shows the
(WATER SUPPLY, GROUNDWATER & SURFACE WATER ISSUE)

1 annual precipitation values at Belleayre Ski ³⁶⁰⁶
2 Center.

3 MR. TRADER: It's roughly half the
4 precipitation of Slide Mountain's annual
5 normal. The normal precipitation at Slide
6 Mountain is approximately 62 inches now. At
7 the time of the water budget that we did
8 initially, it was 60 inches, but we've gone
9 into a new millennium.

10 But the Belleayre Ski Center, the
11 driest year looks like 1997, it's about
12 30 inches of rainfall during the year. So we
13 used the monthly rainfall data from Belleayre
14 Ski Center for that, what I'll call a drought
15 year from 1997, and reran both water budgets
16 with that.

17 MS. BAKNER: The only variable you
18 changed was the rainfall precipitation --
19 maybe temperature, I don't know?

20 MR. TRADER: No.

21 MS. BAKNER: You kept the same
22 temperature?

23 MR. TRADER: The drought year that we
24 used was 2001, the Belleayre Ski Center for
25 the re-analysis of the water budget. From the
(WATER SUPPLY, GROUNDWATER & SURFACE WATER ISSUE)

3607

1 daily records of the Belleayre Ski Center,
2 2001 was 32.95 inches. That's information
3 that was supplied to us from the DEC.

4 MS. BAKNER: So you reran the analysis
5 with the new rainfall numbers and what was the
6 conclusion?

7 MR. TRADER: The conclusion was very
8 similar to what it was initially, that you
9 would have no negative impact under that
10 scenario to the groundwater recharge.

11 ALJ WISSLER: Where is that worked
12 out?

13 MS. BAKNER: That is page 13 through
14 page 16.

15 ALJ WISSLER: Applicant's 122?

16 MS. BAKNER: Yes, it's all set forward
17 there.

18 Can you explain in layman's terms why
19 having much less water doesn't have an impact
20 on the results of the water budget?

21 MR. TRADER: You're starting out with
22 whatever particular number that you're
23 starting out with, and that's a precipitation
24 number. If you're starting out with 60 inches
25 of rain, a portion is going to go, like I
(WATER SUPPLY, GROUNDWATER & SURFACE WATER ISSUE)

3608

1 said, to evapotranspiration, a portion of it
2 is going to runoff, and a portion is going to
Page 185

3 go into the ground. If you start out with
4 30 inches, the same situation is going to
5 happen.

6 So when we use those numbers, we're
7 looking at a before-and-after situation, so
8 we're still using those drought numbers in the
9 before scenario, before development scenario
10 existing conditions, and we also used the same
11 values in the post-development, this is full
12 development situation.

13 MS. BAKNER: Let me ask you this: Did
14 we use the water budget analysis in any way to
15 justify the quantity of water we could
16 withdraw as part of the Rosenthal wells?

17 MR. TRADER: No, we did not.

18 MS. BAKNER: Is a water budget
19 analysis ever used for that purpose?

20 MR. TRADER: It could be.

21 MS. BAKNER: Which is the better
22 method of determining how much water you can
23 withdraw from the system?

24 MR. TRADER: A pumping test is a good
25 way to do it.

(WATER SUPPLY, GROUNDWATER & SURFACE WATER ISSUE)

3609

1 MS. BAKNER: To the both of you then:
2 The purpose of the water budget analysis and
3 the pumping tests in this case were different,
4 and maybe if you could address that a little
5 bit in terms of the work that you've done on
6 other projects?

7 DR. GOWAN: Water budget is very

8 commonly used, like we used it here, to
9 evaluate what the impacts of the project will
10 be on water balance. You can use them in some
11 situations to determine if you have enough
12 recharge in a particular aquifer to determine
13 whether you have enough volume available for a
14 given pumping scenario. But this is the more
15 typical way that it's used.

16 MS. BAKNER: Are you confident that
17 the results you obtained from both analyses
18 are actually reflective of the conditions that
19 are going to occur during the site?

20 MR. RUZOW: Post-development.

21 MS. BAKNER: Post-development?

22 MR. TRADER: I think the result that
23 indicates that there will be no negative
24 change is consistent with that, yes.

25 DR. GOWAN: Yes, we're confident.
(WATER SUPPLY, GROUNDWATER & SURFACE WATER ISSUE)

□

3610

1 MR. GERSTMAN: I didn't hear that.

2 MS. BAKNER: Dr. Gowan, could you
3 repeat what you said.

4 DR. GOWAN: I said yes, we are
5 confident.

6 MR. GERSTMAN: Mr. Trader, I didn't
7 hear what you said.

8 MR. TRADER: I said that there would
9 be no negative change to the recharge in
10 groundwater, yes, we're confident in that.

11 MS. BAKNER: Is there anything else
12 you want to add into the record, Steve,
13 relative to your July 28th letter on water

14 budget, irrigation and precipitation?

15 MR. TRADER: Not at this time.

16 MS. BAKNER: Do you have any other
17 questions on that, your Honor?

18 ALJ WISSELER: No.

19 MS. BAKNER: To return to your other
20 letter dated July 28th, 2004, this is a
21 response to comments made by Mr. Habib. And I
22 guess we did respond the day that Mr. Habib
23 gave his testimony; and I would just like you
24 to indicate, is there anything different or
25 new in this letter than what we had responded
(WATER SUPPLY, GROUNDWATER & SURFACE WATER ISSUE)

1 to previously as far as Mr. Habib's testimony?³⁶¹¹

2 MR. RUZOW: The letter being referred
3 to is Applicant's Exhibit 98.

4 MR. TRADER: I don't remember the
5 specific answers to some of those things that
6 were provided at the time. I'm not sure if
7 one of these letters was referenced at that
8 point.

9 MS. BAKNER: Let's just go through it
10 generally then, and we can point to the
11 exhibits that we have with respect to the flow
12 meter because I would like you to go over that
13 and show the Judge the flow meter in case he
14 has any questions.

15 So the first point that Mr. Habib made
16 was that there were differing versions of a
17 particular Table 1A. If you could just
18 briefly explain how that came about.

19 MR. TRADER: We discovered -- the
20 first version of Table 1A contained flow data
21 from streams that were collected with a flow
22 meter that Sam is going to bring over here in
23 a minute.

24 ALJ WISSLER: How much longer are you
25 going to be, because it's quarter of five?
(WATER SUPPLY, GROUNDWATER & SURFACE WATER ISSUE)

3612

1 MS. BAKNER: A while.

2 ALJ WISSLER: How long is a while --
3 how late do we want to go today?

4 MR. RUZOW: Off the record.

5 (4:45 P.M. - DISCUSSION OFF THE
6 RECORD.)

7 ALJ WISSLER: We're going to take
8 Ms. Bianconi and then we'll break for the day.

9 MS. BAKNER: Mary Beth Bianconi's
10 resume is included in the exhibit list.

11 Mary Beth, if you could just briefly
12 go over your qualifications, and in particular
13 your connections to this project.

14 MS. BIANCONI: I have a Bachelor's
15 Degree, and I have credits towards a Master's
16 Degree in Environmental Planning. I've been
17 doing planning and permitting for engineering
18 projects for about 14 years, and I was the
19 project manager at Delaware Engineering for
20 the water supply and wastewater disposal
21 aspects of the Environmental Impact Statement
22 for the Belleayre Resort.

23 MS. BAKNER: In addition to working on
24 the Belleayre Resort aspect of the project,

25 did you fulfill any role or function with
(WATER SUPPLY, GROUNDWATER & SURFACE WATER ISSUE)

1 respect to the modification of the Pine Hill ³⁶¹³
2 water supply permit?

3 MS. BIANCONI: I worked as the project
4 manager for the modification of the Pine Hill
5 water supply permit, as well as for the
6 evaluation and the design of improvements to
7 the Pine Hill Water System for the owner,
8 Mr. Gitter.

9 MS. BAKNER: What has your connection
10 and Delaware Engineering's connection been
11 with the Village of Fleischmanns?

12 MS. BIANCONI: For the Village of
13 Fleischmanns, Delaware Engineering has
14 provided two services; one is conducted a
15 value engineering and then a redesign for the
16 Village's wastewater treatment plant, which is
17 being funded by the City of New York as part
18 of the new infrastructure program.

19 The system had been designed -- it was
20 about to be put out to bid. There were
21 concerns about the price adequacy of the
22 system that had been designed by another
23 engineer. Delaware Engineering was hired to
24 conduct value engineering, and redesign and

25 rebid the system, which they did. It was a
(WATER SUPPLY, GROUNDWATER & SURFACE WATER ISSUE)

1 wastewater treatment plant and collection ³⁶¹⁴
2 system, and that is now under construction.

3 In addition to that, Delaware

4 Engineering provided analysis and an
5 evaluation of the Village of Fleischmanns'
6 water supply system for the use of the Village
7 for the purposes of making improvements to the
8 Village's water supply system -- absent the
9 Belleayre project, it was a separate project
10 done for the village.

11 MS. BAKNER: I guess what I'd like you
12 to address first is the -- there have been
13 allegations that the use of the Rosenthal
14 wells or the use of Silo A will have -- by the
15 resort -- will have an adverse effect on the
16 water supply owned now by the Town of
17 Shandaken and operated for the benefit of the
18 former Village of Pine Hills, the Pine Hill's
19 sewer district, if you will.

20 Could you please tell me if you are
21 aware of any circumstances that would lead our
22 use of those water supplies to cause any
23 difficulties to the Pine Hill system.

24 MS. BIANCONI: No, there's no reason
25 to believe at this point that there will be
(WATER SUPPLY, GROUNDWATER & SURFACE WATER ISSUE)

3615

1 any impacts of the use of either Rosenthal
2 wells or Silo A on the Pine Hill system. The
3 impacts of the Rosenthal wells were just
4 discussed in great detail, or the potential
5 impacts on the Pine Hill water system.

6 Silo A I can address a little more
7 specifically. The Bonnie View Springs are the
8 only water source that is currently on-line
9 serving the 128 customers that are part of the

10 Pine Hill water supply, and that's the only
11 source that's been on-line since -- in the
12 year 2000, Mr. Gitter purchased the system --
13 and for apparently sometime prior to that.

14 As previously discussed by Mr. Trader,
15 silo A currently flows into Crystal Spring
16 Brook. The water is present, whether it's
17 used for some other purpose or it simply flows
18 freely. Therefore, the use of it by the
19 resort will not impact Bonnie View Springs any
20 more than its current flow that goes into
21 Crystal Spring Brook impacts the Bonnie View
22 Springs.

23 A little more about silo A. It was
24 originally constructed in the early 1990s. It
25 was never owned by the Pine Hill water
(WATER SUPPLY, GROUNDWATER & SURFACE WATER ISSUE)

□

1 Company, and it was never permitted by the
2 Ulster County Department of Health for public
3 water supply use.

3616

4 The Pine Hill Water System has been in
5 existence for many years, over 100 years. In
6 1970, it received its first water supply
7 permit, Permit Number 5889, which I'm sure is
8 an exhibit.

9 MS. BAKNER: It's an attachment to
10 some of the documents, and I'll identify that
11 later for you, your Honor.

12 MS. BIANCONI: In that permit, it's
13 not a -- what we call a modern water supply
14 permit, it's a narrative style permit, and

Vol. 14 (7-29-04crossroads)
15 there is no total taking, per se, identified
16 in that permit. The Pine Hill Water Company
17 in 2001 submitted a permit modification, which
18 is WSA 10181, Applicant's Exhibit 56, I
19 believe.

20 MS. BAKNER: That was the permit
21 modification that resulted from the
22 application. The application is included as
23 Exhibit 120. It's the Pine Hill Water Company
24 Application for Modification of a Public Water
25 Supply Permit. Also included in here is all
(WATER SUPPLY, GROUNDWATER & SURFACE WATER ISSUE)

1 the letters and comments that make up the 3617
2 record, as much as we were able to locate
3 them, that make up the record of DEC's
4 determination to issue the public water supply
5 permit modification.

6 MS. BIANCONI: That public water
7 supply permit modification was sought by the
8 Pine Hill water Company in conjunction with an
9 application for State Revolving Loan Fund
10 monies, and improvements that would occur to
11 the Pine Hill Water System.

12 In order to secure SRF funds, State
13 Revolving Fund money, you have to have a valid
14 water supply permit. And given the age of the
15 prior water supply permit, the Department of
16 Health and the environment conservation -- I'm
17 sorry, the EFC, Environmental Facilities
18 Corporation that administers the SRF program
19 determined that an updated water supply permit
20 needed to be secured. The purpose of that

21 modification was to document and permit the
22 sources.

23 The Ulster County Department of Health
24 is the entity that has -- is the agency of
25 primacy over public water supplies in Ulster
(WATER SUPPLY, GROUNDWATER & SURFACE WATER ISSUE)

3618

1 County, and the application sought their
2 approval, as well as DEC's approval, for Pine
3 Hill Well Number 1, Silo B Station Road
4 Spring, Station Road Well; and in addition,
5 just to maintain the current permit that was
6 in existence for the Bonnie View Springs.

7 MS. BAKNER: There was also -- just
8 let me add in here -- there was also later on
9 an agreement to add Silo B as a potential --
10 unhooked up -- but a potential source for the
11 system that came to be owned by the town, and
12 that's also covered here in Applicant's
13 Exhibit -- it's one of the Applicant's
14 exhibits which is a letter to Alec Ciesluk,
15 and it details the fact that there's a lease
16 between the Silk Road organizations and the
17 Pine Hill Water Company, allowing the Pine
18 Hill water Company to use Silo B.

19 So it was a lease. Then when the
20 system was transferred to the town, the town
21 purchased Silo B. So that's how it came to be
22 part of the Pine Hill system.

23 MS. BIANCONI: In addition to
24 documenting and permitting the sources,
25 another purpose of submitting the water supply
(WATER SUPPLY, GROUNDWATER & SURFACE WATER ISSUE)

1 permit modification was to provide a current
2 demand estimate, as well as do some projected
3 future demands.

4 The projected future demands were
5 required by the Ulster County Department of
6 Health, and there was a lot of back-and-forth
7 regarding the methodology that should be used
8 to determine those values.

9 The current demand was found basically
10 using the meter reading, which we discussed
11 the last time I was here, where there was a
12 flow meter in the existing Pine Hill water
13 treatment system. Water flows through it,
14 every day the operator writes down the value,
15 they subtract it from the day before, and they
16 can determine how much water is used by the
17 system on a daily basis. And those records
18 are very detailed and have been provided in
19 another exhibit.

20 In addition to that, a future demand
21 calculation was made -- what was done was the
22 housing stock, the existing housing stock was
23 evaluated based on the most current census
24 data. Looked at the average number of persons
25 per the occupied houses, did a little map with
(WATER SUPPLY, GROUNDWATER & SURFACE WATER ISSUE)

1 the unoccupied houses, and came up with what
2 it would be if you took the average number of
3 people and put them in all of the houses, not
4 just the occupied houses. That was one
5 evaluation.

6 In addition to that, the GIS
7 information that's available from the City of
8 New York was used to determine how much other
9 available land there was in the village, look
10 at zoning and then take the current zoning and
11 figuring out what the highest and best use for
12 each of the vacant parcels on the land could
13 be. Figure out how much demand those would
14 add to the system as well, basically a full
15 buildout scenario under existing zoning and
16 existing housing stock, including vacant and
17 occupied.

18 MR. RUZOW: You used the word
19 "village." You meant former village?

20 MS. BIANCONI: Former village, which
21 is the approximate boundary of the service
22 area of the Pine Hill water District. That
23 resulted in a value, future demand value, of
24 211,000 gallons per day.

25 MS. BAKNER: And that, your Honor,
(WATER SUPPLY, GROUNDWATER & SURFACE WATER ISSUE)

1 that's all set forth in Applicant's Exhibit ³⁶²¹
2 117, and the information regarding Silo B is
3 in Applicant's Exhibit 116.

4 Let me just ask you a quick question:
5 In your experience, what was the Ulster County
6 Department of Health's goal in having you do
7 this sort of unusual evaluation of the
8 future -- of the likely future needs of the
9 village of Pine Hill? Hamlet.

10 MS. BIANCONI: The Ulster County

11 Department of Health had taken the position
12 for some time that they need to protect their
13 communities from diminished economic capacity.

14 One of the ways that they look at that
15 is they say you shouldn't reduce the amount of
16 sewage capacity that the community has or
17 water capacity, those types of things, but
18 they also understand that those numbers have
19 to be realistic, they have to be supportable.
20 You can't pick numbers out of the sky; they
21 have to be something that's documented and
22 supported based on good engineering practice.

23 when the Pine Hill -- wastewater
24 treatment plant, which was owned and operated
25 by the City of New York, was being
(WATER SUPPLY, GROUNDWATER & SURFACE WATER ISSUE)

□

1 reconstructed -- updated in the mid-1990s, 3622
2 Ulster County Department of Health was a very
3 vocal supporter of keeping the capacity of
4 that plant the same.

5 The original capacity was based on
6 evaluations done in the 1920s. There was
7 quite a lot more population in Pine Hill, and
8 quite a lot more seasonal population in Pine
9 Hill, resulting in a quite large capacity that
10 the City was required to provide to the then
11 village, now hamlet.

12 The water system -- a similar position
13 was taken by the Ulster County Department of
14 Health. Dean Pallen, is the Director of that
15 department, went through detailed analysis
16 with us in terms of looking at making sure

17 that the village's future ability to grow and
18 develop was not limited by the total taking of
19 water that would be on this water supply
20 permit since the previous permit in 1970
21 didn't have a total taking, as we think of it
22 today as a permit perspective.

23 MS. BAKNER: Bonnie View Springs, you
24 mentioned earlier, currently supplies all the
25 water needs of the district, the Pine Hill
(WATER SUPPLY, GROUNDWATER & SURFACE WATER ISSUE)

1 District. In addition to the Bonnie View 3623
2 Springs, what other sources are available to
3 them to come on-line to provide more water in
4 the future?

5 MS. BIANCONI: In terms of the permit
6 or in terms of what there's physically
7 connected to the system right now?

8 MS. BAKNER: I guess I mean in terms
9 of the permit primarily because they have
10 assets that are not currently hooked up?

11 MS. BIANCONI: Correct. Their permit
12 currently lists Pine Hill well Number 1, it
13 lists Station Road well.

14 MS. BAKNER: Here you go, Applicant's
15 Exhibit 56.

16 MS. BIANCONI: So Bonnie View Springs,
17 Pine Hill well Number 1, Station Road Spring.
18 Those are the -- I'm sorry, and Station Road
19 well in addition. There are four sources.

20 MS. BAKNER: Look at special
21 condition 1.

22 MS. BIANCONI: Special condition 1
23 gives them the ability to bring Silo B on-line
24 if they conduct certain tests and meet certain
25 approvals of both the State Health Department
(WATER SUPPLY, GROUNDWATER & SURFACE WATER ISSUE)

3624

1 and the Department of Environmental
2 Conservation.

3 MS. BAKNER: So right now they're
4 serviced solely by Bonnie View Springs; they
5 have additional sources of water, many of
6 which aren't even hooked up yet.

7 Historically, particularly say within
8 the past five years, what was the primary
9 contributing factor to the water that was
10 being used within the hamlet? where was all
11 the water going?

12 MS. BIANCONI: The Pine Hill water
13 system, not unlike most old water systems, 100
14 years old plus, had suffered from a lack of
15 attention over the years, and had many, many
16 leaks in the system, which were slowly in some
17 respects identified and corrected after the
18 year 2000 when Mr. Gitter took possession of
19 the system. So the demand for the system
20 dropped significantly from somewhere in the
21 180 to 200,000 gallon-a-day range on an
22 average-day basis to about 80,000 gallons a
23 day, current-day basis.

24 MS. BAKNER: That was due solely to
25 the --
(WATER SUPPLY, GROUNDWATER & SURFACE WATER ISSUE)

3625

1 MS. BIANCONI: Corrections, to
Page 199

2 replacements of pipes; fixing broken, leaky
3 water pipes; fixing the service connections,
4 curb stops, valves, those types of things that
5 were done after 2000 after Mr. Gitter
6 purchased the system.

7 MS. BAKNER: I would draw your
8 attention, your Honor, to Exhibits 105, 106,
9 107, 108, 109 and 110, all of which relate to
10 various determinations by the Public Service
11 Commission regarding the extent of repairs
12 that had been made to the system.

13 what happened was some of the
14 residents who used the water supply brought a
15 petition before the Public Service Commission
16 seeking to have the Public Service Commission
17 hold a hearing on the condition of the system.
18 And the Public Service Commission determined
19 that no such hearing was necessary. There was
20 an additional request for rehearing which was
21 denied, and there was no further activity with
22 respect to that.

23 We've included all this in the record
24 to demonstrate that the system was in terrible
25 repair when Mr. Gitter purchased it, and that
(WATER SUPPLY, GROUNDWATER & SURFACE WATER ISSUE)

the findings in the Public Service Commission
were that under his ownership, it was
substantially improving -- far from completely
improved -- and that the efforts of the then
current owner, Mr. Gitter, to obtain funding
were viewed as positive.

7 Mary Beth, if you could just go over
8 that. Were they successful in obtaining any
9 grants or anything?

10 MS. BIANCONI: They were successful in
11 obtaining a grant and loan package from the
12 State Revolving Loan Fund. I believe it
13 totaled about 1.2 million dollars. My
14 recollection is that about \$700,000 was a
15 grant, the remainder was a loan, which
16 resulted in a significant benefit to the 128
17 users in the system. It reduces the cost to
18 them over time to pay for those improvements.
19 So they were successful in receiving that
20 grant.

21 MS. BAKNER: Based on your experience
22 in working with other communities in obtaining
23 such grants, would it have been possible to
24 fix the system and charge the users of the
25 system absent these grants and loans?
(WATER SUPPLY, GROUNDWATER & SURFACE WATER ISSUE)

3627

1 MS. BIANCONI: No, the reason that
2 there is -- the program that allowed the Pine
3 Hill Water Company to get a grant as opposed
4 to a loan is called a hardship program.

5 And there's a mathematical formula
6 that's used based on percentages of median
7 household income in the service area, whereby
8 the federal government determines, somewhere
9 along the line, every year what a reasonable
10 cost of water service is to people in
11 different income brackets, and median
12 household income is the standard that's used.

13 Given the median household income of
14 the hamlet of Pine Hill, they were able to
15 apply for and receive a grant for 75 percent
16 of the cost of repairing their system, which
17 is very good money.

18 MS. BAKNER: Subsequent to obtaining
19 the permit, did you continue to be involved in
20 the design of the system on behalf of the Pine
21 Hill Water Company?

22 MS. BIANCONI: Yes.

23 MS. BAKNER: -- at some point there
24 was an agreement to transfer the Pine Hill
25 Water Company assets to the Town of Shandaken.
(WATER SUPPLY, GROUNDWATER & SURFACE WATER ISSUE)

□

3628

1 Did you assist and help in that process?

2 MS. BIANCONI: Yes.

3 MS. BAKNER: And what was the result
4 of that process?

5 MS. BIANCONI: The result of that
6 process was that the Town of Shandaken
7 purchase the assets of the Pine Hill Water
8 Company. In addition to those assets, they
9 also purchased an asset that was separately
10 owned by a separate corporation known as Silo
11 B, for their use.

12 MS. BAKNER: The petition to the PSC
13 to transfer the assets, which is included in
14 Applicant's Exhibit 109, includes a copy of
15 the agreement among the town and Pine Hill
16 Water Company. Applicant's Exhibit 110 is the
17 Public Service Commission order approving the

18 vol. 14 (7-29-04crossroads)
transfer.

19 Once the system was transferred to the
20 Town of Shandaken and it became a sewer
21 district within the town --

22 MS. BIANCONI: Water district.

23 MS. BAKNER: -- water district,
24 forgive me, within the town, did you continue
25 to be involved at all in that?

(WATER SUPPLY, GROUNDWATER & SURFACE WATER ISSUE)

3629

1 MS. BIANCONI: We were no longer
2 involved in the process. We transferred the
3 files that we had per the agreement to the
4 town for their use in continuing to make
5 improvements.

6 MS. BAKNER: Is there anything else
7 you can tell us about the Pine Hill system or
8 its ability to service the residents of Pine
9 Hill?

10 MS. BIANCONI: The Pine Hill system
11 is, you know by water supply standards,
12 somewhat archaic; however, having said that,
13 it's also a wonderfully efficient system. The
14 springs present water. There's no pumping
15 required. Whether they use the water or not,
16 it's always present, it's always there.
17 whatever water they don't draw onto the
18 system, they treat and send to the customers,
19 goes into Birch Creek. That water would be
20 present absent the Pine Hill Water System --
21 which is the same case with Silo A. Silo A
22 sits there and discharges water to Crystal
23 Spring Brook. Whether or not someone happens

24 to put a pipe on it and tap it off, and send
25 it someplace else.

(WATER SUPPLY, GROUNDWATER & SURFACE WATER ISSUE)

1 It's a wonderful, beautiful system in ³⁶³⁰
2 Pine Hill. It's very simple. It doesn't
3 require a high level of treatment. It is not
4 a tremendous amount of variation in the flow
5 from Bonnie View Springs, which is shown in
6 the infamous Table 1A.

7 And it's a very good system for the
8 community. It's relatively low cost. It
9 doesn't require expensive filtration; it
10 doesn't require a tremendous amount of
11 chemical. It does, however, need to be
12 upgraded, and the town is certainly aware of
13 that. It needs to make some basic
14 improvements.

15 Right now on a per capita basis,
16 per-person basis, the system is using about
17 600 gallons per capita per day, which is
18 extremely high. That means that there's quite
19 a lot of loss. The Department of Health
20 standard is about 100 gallons a day per
21 capita.

22 So five times the amount of water is
23 running through the system is being lost into
24 the ground that replacing pipes and making
25 other improvements could improve. But it's a
(WATER SUPPLY, GROUNDWATER & SURFACE WATER ISSUE)

1 very good system. ³⁶³¹

2 MS. BAKNER: As far as you know, the

3 plans are still going forward to replace the
4 antiquated -- the old distribution system?

5 MS. BIANCONI: As far as I know, the
6 town was able to secure similar funding to
7 what the Pine Hill Water Company had secured.
8 In addition, the town had funding available
9 from HUD, which is now called the Governor's
10 Office of Small Cities, that they were
11 intending to use for this purpose. And we
12 transferred to them all of the records that we
13 had of the engineering that had been done up
14 to the time that the system was transferred
15 for them to continue with it.

16 MS. BAKNER: Again, let me ask you one
17 last time: will the use of Silo A or the
18 bedrock Rosenthal wells have any impact on the
19 current -- on the system and the permit that
20 was received by the Pine Hill Water District?

21 MS. BIANCONI: Based on the geologic
22 analysis that's been done, and based on the
23 current situation in setting in Pine Hill
24 relative to Silo A and Bonnie View Springs,
25 no.

□ (WATER SUPPLY, GROUNDWATER & SURFACE WATER ISSUE)

1 MS. BAKNER: Are you confident that ³⁶³²
2 the Ulster County Health Department carefully
3 insured that all of the future water needs of
4 the hamlet or the district could be satisfied?

5 MS. BIANCONI: Within all reason that
6 we can document, yes.

7 MS. BAKNER: Moving now to the system,
8 the village of Fleischmanns' system. The

9 Village of Fleischmanns has a water supply,
10 and as related in the Draft Environmental
11 Impact Statement, we're proposing to purchase
12 water from the Village of Fleischmanns to be
13 used by an independent water company for the
14 Wildacres portion of the resort. And we have,
15 from the Village of Fleischmanns, a letter of
16 intent indicating their willingness to sell us
17 water. Can you tell me a little about the
18 Village of Fleischmanns' system.

19 MS. BIANCONI: The village of
20 Fleischmanns' system, not unlike the system in
21 Pine Hill, is very old. It consists of three
22 wells and a series of springs. Of those
23 wells, currently two are on-line, one is
24 off-line which is well Number 1, has been
25 off-line since the flood of 1996; and that's
(WATER SUPPLY, GROUNDWATER & SURFACE WATER ISSUE)

1 the well that Dr. Gowan discussed earlier and ³⁶³³
2 there were the questions regarding the
3 potential of groundwater drawing saline water
4 in that well.

5 The springs and well Number 2 and well
6 Number 3 provide all of the water sources for
7 the Village of Fleischmanns, and have since
8 the flood of 1996.

9 Historically, the village of
10 Fleischmanns, between a combination of pumping
11 wells and taking water from their springs,
12 served or provided, treated, 250,000 gallons
13 of water a day on average, which is a very

14 large number given that the full-time, regular
15 population of the village is 351 people. That
16 would indicate that there were significant
17 leaks in the system, which is not surprising
18 with a water system that's 100 years old.

19 In 2001 and 2002, in conjunction with
20 the work that the village was doing relative
21 to their new sewer plant, they were going to
22 put in sewer lines -- needed to identify where
23 all the water lines were so they can provide a
24 separation between the sewer lines that were
25 going to be constructed and the existing water
(WATER SUPPLY, GROUNDWATER & SURFACE WATER ISSUE)

□

3634

1 lines.

2 They very, very wisely, in addition to
3 identifying them, also had the company that
4 did that work, identify where there were major
5 leaks. They repaired a number of major leaks,
6 and the system use dropped and stabilized from
7 its former 250,000 a day on average to about
8 72,000 gallons a day on average.

9 MS. BAKNER: I want to note that those
10 records are included in Applicant's Exhibit
11 51D, which is the Conceptual Design Report for
12 the Wildacres Resort. There were some records
13 included previously, but I think in this
14 document we have put the entire set, which
15 shows the reduction in the water usage, and
16 the fact that it's been constant and that it
17 hasn't gone back up for a substantial period
18 of time.

19 MS. BIANCONI: Again, we look at
Page 207

20 engineering, good practice rules of thumb, go
21 back to about 100 gallons per day per capita
22 per person. There was about 350 people who
23 live in the village, that would equate to --
24 given their current water use of 72,000
25 gallons a day average -- about 200 gallons per
(WATER SUPPLY, GROUNDWATER & SURFACE WATER ISSUE)

3635

1 day per capita.

2 So they still have some excess use in
3 there, but it's significantly better than
4 250,000 gallons a day, which is what they were
5 previously pumping and taking from their
6 springs, basically sending into their
7 distribution system, losing the vast majority
8 of it.

9 And the reason why we know it was lost
10 is because the entire system is metered in the
11 village of Fleischmanns. They have metered
12 records. They can go and look and see exactly
13 how much each service connection is used.
14 They were billing somewhere in the
15 neighborhood of 40,000 gallons and yet pumping
16 and treating 250,000 gallons.

17 So it was significant loss, and they
18 have rectified that to a great extent.
19 There's a source versus demand table which
20 is --

21 MR. RUZOW: 123.

22 MS. BIANCONI: Applicant's Exhibit 123
23 is the wildacres Source Versus Demand
24 calculation which shows the capacities as

Vol. 14 (7-29-04crossroads)
tested by Alpha Geoscience of the three wells
(WATER SUPPLY, GROUNDWATER & SURFACE WATER ISSUE)

25

□

3636

1 and the springs, and it also shows the demand
2 that the village currently uses on an
3 average-day basis, shows their maximum day of
4 demand, and then it also shows those in
5 combination with the demand that would be
6 expected from the Wildacres Resort relative to
7 an average day and a maximum day.

8 Given this analysis, there is enough
9 water within the existing system to meet all
10 of the applicable regulatory standards that
11 have been previously discussed in terms of Ten
12 State Standards to meet both the demand of the
13 village and the demand of the resort combined.

14 And just interesting to note, that
15 combined demand is on an average-day basis
16 about the same as the prior village demand
17 when they had not fixed all their leaks. It's
18 about 250,000 gallons a day.

19 If we were looking to see if there
20 were going to be impacts from the resort using
21 water from the village of Fleischmanns'
22 system, we have no further to look than back a
23 couple years ago before they fixed their leaks
24 to see that when they were drawing

25 250,000 gallons a day, what were the impacts,
(WATER SUPPLY, GROUNDWATER & SURFACE WATER ISSUE)

□

3637

1 what were the impacts on Emory Brook, and what
2 were the impacts -- there didn't appear to be
3 any because that demand, the new demand of the
4 village, combined with the demand of the

5 resort, is going to equal the former demand of
6 the village alone.

7 MS. BAKNER: Is there anything else
8 you want to add about the system for the
9 village of Fleischmanns?

10 MS. BIANCONI: The village of
11 Fleischmanns -- the only other thing I'll
12 add -- is in a very similar position to the
13 Pine Hill Water District. The village of
14 Fleischmanns has also applied for and
15 received -- they received low-interest loan
16 funding from the State Revolving Fund to
17 upgrade and improve their system as well. And
18 they are looking at adding additional storage
19 capacity, replacing a number of pipeline that
20 has not been replaced or repaired recently,
21 and treatment improvements.

22 MS. BAKNER: What benefits will the
23 village of Fleischmanns glean from selling the
24 resort water?

25 MS. BIANCONI: The village of
(WATER SUPPLY, GROUNDWATER & SURFACE WATER ISSUE)

□

1 Fleischmanns will glean quite a number of
2 benefits, mostly which are economic. The
3 resort is proposing to take raw water,
4 untreated water from the village system that
5 would be supplied to the resort, and the
6 resort is a public water supply with its own
7 under the PSC -- and with its own water
8 company -- would be required to treat that to
9 standards and then handle all the customer

3638

10 vol. 14 (7-29-04crossroads)
11 billing and customer complaints and any of the
12 other things that go on with being a public
13 water supplier.

14 The village's only responsibility
15 would be to provide that raw water to the
16 resort at a cost. That cost is a rate that's
17 set by the village. It can be changed at
18 least annually.

19 Frequently, it's often the case where
20 the resort is considered an out-of-district
21 user, the resort will be outside of the
22 exiting village, so the village can charge a
23 little bit more money on a per-gallon or
24 per-thousand-gallon basis.

25 All of that revenue comes back to the
village to basically cover their cost of
(WATER SUPPLY, GROUNDWATER & SURFACE WATER ISSUE)

1 electricity for the pumping -- that's really ³⁶³⁹
2 their only cost -- they're going to have to
3 have a well pump and they're going to have to
4 pump it to get it up the hill to the treatment
5 system for the proposed resort. It would
6 cover their electric cost, but it would far
7 exceed that. It's money to their bottom line.
8 It's a revenue source, which again will help
9 them subsidize the improvements that they need
10 to make in their system.

11 MS. BAKNER: Mary Beth, are you aware
12 of any other user or potential user, like
13 Belleayre Resort, that would be in a position
14 to purchase water from the Village of
15 Fleischmanns?

16 MS. BIANCONI: I'm not aware of any,
17 no.

18 MS. BAKNER: So this is kind of a
19 unique opportunity?

20 MS. BIANCONI: It appears to be, for
21 the Village.

22 MS. BAKNER: Mary Beth, one of the
23 sources that the Village of Fleischmanns has
24 used in the past up until the flood of 1996
25 was Well 1, I believe.

(WATER SUPPLY, GROUNDWATER & SURFACE WATER ISSUE)

1 Looking at the draft permit proposed ³⁶⁴⁰
2 to be issued by the Department, there's a
3 specific condition that applies to that, and I
4 just want to -- here is the Wildacres Resort
5 one -- Special Condition Number 1?

6 MS. BIANCONI: Special Condition
7 Number 1 of that draft permit for the
8 Wildacres Resort requires that Fleischmanns
9 Village Well Number 1 be rehabilitated or
10 replaced and reconnected to the water system.

11 Essentially Fleischmanns Village Well
12 Number 1 is located very close to Emory Brook,
13 and in the flood of 1996 the transmission line
14 that runs from that well into the system was
15 separate -- was broken, crushed or otherwise
16 prevents water from now going from the well
17 into the system.

18 In addition to simply replacing that,
19 more studies will need to be conducted before
20 that well will be brought on-line after it has

21 Vol. 14 (7-29-04crossroads)
been rehabilitated and replaced.

22 In determination of the potential
23 influence of surface water into the
24 groundwater, we need to be connected as it
25 would be with any public water supply well.
(WATER SUPPLY, GROUNDWATER & SURFACE WATER ISSUE)

3641

1 In addition to potentially
2 rehabilitating that well, there's also quite a
3 bit of public property in an area where a new
4 well could be drilled that would replace it,
5 which would provide for modern well drilling
6 techniques. You would have full records of
7 the construction of the well, as the existing
8 well is quite old and there are not available
9 records as to its construction in terms of
10 depth of the casing, those kinds of things.

11 So there are several opportunities
12 there to bring well Number 1 back on-line.

13 MS. BAKNER: Right. Our proposal at
14 this point is to rehabilitate the connection
15 with well 1 and the rest of the system?

16 MS. BIANCONI: Right.

17 MS. BAKNER: There have been some
18 criticisms that we haven't done the same
19 number of extensive, expensive groundwater
20 pumping tests for the village of Fleischmanns
21 system. As an environmental professional, is
22 there some reason why that's the case?

23 MS. BIANCONI: The Fleischmanns system
24 is a currently active, operating system. When
25 tests were conducted, even if tests were to be
(WATER SUPPLY, GROUNDWATER & SURFACE WATER ISSUE)

1 conducted today, there are limitations. It's
2 an active system. You can't take certain
3 resources off of line and still maintain
4 supply to the village, primarily because they
5 lack storage. Most systems have at least a
6 day of storage, if not two days of storage.

7 The village of Fleischmanns' system
8 lacks that storage volume, that storage
9 capacity, leaving basically an inability to
10 take the water resources off of line for any
11 period of time other than very briefly -- to
12 conduct the types of tests that have already
13 been conducted.

14 MS. BAKNER: Given what you told us
15 about the amount of water that was previously
16 just flushed through the system, would any
17 reasonable person think that there's not
18 enough water here to supply the resort?

19 MS. BIANCONI: If you were to add the
20 total volume of the water resources, you're
21 well over 550,000 gallons of water a day
22 available to the system. The resort is,
23 arguably, using 190,000 gallons a day that's
24 maximum, the village is using 180,000 gallons
25 a day that's maximum. There's still more than
(WATER SUPPLY, GROUNDWATER & SURFACE WATER ISSUE)

1 adequate capacity remaining in the existing
2 water resources to serve both those demands.

3 MR. RUZOW: Without storage?

4 MS. BIANCONI: Storage is a
5 requirement, at least 24 hours. That's one of

6 the reasons the Village is updating their
7 system; their storage capacity is limited
8 right now. I believe it's 80,000 gallons. So
9 that's pretty marginal, considering their use
10 is about 72,000 gallons. So they want to
11 increase that, increase the location -- put a
12 third storage in a better location.

13 MR. RUZOW: That's all part of the
14 plans for the improvement to the Village
15 system?

16 MS. BIANCONI: Village system, which
17 would be happening regardless of whether the
18 Belleayre project is occurring or not. They
19 simply need to comply with current standards.

20 There's a long regulatory history,
21 which I believe is in 51D, from the Department
22 of Health, the Oneonta District Office of the
23 New York State Department of Health,

24 long-standing letter writing and mandates to
25 the Village long prior to the Belleayre Resort
(WATER SUPPLY, GROUNDWATER & SURFACE WATER ISSUE)

1 even being conceptualized. They need to make ³⁶⁴⁴
2 their system to comply with current standards.

3 MR. RUZOW: With respect to the
4 Fleischmanns system as distinct from Pine
5 Hill, the State Health Department is the lead
6 agency with respect to Fleischmanns?

7 MS. BIANCONI: That's correct. The
8 Village of Fleischmanns is located in Delaware
9 County which does not have a County Department
10 of Health; therefore, the agency of primacy is
11 the New York State Department of Health, the

12 Oneonta District Office.

13 In Ulster County, there is a
14 Department of Health, and the State Health
15 Department defers to the Ulster County
16 Department of Health for these types of
17 improvements. They work together.

18 MS. BAKNER: Anything else you want to
19 add?

20 MS. BIANCONI: No.

21 MS. BAKNER: That's it.

22 ALJ WISSELER: Okay. Thank you. We
23 will at this time adjourn until tomorrow
24 morning.

25 (5:44 P.M. - WHEREUPON, THE ABOVE
□ (WATER SUPPLY, GROUNDWATER & SURFACE WATER ISSUE)

3645

1 PROCEEDINGS ADJOURNED FOR THE DAY.)

2
3
4
5
6
7
8
9
10
11
12
13
14
15
16

17
18
19
20
21
22
23
24
25

□

(WATER SUPPLY, GROUNDWATER & SURFACE WATER ISSUE)

3646

1
2
3
4
5

C E R T I F I C A T I O N

6 I, THERESA C. VINING, hereby certify
7 and say that I am a Shorthand Reporter and a Notary
8 Public within and for the State of New York; that I
9 acted as the reporter at the Issues Conference
10 proceedings herein, and that the transcript to which
11 this certification is annexed is a true, accurate
12 and complete record of the minutes of the
13 proceedings to the best of my knowledge and belief.

14
15
16

THERESA C. VINING

17
18
19

DATED: September 1, 2004.

20
21
22

vol. 14 (7-29-04crossroads)

23

24

25

□