

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

ISSUES CONFERENCE

VOLUME 13

---

In the Matter of the Applications of  
CROSSROADS VENTURES, LLC  
for the Belleayre Project at Catskill Park  
for permits to construct and operate pursuant to  
the Environmental Conservation Law

---

Margaretville Fire House  
Margaretville, New York  
July 21, 2004

B E F O R E :

HON. RICHARD WISSLER,  
Administrative Law Judge

A P P E A R A N C E S :

WHITEMAN, OSTERMAN & HANNA, LLP.  
Attorneys for Applicant,  
CROSSROADS VENTURES, LLC  
One Commerce Plaza  
Albany, New York 12260

BY: DANIEL A RUZOW, ESQ., of Counsel  
BY: TERRESA M. BAKNER, ESQ., of Counsel

NEW YORK STATE DEPARTMENT  
of Environmental Conservation  
Region 3  
21 South Putt Corners Road  
New Paltz, New York 12561

BY: CAROL BACKMAN KREBS, ESQ., of Counsel  
Assistant Regional Attorney  
BY: VINCENT ALTIERI, ESQ., of Counsel  
Regional Attorney

□

A P P E A R A N C E S, Continued:

LAW OFFICE OF MARC S. GERSTMAN  
Attorneys for  
CATSKILL PRESERVATION COALITION,  
Robinson Square  
313 Hamilton Street  
Albany, New York 12210

5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

BY: MARC S. GERSTMAN, ESQ., of Counsel  
BY: CHERYL A. ROBERTS, ESQ., of Counsel  
BY: MARC YAGGI, ESQ., of Counsel

NEW YORK CITY LAW DEPARTMENT  
OFFICE OF CORPORATION COUNSEL  
100 Church Street  
New York, New York 10007-2601

BY: DANIEL GREENE, ESQ., of Counsel  
BY: MICHAEL BURGER, ESQ., of Counsel

YOUNG, SOMMER...LLC  
Attorneys for THE COALITION  
OF WATERSHED TOWNS  
DELAWARE COUNTY,  
TOWN OF MIDDLETOWN,  
TOWN OF SHANDAKEN  
Executive Woods - 5 Palisades Drive  
Albany, New York 12205

BY: KEVIN M. YOUNG, ESQ., of Counsel

□

1	APPLICANT'S PRESENTERS	3126
2		PAGE
3	STEPHEN RUSHMORE	3140
4	ERICH BAUM	3178
5	KEVIN FRANKE	3285
6	A. MARTIN PETROVIC	3287
7		
8		
9	COALITION OF WATERSHED TOWNS, ET AL.	
10		

7-21-04crossroadsf

11 KEITH S. PORTER 3216  
 12 DEAN FRAZIER 3225  
 13  
 14  
 15 DEP  
 PRESENTER  
 16  
 17 CRAIG SEYMOUR 3214  
 18 CHARLES CUTIETTA-OLSON 3267  
 19  
 20 DEC  
 PRESENTER  
 21  
 22 WILLIAM MIRABILE 3360  
 23  
 24  
 25

□

1 APPLICANT'S 3127  
 EXHIBITS  
 2  
 3  
 4 87 CV OF STEPHEN RUSHMORE 3129  
 5 88 SPRING ISLAND, SOUTH 3129  
 CAROLINA WEB PRINTOUT  
 6 89 HILLIER & ASSOCIATES, PA 3129  
 WEB PRINTOUT  
 7  
 8 90 CV OF EDWIN MCMULLEN 3129  
 9 91 CV OF RICHARD RAGATZ AND 129  
 RAGATZ ASSOCIATES  
 RELATED INFORMATION  
 10 92 CV OF A. MARTIN PETROVIC 3280  
 11  
 12 10 "NEW YORK CITY 3210  
 DEPARTMENT OF  
 13 ENVIROMENTAL PROTECTION  
 BUREAU OF WATER SUPPLY  
 14 DATED 5/15/03"  
 15 94 "GOLF COURSE IMPACTS TO 3281  
 SHALLOW GROUNDWATER

16 7-21-04crossroadsf  
 SUFFOLK COUNTY, NY,  
 DECEMBER 2002"  
 17  
 18 95 "GROUND WATER QUALITY 3281  
 WATER QUALITY IMPACTS BY  
 GOLF COURSES"  
 19  
 20 96 "TURFGRASS AND 3281  
 ENVIRONMENTAL RESEARCH  
 ONLINE - USGA"

21  
 22 WATERSHED  
 COMMUNITIES  
 EXHIBITS  
 23

24 7 RESUME OF KEITH S. 3210  
 PORTER  
 25

3128

1  
 2 8 DELAWARE COUNTY 3210  
 COMPREHENSIVE STRATEGY  
 3  
 4 9 "DELAWARE COUNTY ACTION 3210  
 PLAN DCAP II FOR  
 5 WATERSHED PROTECTION AND  
 ECONOMIC VITALITY"  
 6 10 DCAP REPORT TO THE 3210  
 PHOSPHORUS STUDY  
 7 COMMITTEE AND PARTNER  
 AGENCIES DECEMBER 2002  
 8  
 9 11 "PROPOSED PHASE II 3211  
 PHOSPHORUS TMDL  
 10 CALCULATIONS FOR ASHOKAN  
 RESERVOIR MARCH 1999"  
 11 12 "PROPOSED PHASE II 3211  
 PHOSPHORUS TMDL  
 12 CALCULATIONS FOR  
 13 PEPACTION RESERVOIR MARCH  
 1999"

14 CITY  
 EXHIBIT  
 15

16 28 LIST OF PESTICIDES 3277  
 PERMITTED FOR USE ON  
 17 PP8-11 OF THE WILDACRES  
 DRAFT SPEDES PERMIT & PG  
 18 18 OF THE BIG INDIAN  
 SPEDES PERMIT FOR WHICH  
 19 CERTIFIED ANALYTICAL  
 20 METHODS DO NOT CURRENTLY  
 EXIST

21 DEC EXHIBIT

22  
23  
24  
25

8 "WILDACRES RESORT - 3360  
SPDES PERMIT NO. NY 027  
0661 PESTICIDES LIMITS  
EVALUATION"

3129

1 (JULY 21, 2004)

2 (9:28 A.M.)

3 P R O C E E D I N G S

4 (CV OF STEPHEN RUSHMORE RECEIVED AND  
5 MARKED AS APPLICANT'S EXHIBIT NO. 87, THIS  
6 DATE.)

7 (SPRING ISLAND, SOUTH CAROLINA WEB  
8 PRINTOUT RECEIVED AND MARKED AS APPLICANT'S  
9 EXHIBIT NO. 88, THIS DATE.)

10 (HILLIER & ASSOCIATES, PA WEB  
11 PRINTOUT RECEIVED AND MARKED AS APPLICANT'S  
12 EXHIBIT NO. 89, THIS DATE.)

13 (CV OF EDWIN MCMULLEN RECEIVED AND  
14 MARKED AS APPLICANT'S EXHIBIT NO. 90, THIS  
15 DATE.)

16 (CV OF RICHARD RAGATZ AND RAGATZ  
17 ASSOCIATES RELATED INFORMATION RECEIVED AND  
18 MARKED AS APPLICANT'S EXHIBIT NO. 91, THIS  
19 DATE.)

20 ALJ WISSLER: Appearances of counsel  
21 for the record.

22 MR. RUZOW: Dan Ruzow and Terresa  
23 Bakner for the Applicant.

24 MR. ALTIERI: Vincent Altieri and  
25 Carol Krebs for Staff.

(ALTERNATIVES ISSUE)

3130

1 MR. GERSTMAN: Marc Gerstman, Eric  
2 Goldstein and Marc Yaggi for the Catskill  
3 Preservation Coalition.

4 MR. BURGER: Michael Burger for the  
5 New York City Law Department.

6 MR. YOUNG: Kevin Young for the  
7 watershed communities.

8 ALJ WISSLER: I know the agenda that  
9 was tentatively set today. Has there been  
10 some discussion among counsel as to how you  
11 want to proceed this morning?

12 MR. RUZOW: Our assumption is  
13 alternatives first, and then --

14 MR. YOUNG: We would like to go  
15 second. We have the stormwater issues.

16 ALJ WISSLER: After alternatives?

17 MR. YOUNG: After alternatives.

18 MR. RUZOW: Then pesticides in one  
19 block, I guess, is just continuing.

20 ALJ WISSLER: Marc, is that your  
21 understanding where we are?

22 MR. GERSTMAN: Yes, Judge.

23 ALJ WISSLER: Mr. Ruzow, go ahead.

24 MR. RUZOW: Your Honor, we have had  
25 premarked five exhibits regarding our  
(ALTERNATIVES ISSUE)

□

1 alternative presentation today. Applicant's<sup>3131</sup>  
2 Exhibit 87 is the curriculum vitae of Stephen  
3 Rushmore of HVS International. Applicant's  
4 Exhibit 88 is a printout, web printout on  
5 Spring Island, South Carolina, project  
6 -- referred to by Dr. Alschuler in his  
Page 6

7 presentation on -- I believe it was June 10th.

8 Applicant's Exhibit 89 is an exhibit  
9 -- is a web printout and information on  
10 Hillier & Associates that prepared one of the  
11 studies that are found in Appendix 27 of the  
12 DEIS.

13 Applicant's Exhibit 90 is a curriculum  
14 vitae of Edwin McMullen whose letter can be  
15 found also in Appendix 27 under the "Letters"  
16 tab there.

17 And Applicant's Exhibit 91 is both the  
18 CV of Richard Ragatz and a printout of the  
19 services of Ragatz Associates, formerly RCI  
20 Consulting. And RCI's report is also found in  
21 Appendix 27.

22 I would like to start this morning on  
23 placing the context of our alternative  
24 discussion and debate in terms of the SEQRA  
25 requirement. Consideration of reasonable and  
(ALTERNATIVES ISSUE)

□

1 feasible alternatives to an action under 3132  
2 SEQRA, provision found in Section 617.9,  
3 little letter "b", No. 5, Roman 5, starts with  
4 an understanding of the objectives of the  
5 project sponsor, which are clearly stated in  
6 DEIS Section 1.3.3 found at page 1-21 of the  
7 DEIS.

8 And I quote, "To develop a  
9 recreation-oriented resort that will  
10 compliment the current recreational  
11 opportunities at the Belleayre Mountain Ski

12 Center, and together provide a four-season  
13 destination resort in the central Catskills  
14 region, as outlined in the various studies  
15 discussed in DEIS Section 1.3.2."

16 Many of those studies which we have  
17 referred to and include as exhibits, including  
18 the Route 28 Corridor study, the Central  
19 Catskill Planning Alliances, Tourist  
20 Destination and the various exhibit numbers  
21 you recall from last week, including the west  
22 of Hudson Economic Development studies, which  
23 were also included, among others.

24 These studies have formed the basis  
25 for both local and regional planning for over  
(ALTERNATIVES ISSUE)

□

1 40 years, emphasizing that tourism and  
2 increased tourism visitation is the primary  
3 economic goal for this region.

3133

4 State agencies, DEC in particular, as  
5 well as local government and not-for-profit  
6 organizations, have recognized and taken steps  
7 to achieve this goal. And we have heard of  
8 many in this proceeding so far, various  
9 efforts taken by various entities to try to  
10 make the area more attractive to tourists, et  
11 cetera.

12 While some improvement and investment  
13 has been achieved, the central Catskills still  
14 suffer economically with limited employment  
15 opportunities and many business failures,  
16 despite its proximity to the New York  
17 metropolitan market and the vast protected



18 open space that exists here.

19 There is a recognized public need for  
20 improving the local economy, local and  
21 regional economy. New facilities and  
22 amenities to attract visitors and to provide a  
23 more sustainable year-round employment have  
24 been identified as needed, including golf  
25 courses and destination resorts. They are in  
(ALTERNATIVES ISSUE)

3134

1 the mix of opportunities that are being  
2 sought. These goals have been consistently  
3 ratified by resolution in their respective  
4 towns as development policies in Shandaken and  
5 Middletown. And their zoning allows for these  
6 uses.

7 The developers of the proposed  
8 Belleayre Resort have participated in and  
9 actively followed the local and regional  
10 economic and planning studies over the last 12  
11 years. It's their desire to attract a new  
12 source of visitor to the region by providing  
13 resort facilities not otherwise available  
14 locally or regionally.

15 The project is not simply an  
16 investment choice for these individuals. I  
17 think this is perhaps where we have our  
18 greatest odds with Dr. Alschuler's comments  
19 and some of the other comments on the DEIS.

20 They have included -- the project  
21 developers have included new amenities and  
22 features that are designed to attract

23 visitation year-round and to increase the  
24 length of stay over current visitation  
25 experience. Such facilities include  
(ALTERNATIVES ISSUE)

3135

1 championship golf courses designed by  
2 world-acclaimed professionals, hotels of  
3 world-class design and ambience,  
4 European-style health spas.

5 Timeshare and club share elements to  
6 be managed by the hotels are modern features  
7 of resort development. You'll hear some more  
8 about that this morning. And if successful,  
9 will help provide the year-round flow of  
10 extended visitation to the region, which has  
11 been identified as needed.

12 The recreational and cultural program  
13 to be coordinated with state and local  
14 facilities and interests will provide  
15 opportunities for guests and their families to  
16 enjoy the incredible natural beauty and  
17 resources available, but largely underutilized  
18 in the central Catskills. The inclusion of  
19 each of the project's facilities and features  
20 have been carefully considered to address  
21 identified opportunities and to maximize the  
22 likelihood of the project's programmatic and  
23 economic success.

24 An internationally recognized group of  
25 professionals, whose principal business is  
(ALTERNATIVES ISSUE)

3136

1 related to the development of hotels, resorts  
2 and fractional interest and timeshare

3 component, were retained to guide the project  
4 sponsors in creating the proposed Belleayre  
5 Resort.

6 These expert advisors include SE  
7 Engineering and Walter Elander, who you heard  
8 last week; HVS International and Steven  
9 Rushmore and Erich Baum. You will be  
10 introduced to Mr. Rushmore in just a few  
11 minutes. RCI Consulting and Richard Ragatz,  
12 whose resume is included here and whose report  
13 is included in the DEIS. Edwin McMullen,  
14 again, whose resume is here. And the letter  
15 from Mr. McMullen has been included in the  
16 report. He's been an advisor to the project,  
17 though his report has been fairly limited for  
18 DEIS purposes. As well as Hillier &  
19 Associates, PA, a law firm that specializes in  
20 club memberships and marketing of memberships  
21 nationwide. Their work is also in Appendix  
22 27. The resumes are included, as I said, in  
23 the exhibits before you.

24 SEQRA's consideration of alternatives  
25 to avoid or minimize significant adverse  
(ALTERNATIVES ISSUE)

□

1 environmental effects that may arise from a <sup>3137</sup>  
2 proposal must be viewed in the context of the  
3 project sponsor's objective. Suggestions that  
4 consideration or further study of an exclusive  
5 purported "ecosensitive" residential  
6 development, such as Spring Island, South  
7 Carolina, suggested by Dr. Alschuler, will

8 achieve neither the project sponsor's goals,  
9 nor the local and regional goals of increased  
10 employment and tourist visitation.

11 Nowhere in the Route 28 Corridor  
12 study, Applicant's Exhibit 83; the Tourist,  
13 Development Plan for the Central Catskill  
14 Planning Alliance, Applicant's Exhibit 8; or  
15 the West of Hudson Economic Development  
16 Studies, Applicant's Exhibits 70, 71 or 72 and  
17 CPC Exhibit 18, is there a recommendation that  
18 second-home development be the cure for the  
19 regional economic ills.

20 Neither will a project that depends  
21 primarily on horseback riding or hiking. Both  
22 activities have long been available to this  
23 region with only modest economic effect. And  
24 there's no reasonable basis to suggest that a  
25 luxury hotel or first-class hotel might draw  
(ALTERNATIVES ISSUE)

□

1 guests seeking such recreational opportunities<sup>3138</sup>  
2 in the region.

3 There are other forms of development  
4 that have taken place and could take place on  
5 a much smaller scale to attract tourists to  
6 the area, but they don't have the same  
7 profound economic opportunities that a resort  
8 hotel provides.

9 The analysis undertaken by HVS  
10 International and included in the DEIS,  
11 undertaken by HVS International at Appendix  
12 27, was in response to a comment letter from  
13 NRDC, and later DEC's Staff's direction that

14 the Applicant consider a smaller resort or  
15 demonstrate that the proposed project, its  
16 scale was needed, and that a smaller project  
17 was financially infeasible.

18 Specifically, DEC asked that we  
19 consider building only the Big Indian Spa and  
20 Country Club or the Wildacres Resort, east  
21 side or west, or alternatively we can consider  
22 eliminating one of the golf courses in either  
23 location.

24 HVS was asked to advise the Applicant  
25 on whether such a suggestion was feasible.  
(ALTERNATIVES ISSUE)

□

1 That is, could the project still be viewed as <sup>3139</sup>  
2 viable from the perspective of either further  
3 equity participants and downstream  
4 institutional lenders who would participate in  
5 resort financing with or without these  
6 components.

7 Their perspective, their particular  
8 expertise, is from the hotel resort  
9 development industry. And so their ability to  
10 provide that glimpse into how this project  
11 would be viewed was, we viewed, as most  
12 telling. And that's the basis of their  
13 analysis of their input to this proceeding.

14 HVS's conclusion following their  
15 careful analysis was that the proposal, as  
16 currently conceived with two hotels and  
17 associated golf courses, was the only  
18 alternative that was viable in a resort

19  
20  
21  
22  
23  
24  
25  
  
1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24

context on these sites.  
With that, let me introduce Stephen  
Rushmore, and ask Mr. Rushmore to describe  
your educational background and your  
experience. His resume is Applicant's Exhibit  
87. It is particularly lengthy, but it is  
also instructive in terms of the breadth and  
(ALTERNATIVES ISSUE)

3140

depth of his experience in this field.  
MR. RUSHMORE: Good morning. I have  
-- my education, I have a degree in hotel  
administration from Cornell University. I  
have an MBA in finance from the University of  
Buffalo.  
My employment history started in 1971  
when I was employed as a consultant for  
Helmsley-Spear in New York City working in  
their hospitality division doing feasibility  
studies, market studies, valuations of hotels.  
I left Helmsley-Spear three years  
later in the '70s, and worked for a real  
estate development trust that was controlled  
by Bankers Trust. I was a hotel foreclosure  
specialist. I would go out -- this was during  
the bust years for real estate investment  
trust in the '70s-- I would go out and  
foreclose hotels, then I'd change the  
management and sell the hotels for the trust.  
I returned to Helmsley-Spear, headed  
up their valuation section from the late '70s  
until 1980 when I established HVS  
International. That initially stood for

25 Hospitality Valuation Services.  
(ALTERNATIVES ISSUE)

3141

1 I am president and founder of HVS  
2 International. We are a global hotel  
3 consulting firm. We have 22 offices around  
4 the world, including New York, San Francisco,  
5 Vancouver, Sao Paulo, Buenos Aires, London,  
6 Singapore, New Delhi, Sidney, amongst offices  
7 around the world.

8 Our specialty is doing hotel market  
9 studies and valuations and investment analysis  
10 for investors. We offer a wide range of  
11 services. We do executive search. We do  
12 mortgage financing. We do brokerage. We do  
13 interior design. We help hotels obtain  
14 casinos. We do restaurant consulting. We do  
15 marketing consulting for hotels, and we  
16 operate hotels for third parties.

17 Along the way, I am a member of the  
18 Appraisal Institute. I began being a member  
19 of the Appraisal Institute back in 1976, and I  
20 was the first appraiser member that had a  
21 degree in hotel administration.

22 I focused on valuing hotels and doing  
23 market studies of hotels. I've written  
24 extensively -- I've written all four textbooks  
25 for the Appraisal Institute on the valuation  
(ALTERNATIVES ISSUE)

3142

1 of hotels and motels and market studies and  
2 investment analysis. I have written books on  
3 how to perform feasibility studies, market

4 studies. I've written approximately 300  
5 articles that appeared in various trade  
6 journals, including the Cornell Quarterly, the  
7 Real Estate Finance Journal, Real Estate  
8 Review, many different types of journals.

9 I write a monthly column for Hotels  
10 Magazine. I teach at Cornell in their summer  
11 session on hotel valuations and market  
12 studies. I've done that for the past 15  
13 years. I developed a course on hotel  
14 valuations and market studies for the  
15 Appraisal Institute. I have taught it  
16 approximately 75 times around the country.

17 I have literally trained pretty much  
18 all the appraisers and people that do hotel  
19 market studies on the process for performing  
20 these types of studies, analyzing hotel  
21 investments.

22 ALJ WISSLER: Yet you've found time to  
23 do this?

24 MR. RUZOW: And we thank your Honor  
25 and the other parties for accommodating the  
(ALTERNATIVES ISSUE)

1 schedule that will allow him to come today.

3143

2 MR. RUSHMORE: We have about 200  
3 professionals around the world, and we work on  
4 approximately 1500 hotels a year. I have  
5 worked on pretty much every major hotel in the  
6 United States. I have been involved with them  
7 in some form through HVS.

8 A second aspect of my life is that I'm  
9 also a hotel investor. Through a company



10 called HEI Hospitality, we started buying  
11 hotels in 1985. We did hotel syndications  
12 during the '80s. During the '90s, we bought  
13 distressed hotels. During the mid-'90s, we  
14 joint ventured with Prudential in their Prissa  
15 2 account.

16 MR. RUZOW: How do you spell that?

17 MR. RUSHMORE: It's their pension fund  
18 account, P-R-I-S-S-A.

19 And we built up a portfolio of 20  
20 hotels that we owned and operate. One of the  
21 hotels is the Marriott Seaview Country Club in  
22 Absecon, New Jersey, which is right across the  
23 harbor from Atlantic City. Very similar to  
24 this hotel we're looking at here in the  
25 Catskills, it's a 300-room Marriott hotel with  
(ALTERNATIVES ISSUE)

1 two 18-hole golf courses. We own that, and it<sup>3144</sup>  
2 was operated by Marriott.

3 we sold our entire portfolio to  
4 Starwood in 1997, and we have started  
5 acquiring hotels again in the last 12 months.  
6 And we have bought 20 hotels, all  
7 full-service, first-class hotels. They  
8 include Westin Hotels, Marriott Hotels, Hilton  
9 Hotels. Similar hotel with golf courses is  
10 the Sheraton Ferncroft outside of Boston, a  
11 300-room hotel with an 18-hole golf course  
12 that we own and operate.

13 So the combination of being totally  
14 emersed for the last 35 years in the hotel

15 business, and also participating actively as  
16 an investor buying hotels, negotiating to  
17 transact hotels and also selling hotels, I've  
18 picked up a lot of experience.

19 ALJ WISSLER: Mr. Rushmore, have you  
20 ever been involved in the development of  
21 environmental impact statements before?

22 MR. RUSHMORE: Have I ever done an  
23 environmental impact study?

24 ALJ WISSLER: Yes.

25 MR. RUSHMORE: No.  
(ALTERNATIVES ISSUE)

1 MR. RUZOW: When Mr. Baum was here on <sup>3145</sup>  
2 the 10th, he had given us a brief explanation  
3 of some of the analytical work that HVS does  
4 in terms of appraisal work and marketing  
5 feasibility. The breadth of your clients are  
6 included in here, and you have indicated that.  
7 As I read them, there's a mix of both  
8 financial institutions, as well as hotel  
9 management. The nature of the work you do is  
10 all focused on hotel hospitality, but for a  
11 variety of different types of clients; is that  
12 correct?

13 MR. RUSHMORE: That's correct. We  
14 work for virtually every major hotel owner,  
15 lender and operator throughout the world.

16 MR. RUZOW: Can you explain some of  
17 the nature of the marketing and the  
18 feasibility analysis that you have done for  
19 other projects?

20 MR. RUSHMORE: As I said, we work on  
Page 18

21 about 1500 hotels a year, of which probably  
22 10 percent are proposed hotels, and 90 percent  
23 are existing hotels that we're doing some type  
24 of consulting work for. Some of the hotels  
25 that we've worked on over the years, resort  
(ALTERNATIVES ISSUE)

3146

1 hotels, we've done the Equinox Hotel --

2 MR. RUZOW: In Manchester?

3 MR. RUSHMORE: In Manchester, Vermont.

4 We did the Sagamore Hotel up in upstate --

5 MR. RUZOW: Lake George.

6 MR. RUSHMORE: -- Lake George. We  
7 have worked on the Greenbriar Hotel, Mount  
8 Washington Hotel. Those are some of the major  
9 resort hotels that we have worked on over the  
10 years.

11 MR. RUZOW: Can you explain a little  
12 bit of the work of HVS International outside  
13 of the U.S.? You mentioned the offices you  
14 have. What's the nature of the work you have  
15 around the world?

16 MR. RUSHMORE: Very similar. Our  
17 London office is our second largest office,  
18 and they work in Europe and the Mideast and  
19 Africa. And they do market studies and  
20 feasibility studies and brokerage and  
21 financing.

22 MR. RUZOW: You have had an  
23 opportunity to review the resume of Dr. John  
24 Aulschuler that was included in the petition,  
25 CPC's petition as -- that was attached to the  
(ALTERNATIVES ISSUE)

1 petition. Are you familiar with  
2 Dr. Aulschuler of Hamilton, Rabinowitz and  
3 Aulschuler, and their firm's work?

4 MR. RUSHMORE: No, I am not.

5 MR. RUZOW: We've included as  
6 Applicant's Exhibit 89 the resume of Hillier  
7 and Associates, PA, and you have had an  
8 opportunity to review their report in the  
9 DEIS. Have you been familiar with their work?

10 MR. RUSHMORE: Yes.

11 MR. RUZOW: Just -- just in this  
12 matter or other matters?

13 MR. RUSHMORE: We have heard of them.  
14 Never worked directly with them, but we have  
15 seen their work product over the years.

16 MR. RUZOW: Are you familiar with  
17 Richard Ragatz and RCI International?

18 MR. RUSHMORE: Very familiar. Richard  
19 is my primary competitor in consulting on  
20 timeshare-s.

21 MR. RUZOW: Are you familiar with  
22 Edwin McMullen, Sr.?

23 MR. RUSHMORE: Very much.

24 MR. RUZOW: Mr. McMullen's role  
25 -- Applicant's Exhibit 90, Mr. McMullen's role  
(ALTERNATIVES ISSUE)

1 in the industry, is he a senior sort of a  
2 person in the industry?

3 MR. RUSHMORE: He's a very  
4 distinguished, very experienced and very  
5 ethical gentleman involved in the timeshare

6 business. He is one of the persons -- people  
7 that have taken a rather sleazy industry that  
8 had a very poor reputation, and he worked very  
9 hard to make it a very prominent business with  
10 very good morals and ethics.

11 MR. RUZOW: You have had an  
12 opportunity to review the DEIS, the letter  
13 from Mr. McMullen, the two reports, the  
14 Hillier & Associates report in the DEIS and  
15 the RCI report in preparing your report?

16 MR. RUSHMORE: Yes.

17 MR. RUZOW: Is it fair to characterize  
18 these nationally recognized experts as  
19 enthused about -- enthused is probably a good  
20 word -- enthused about the economic prospects  
21 of the Belleayre Resort at this stage in its  
22 development?

23 MR. RUSHMORE: Yes, my reading of  
24 their reports indicate that they had a  
25 positive outlook for the feasibility of this  
(ALTERNATIVES ISSUE)

□

1 resort, even though it's still in very  
2 preliminary stages.

3149

3 MR. RUZOW: Dr. Alschuler, when he was  
4 here on, I believe, June 10th, was -- I would  
5 characterize or ask you to accept that he  
6 characterized the resort's chances of being  
7 associated with a flag, such as the  
8 Ritz-Carlton, as remote and was more  
9 pessimistic, I suspect, than these  
10 consultants. Is that your read of these other

11 consultants and your own view of the project?  
12 Is there an opportunity -- they talk perhaps  
13 maybe about a flag, what I have just referred  
14 to?

15 MR. RUSHMORE: The flag, as its known  
16 in the hotel industry, is the franchise or the  
17 referral organization that you align with to  
18 give your hotel instant identity. These are  
19 relatively easy to obtain, if you have a  
20 quality hotel that fits their standards.

21 For example, if you construct a  
22 five-star hotel, it's pretty easy to get Four  
23 Seasons or Ritz-Carlton to flag the hotel or  
24 put their brand on it, and also to operate it.  
25 In both of those cases, Four Seasons,  
(ALTERNATIVES ISSUE)

1 Ritz-Carlton, they will not brand your hotel<sup>3150</sup>  
2 unless they operate it.

3 They will give you a management  
4 contract to manage your hotel. They typically  
5 don't put up any monies so they don't really  
6 have any money at risk in the property itself.  
7 They obviously have their brand image at risk  
8 and their name at risk, so they need to  
9 maintain the hotel at certain standard levels.

10 But as far as a hotel like this with  
11 the type of amenities that this hotel will  
12 have, will be very attractive to, I would say  
13 Ritz-Carlton, Four Seasons for the five-star  
14 hotel. Starwood would be very interested.  
15 They would do a St. Regis for the five-star,  
16 and probably Sheraton or Westin for the

17 four-star hotel. They would love to operate  
18 this.

19 It would not compete with any of their  
20 hotels in the area because there are not any  
21 hotels like this in the area. Usually the  
22 problems you run into in trying to get a flag  
23 is that if you have a competing hotel in the  
24 same market area, you may not be able to get a  
25 flag. This occurred out in California. For  
(ALTERNATIVES ISSUE)

1 example, Marriott wanted to brand a hotel that <sup>3151</sup>  
2 was within ten miles of their Ritz-Carlton  
3 Laguna Niguel Hotel, and they couldn't do it  
4 because the owner of the Ritz-Carlton wouldn't  
5 allow that.

6 This doesn't occur in the northeast.  
7 There are really no five-star resort hotels in  
8 the northeast, so obtaining a brand would not  
9 be difficult at all.

10 ALJ WISSLER: What are the minimum  
11 amenities that a hotel has to have in order to  
12 be five-star or four-star? Must it have. Can  
13 you give me a punch list of, you have to have  
14 this, you have to have that? Tell me what  
15 makes a five-star.

16 MR. RUSHMORE: Amenity-wise for a  
17 five-star hotel, you have to have a restaurant  
18 that serves three meals a day. You would have  
19 to have --

20 ALJ WISSLER: McDonald's?

21 MR. RUSHMORE: No, a good dining room

22 that would serve three meals a day.

23 ALJ WISSLER: Tell me what that means.

24 I'm being flip. Does that mean an executive

25 chef with some reputation? What does that  
(ALTERNATIVES ISSUE)

3152

1 mean?

2 MR. RUSHMORE: Yes, it would have to  
3 be a good executive chef, and it would have to  
4 be a four- to five-star dining room. You  
5 would have to have room service for a  
6 five-star hotel, and also a four-star hotel.  
7 A four-star hotel probably would not need to  
8 have as good a dining room as a five-star  
9 hotel. And really, just the other -- those  
10 are really the only amenities that you need to  
11 attract an operator of a five-star hotel.

12 You asked me a very specific question,  
13 so if this was in the middle of Manhattan,  
14 really all you need are the level of quality  
15 of finishes, the size of the guest rooms and  
16 the service levels, and a restaurant, and the  
17 ability to serve liquor. That would be the  
18 minimum that you would need to attract the  
19 brand.

20 Up here you are going to need more  
21 amenities. You'll attract the brand, but  
22 you're not going to be feasible unless you  
23 attract the client, the customer.

24 ALJ WISSLER: Which means what? Means  
25 I don't have to have a golf course in  
(ALTERNATIVES ISSUE)

3153

1 Manhattan but I probably ought to have one up



2 here? Is that what you're saying?

3 MR. RUSHMORE: Exactly.

4 ALJ WISSLER: Tell me what else has  
5 got to be on that list.

6 MR. RUSHMORE: Up here -- what you  
7 want to look at when you get into a resort  
8 area, particularly a seasonal resort area, is  
9 how are you going to fill up your hotel at  
10 least two seasons of the year. That is really  
11 the critical part of making a resort hotel  
12 that's seasonal feasible. So you need to have  
13 two good seasons a year.

14 Up here you have skiing in the  
15 wintertime, and you will have -- you need  
16 something to do in the summertime. The most  
17 logical thing to put would be a golf course --  
18 at least one golf course. We think two golf  
19 courses for this type of project in this area  
20 and the type of business that you're going  
21 after is essential.

22 ALJ WISSLER: But as a minimum, one  
23 golf course?

24 MR. RUSHMORE: No, we're saying a  
25 minimum of this would be two. The reason for  
(ALTERNATIVES ISSUE)

3154  
1 this is because unlike a lot of resort areas  
2 where during the summer period people come  
3 seven days a week, up here they seem to only  
4 come on weekends. So you need to have enough  
5 amenity that is going to hold people here for  
6 the five days during the week.

7 This hotel -- the only way this hotel  
8 is going to survive during the weekdays on a  
9 year-round basis is to attract groups. Groups  
10 typically want a golf experience.

11 I belong to a number of real estate  
12 groups, and we will not go to -- when we go to  
13 a meeting, we will not go to a hotel unless  
14 they have a golf amenity.

15 MR. RUZOW: You don't play golf?

16 MR. RUSHMORE: And I don't play golf,  
17 right, but that's just the way the group  
18 operates. The golf amenity is essential.  
19 Having two golf courses typically, how that  
20 typically impacts a hotel operation, it  
21 typically takes a group and makes the group  
22 stay an extra day.

23 Typically, a group will come into a  
24 resort for -- if they have one golf course,  
25 would probably come in for three days. So you  
(ALTERNATIVES ISSUE)

3155

1 have Monday, Tuesday and Wednesday filled,  
2 you're going to die Thursday and Friday. By  
3 having that extra golf course, what happens is  
4 that group will probably stay an extra day.  
5 It's a lot easier to sell a four- and five-day  
6 stay. So you'll have that Monday through  
7 Friday filled up, and that's going to be the  
8 key to the feasibility of this property, is  
9 the ability to fill up the midweek period of  
10 time.

11 The weekends are pretty easy to fill  
12 in this area in the summertime, the shoulder

13 seasons and certainly in the wintertime.

14 ALJ WISSLER: The shoulder seasons?

15 MR. RUSHMORE: The shoulder seasons  
16 would be the spring and the fall season. The  
17 fall season, that is really the strong season  
18 for groups. So September, October, beginning  
19 of November, you really want to fill that  
20 hotel up seven days a week with groups.

21 MR. RUZOW: You have been involved, as  
22 your resume indicated, for many years now at  
23 the highest level of hotel and resort  
24 financing issues as well?

25 MR. RUSHMORE: Right.  
(ALTERNATIVES ISSUE)

1 MR. RUZOW: Have you ever seen a hotel <sup>3156</sup>  
2 feasibility or financing evaluation by either  
3 Dr. Alschuler in the firm of HR&A or RKG  
4 Associates or Cashin Associates?

5 MR. RUSHMORE: No, I have not.

6 MR. RUZOW: To your knowledge, does  
7 Dr. Alschuler or RKG or Cashin Associates  
8 share a similar reputation in the hospitality  
9 field to that of Hillier & Associates, Ragatz  
10 and McMullen?

11 MR. RUSHMORE: I have never seen them  
12 in the hospitality -- at industry events.  
13 They really don't have any profile in the  
14 industry that I'm aware of.

15 MR. RUZOW: You've seen  
16 Dr. Aulschuler's resume which indicates -- and  
17 I have worked with Dr. Alschuler on projects,

18 he's very well-respected in the real estate  
19 development field here in New York, but he  
20 appears to be a generalist when it comes to  
21 real estate development and valuation and  
22 feasibility compared to your work in HVS.

23 Is there an advantage that you see in  
24 focussing exclusively on the hospitality  
25 industry in terms of doing both the analysis  
(ALTERNATIVES ISSUE)

1 and an understanding of decision-making by <sup>3157</sup>  
2 investors?

3 MR. RUSHMORE: The hospitality  
4 industry, particularly the hotel aspect, is a  
5 very complicated industry because you are  
6 dealing with a real estate component, and you  
7 are dealing with a business component.

8 The real estate component is pretty  
9 easy to understand after a while, but the  
10 business component is very difficult because  
11 you have a labor force you have to deal with,  
12 you have management, you have marketing,  
13 sales. You have to basically fill your hotel  
14 up every four or five days, so you have  
15 constant renters coming in. You have  
16 marketing. All different types of issues.

17 To really stay up to date on what's  
18 happening in the business of operating hotels  
19 is really a full-time endeavor. And I spend  
20 all my time emersed in the hotel industry  
21 speaking, writing, teaching, reading trades,  
22 interacting with hotel executives on all  
23 levels, and I'm not totally up to speed on

24 everything that's happening.

25 So I can't imagine how a generalist  
(ALTERNATIVES ISSUE)

1 practice can really understand the intimate 3158  
2 details of how hotels operate and what the  
3 latest trends are.

4 MR. RUZOW: You drew a distinction in  
5 terms of leasing, in effect, or renting to  
6 bringing people in every few days. In an  
7 office development, the leasing component is  
8 done on a different schedule?

9 MR. RUSHMORE: Right. You lease  
10 office space for five to 15 years, and once  
11 you've done that, you're finished. A hotel,  
12 it's a business you constantly have to work  
13 at.

14 MR. RUZOW: Is real estate development  
15 for second-home market different than  
16 hotel-resort development?

17 MR. RUSHMORE: Very much so. Again,  
18 it's only one component, the real estate  
19 component. You build the house, you sell it  
20 and you walk away and do nothing. So you're  
21 not really operating the business.

22 MR. RUZOW: From an economic point of  
23 view, the second-home market has a different  
24 economic effect, in terms of some of the goals  
25 that we talked about being sought here in  
(ALTERNATIVES ISSUE)

1 terms of employment and visitation? 3159

2 MR. RUSHMORE: Second homes are

3 typically a weekend use, by definition is a  
4 second home. So you're not going to benefit  
5 the area with anybody coming in or a lot of  
6 people coming in midweek that a  
7 convention-oriented hotel would attract.

8 MR. RUZOW: In terms of employees and  
9 activity, second home --

10 MR. RUSHMORE: Far fewer employees. A  
11 hotel is very labor intensive. Typically,  
12 you'll have one employee for each room in a  
13 hotel, at least.

14 MR. RUZOW: Can you explain the  
15 relationship of the timeshare, club share  
16 market, this fractional interest market, to  
17 resorts in today's market? You talked about  
18 its reputation in the late '80s as being sort  
19 of seedy. What has happened and why has it  
20 become important today?

21 MR. RUSHMORE: What's happened is that  
22 it's become legitimized by the major hotel  
23 brands going into the timeshare business.  
24 Timeshares is a major component of Marriott's  
25 profits these days. Disney sells hundreds and  
(ALTERNATIVES ISSUE)

□

1 hundreds of timeshare units a month. Hilton <sup>3160</sup>  
2 is involved in timeshare. Westin does -- I'm  
3 sorry, Starwood does a lot of timeshare work.  
4 And even Ritz-Carlton, Four Seasons have  
5 timeshare projects. So these have become  
6 mainstream now. Very credible people running  
7 them, not seedy and illegitimate like it was  
8 20 years ago. They form an important

9 component of a resort --

10 ALJ WISSLER: Excuse me. When you say  
11 "seedy and illegitimate," what was the evil  
12 that was visited upon them?

13 MR. RUSHMORE: The evil was that if  
14 somebody developed a resort hotel, independent  
15 resort hotel, and it didn't work as a resort,  
16 it was poorly managed or not in the right  
17 location, didn't have amenities, what they did  
18 to try to bail themselves out, because they  
19 couldn't make money operating as a hotel, they  
20 would timeshare the. And they would take  
21 these projects that were ill-conceived and not  
22 have the right amenities and timeshare it and  
23 sell it to unsuspecting buyers who would not  
24 -- after a while --

25 ALJ WISSLER: They would timeshare the  
(ALTERNATIVES ISSUE)

1 rooms in the hotel?

3161

2 MR. RUSHMORE: Exactly. Right.

3 MR. RUSHMORE: There are also timeshare  
4 developments that were -- didn't have a based  
5 resort hotel but just were in a nice area and  
6 people were trying to sell them as well; isn't  
7 that true?

8 MR. RUSHMORE: There were some, but  
9 during the '80s, most of them were hotels that  
10 didn't work as hotels so they timeshared them.

11 ALJ WISSLER: And that does not happen  
12 now?

13 MR. RUSHMORE: No. If you were to buy

14 a Marriott timeshare or Disney, the units that  
15 you would buy would be built specifically for  
16 timeshare.

17 A timeshare unit today looks like a  
18 two- or three-bedroom apartment. It has a  
19 full kitchen, it has a large living room, has  
20 a dining area, it has large bedrooms. It's  
21 certainly much more elaborate than a typical  
22 hotel room, from a size point of view.

23 So it caters to a different type of  
24 market here. It's like a second home that you  
25 are selling. But instead of selling it to one  
(ALTERNATIVES ISSUE)

3162

1 owner, you're selling it to 50.

2 ALJ WISSLER: Is the fractional  
3 interest always just a couple weeks or can it  
4 be longer? Can it be a second home?

5 MR. RUSHMORE: When you're talking  
6 timeshare, you're talking one-week intervals.  
7 When you talk fractionals, it can be whatever  
8 you want. You can have a quarter share --

9 ALJ WISSLER: Which means three months  
10 of the year?

11 MR. RUSHMORE: Correct.

12 ALJ WISSLER: So I could be a Florida  
13 snowbird with my condo in the Catskills; is  
14 that what you're saying?

15 MR. RUSHMORE: Yes.

16 MR. RUZOW: Erich, when you were here  
17 last, you described the way in which the  
18 fractional shares, there's certain number of  
19 weeks in different periods of the year



20 actually sold rather than a block of just one  
21 season?

22 MR. RUSHMORE: And that varies. It  
23 all depends on the market. What you try to do  
24 in a fractional -- as a seller of fractional  
25 is that you sell maybe one week in the high  
(ALTERNATIVES ISSUE)

1 -- let's say you have -- you're selling 12 <sup>3163</sup>  
2 fractions, so you're selling four weeks. So  
3 you would sell one week in the high season,  
4 one week in the -- two weeks in the shoulder  
5 season, one week in the low season.

6 But it really differs from fractional  
7 to fractional, the markets, the seasonality  
8 and so forth. With this, with two seasons,  
9 with the golf and the skiing, you have a lot  
10 more flexibility on what you are going to  
11 sell.

12 MR. RUZOW: Does the time -- does the  
13 availability of these lodging units and the  
14 fractional interest and the timeshares help  
15 the management of the hotel as well?

16 MR. RUSHMORE: It helps the hotel a  
17 lot. If you sell a fractional or a timeshare,  
18 there will be periods of time when the people  
19 don't want to use it and then that goes into  
20 your hotel inventory to sell as guest rooms.

21 As I said, these rooms are equivalent  
22 to large suites in hotels. So they're very  
23 desirable for individuals who want more room  
24 in their accommodations.

25

3164

1 out your fractionals, you will have occupancy  
2 in the fractionals on a year-round basis, even  
3 during some low seasons. And they will use  
4 your amenities. They will play golf and pay  
5 to play golf at your resort. They will use  
6 your dining room, your food service. So you  
7 won't have the peaks and valleys that a  
8 seasonal hotel will have if you have a  
9 timeshare or fractional component to it.

10

MR. RUZOW: I believe it was  
11 Mr. Ellsworth of Cashin Associates'  
12 presentation, and in their comments on the  
13 DEIS, he noted that in the tables that were  
14 included in the Hillier report and the RCI  
15 report, that not all of the comparables that  
16 were listed in those reports had timeshare  
17 components to them. What do you think that's  
18 a function of?

19

MR. RUSHMORE: It's probably a  
20 function of timing. As I said, timeshare  
21 really has not been adopted in a lot of resort  
22 hotels more than 10 years ago. It's a recent  
23 phenomena that you see timeshare being a  
24 component of a hotel or more of a mixed-use  
25 development, they're called now.

(ALTERNATIVES ISSUE)

3165

1 Ritz-Carlton, Four Seasons have only been  
2 selling timeshares for the last five years or  
3 so.

4

MR. RUZOW: Is there anything to  
Page 34

5 suggest that this trend is going to go the  
6 other way, back to not having timeshares as a  
7 component, based on your crystal ball?

8 MR. RUSHMORE: No, it's going to be a  
9 more important part of hotel development, more  
10 -- particularly upscale hotels. We're seeing  
11 this even in center city hotels. You look at  
12 related companies that developed the  
13 Ritz-Carlton in Boston, the Ritz-Carlton in  
14 New York and the Ritz-Carlton in Washington,  
15 D.C., they all have residential components.  
16 And they're called Condominiums by  
17 Ritz-Carlton. They have all the amenities  
18 -- use of all the services that a Ritz-Carlton  
19 hotel would have. So you could buy a  
20 condominium and order room service from the  
21 Ritz-Carlton restaurant to come up to your  
22 condominium.

23 MR. RUZOW: But here we're not talking  
24 about a condominium-type ownership, we're  
25 focused on the fractional interest shares and  
(ALTERNATIVES ISSUE)

□

3166

1 timeshares?

2 MR. RUSHMORE: Right.

3 MR. RUZOW: In preparing your report,  
4 you relied on the RCI and Hillier Associates  
5 reports that were in the DEIS, and then you  
6 indicated that these firms are in the  
7 -- they're expert in the timeshare marketing.  
8 Have you relied on their reports of these  
9 firms in the past?

10 MR. RUSHMORE: We have relied on  
11 Ragatz reports, where we have -- that's formed  
12 the timeshare component of a resort  
13 development.

14 MR. RUZOW: We've talked about the  
15 changes. These reports were prepared -- the  
16 RCI was 2001 and Hillier was in 1999, and  
17 you've indicated, has the timeshare market  
18 changed even in the last two or three years?

19 MR. RUSHMORE: Yes, it has grown in  
20 strength. What we noticed after 9/11 was the  
21 hotels with the timeshare component might have  
22 lost some occupancy for their transient base,  
23 but all the timeshare owners came. So as far  
24 as the -- the timeshare occupancy was  
25 virtually not affected by 9/11.

(ALTERNATIVES ISSUE)

1 MR. RUZOW: As you know, the Belleayre<sup>3167</sup>  
2 Resort has these two components, the five-star  
3 and four-star hotels that we have talked about  
4 in the past. Can you give us an understanding  
5 of the factors that will affect the success of  
6 establishing a new hotel here in the  
7 northeast, sort of the key issues as you see  
8 it that you're familiar with? You've been at  
9 the site, you've been in the area. You talked  
10 about the two-season component. Perhaps talk  
11 also about the relationship to the market and  
12 the location itself.

13 MR. RUSHMORE: As I described, the  
14 seasonality is important, and whenever you  
15 design a hotel, you design to try to maximize

16 the seasons that you can draw people from. So  
17 the golf component is a critical component of  
18 this project. Being a group-oriented hotel  
19 and having enough meeting space is important.  
20 Spa is also important because the golf  
21 component tends to attract the male customer,  
22 the spa tends to attract the female customers.  
23 You have some synergies there.

24 The secondary area that is positive is  
25 the proximity to large population bases, being  
(ALTERNATIVES ISSUE)

1 New York and Boston and Philadelphia, and some<sup>3168</sup>  
2 of the secondary cities of Albany.

3 It's relatively easy to get up here.  
4 The transportation is good. The driving is  
5 easy. That's very important for a resort  
6 location is to have access.

7 A lot of resorts depend on airlift to  
8 get people there. That would be all the  
9 Caribbean resorts, that would be a lot of the  
10 Florida resorts, certainly the Hawaiian  
11 resorts.

12 If you eliminate that airlift factor,  
13 that eliminates one of the risks. Hawaii  
14 suffered terribly after the crash of a DC-10  
15 approximately 15 years ago because it lost its  
16 airlift for three or four months.

17 Another area that is positive for this  
18 site is the lack of competition, the fact that  
19 there is no five-star resort of this type in  
20 the northeast. The lack of the golf resorts

21 in the northeast also is a positive for this  
22 project.

23 MR. RUZOW: The letter from the  
24 National Golf Foundation, in the "Letters"  
25 section of Appendix 27 talked of the New York  
(ALTERNATIVES ISSUE)

1 metropolitan area being the 314th out of 314<sup>3169</sup>  
2 markets in terms of golf, enough golf  
3 facilities.

4 MR. RUSHMORE: It's very under-served  
5 as far as golf. So the combination of very  
6 strong demographics of possible users of this  
7 hotel, ease of access, lack of competition and  
8 their contemplated facilities, I think makes  
9 this an attractive project.

10 MR. RUZOW: The fact it is located in  
11 the Catskill Park with some 276,000 of  
12 protected forested acres owned by the State,  
13 and an increasing number of acres owned by New  
14 York City, in terms of protecting the  
15 watershed, does that amenity -- obviously the  
16 natural beauty of the area -- help the project  
17 and help its attractiveness to potential  
18 visitors?

19 MR. RUSHMORE: Certainly it does.  
20 What is even -- I'm not sure more important  
21 but equally important is the fact that you  
22 have skiing, but you don't have the liability  
23 of operating a ski area. So you have the  
24 benefit of skiing without incurring the cost  
25 of operation.

(ALTERNATIVES ISSUE)

1 MR. RUZOW: So the State's operation  
2 of the Belleayre Ski Center provides a  
3 valuable amenity to the resort without the  
4 liability of having to operate it, the cost of  
5 operating it?

6 MR. RUSHMORE: Correct.

7 MR. RUZOW: Is that an unusual  
8 setting, in your experience?

9 MR. RUSHMORE: Not really. There are  
10 a lot of hotels that benefit from having a ski  
11 area nearby, such as Vail and Aspen. You can  
12 have a hotel there and somebody else is  
13 operating the ski area for you, so it's not  
14 unusual that this occurs, but it's nice when  
15 you have it.

16 MR. RUZOW: Is the proximity of the  
17 two hotels to the ski center a valuable thing  
18 in terms of making the -- the hotel successful  
19 during the wintertime?

20 MR. RUSHMORE: Absolutely, they're  
21 going to be the closest lodging facilities to  
22 the mountain.

23 MR. RUZOW: Are shuttle buses, shuttle  
24 vans a technique used by hotels to bring  
25 people around in other resort settings?

(ALTERNATIVES ISSUE)

1 MR. RUSHMORE: All the time, yes.

2 MR. RUZOW: If there's a greater need,  
3 in effect, or demand on shuttles, would hotel  
4 management provide that in response to -- if  
5 guests were -- didn't want to wait too long,

6 et cetera?

7 MR. RUSHMORE: Typically, if the  
8 resort allows it, then the hotel will provide  
9 that as a service, particularly the five-star.

10 MR. RUZOW: I see. We've talked about  
11 the meeting space and the midweek convention,  
12 the spa, inclusion in the Big Indian Resort, a  
13 spa designed for the market. You're familiar  
14 with the Emerson operation as well?

15 MR. RUSHMORE: Yes.

16 MR. RUZOW: Is the attractiveness of  
17 spas and their inclusion in a resort becoming  
18 more commonplace at the higher end of the  
19 market?

20 MR. RUSHMORE: Yes, it's very unusual  
21 today to have a five-star resort without a  
22 fairly substantial spa. And particularly, if  
23 you have a golf course -- as I explained, a  
24 woman typically wants to go to a resort with a  
25 spa, men typically want to go to a resort for  
(ALTERNATIVES ISSUE)

1 golf. So if you have one, you really need the <sup>3172</sup>  
2 other.

3 ALJ WISSLER: You should be careful,  
4 Mr. Rushmore.

5 MR. RUZOW: Your Honor, I believe he's  
6 just calling them as he sees it. He's not  
7 offering an opinion one way or the other on  
8 whether it's a good or bad thing. He's just  
9 observing it.

10 The mix of amenities, from a business  
11 plan perspective, the resort offers golf,



12 skiing at Belleayre, health spa, business  
13 conference facilities, the family recreation  
14 component, which is the wildacres, and that --  
15 you have had a chance to look at that  
16 recreational piece as well?

17 MR. RUSHMORE: Yes.

18 ALJ WISSLER: Is that something that  
19 would be attractive -- and Mr. Elander when he  
20 was here from Snow Engineering, Walter  
21 Elander -- talked about resort development in  
22 mountainous areas having a managed program by  
23 the hotel for these types of activities for  
24 children or people who want to have wilderness  
25 adventures, et cetera. Is that commonplace in  
(ALTERNATIVES ISSUE)

3173

1 your experience at resorts?

2 MR. RUSHMORE: Yes, it's very  
3 important to offer a wide range of activities.

4 For example, when I travel with my  
5 groups, I don't play golf, so I need some  
6 other type of amenity that's going to keep me  
7 happy during the time the rest of the group is  
8 playing golf.

9 Also, you need to look at -- I keep  
10 saying that the key to success is to get a  
11 group to extend their stay or get the  
12 individual traveler to stay another day. So  
13 the more activities that you have, either on  
14 the resort or in the surrounding area,  
15 benefits everybody; benefits the surrounding  
16 area, but also benefits the resort in that

17 somebody has something to do, extending their  
18 stay, and also during the periods of time when  
19 the weather doesn't permit doing certain  
20 activities. So the more activities at the  
21 resort, and also the more activities in the  
22 area benefits everybody.

23 MR. RUZOW: Is the development of  
24 programs and agreements regarding local  
25 touring and local touring opportunities,  
(ALTERNATIVES ISSUE)

1 again, outside the resort, a component these <sup>3174</sup>  
2 days in resort management, destination resort  
3 management?

4 MR. RUSHMORE: Absolutely, you work  
5 with all your local recreational-type  
6 activities to provide that.

7 MR. RUZOW: And local Chambers of  
8 Commerce, you mentioned antiquing and other  
9 things when you go to different places --  
10 that's something that the hotel or resort  
11 would identify for folks and provide them with  
12 guidance on?

13 MR. RUSHMORE: Correct.

14 MR. RUZOW: Dr. Alschuler, in his  
15 written comments that were part of CPC's, I  
16 believe it was attachment or Exhibit P to the  
17 petition, identified three facilities that he  
18 characterized as more ecosensitive or  
19 ecotourism-based resort. Those three  
20 facilities were, one in Spring Island, South  
21 Carolina, which was a residential community,  
22 and Applicant's Exhibit 88 is a printout of a

23 description of Spring Island. I'm assuming  
24 it's the same Spring Island development that  
25 Dr. Alschuler was referring to. Something  
(ALTERNATIVES ISSUE)

3175

1 called the Reserve, another residential  
2 community in Indian Wells, California. He  
3 also mentioned the Fairmont Sonoma Mission  
4 Inn. With respect to the residential  
5 communities, do they bear any comparable  
6 relationship to a resort hotel?

7 MR. RUSHMORE: No, they don't. These  
8 appear to be second-home developments.

9 MR. RUZOW: With golf?

10 MR. RUSHMORE: With golf. And I  
11 pretty much know every hotel in the United  
12 States, and I'm not aware that these  
13 residential communities have any hotel  
14 component to them.

15 MR. RUZOW: Are you familiar with the  
16 Fairmont Sonoma Mission Inn and Spa?

17 MR. RUSHMORE: Yes, we have done work  
18 on that property over the years.

19 MR. RUZOW: Can you describe for us  
20 its setting, in terms of it being comparable  
21 to this type of resort?

22 MR. RUSHMORE: The Sonoma Mission Inn  
23 is located in downtown Sonoma, California,  
24 which is a wine country of California. The  
25 surrounding outskirts are very attractive.  
(ALTERNATIVES ISSUE)

3176

1 This facility is in -- not the most desirable

2 part of Sonoma. It's a downtown property,  
3 it's completely surrounded by residential and  
4 retail development. I don't consider it a  
5 resort whatsoever. It's a nice hotel with a  
6 large spa component, so it would be more of a  
7 spa than a resort.

8 MR. RUZOW: Is the -- the issue of  
9 ecotourism, and this area being attractive for  
10 ecotourism, are you familiar with any hotel  
11 resorts that have been built in the northeast,  
12 or the U.S. even, in the last five years that  
13 have had as its center rather than a golf  
14 attraction, an ecotourism type of attraction?

15 MR. RUSHMORE: I'm not aware of any,  
16 and we have a division of our company that --  
17 actually my daughter started -- it's called  
18 HVS EcoServices, that helps hotels become  
19 environmentally sensitive. But I'm not aware  
20 of any ecoresorts that are looking to attract  
21 ecovisitors.

22 MR. GERSTMAN: I'm sorry, I'm really  
23 having a hard time hearing.

24 MR. RUSHMORE: I'm not aware of any  
25 ecoresorts that are designed to attract the  
(ALTERNATIVES ISSUE)

1 eco-conscious visitor.

3177

2 MR. RUZOW: In terms of your division,  
3 it deals with management techniques and issues  
4 that can help hotels be more sensitive?

5 MR. RUSHMORE: Correct.

6 MR. RUZOW: Sewage treatment plant or  
7 diminishing water use or reuse of water, et

8 cetera, so those are the types of things?

9 MR. RUSHMORE: Right. Diminishing  
10 water use, recycling programs for hotels,  
11 waste management, we set up those programs for  
12 hotels.

13 MR. RUZOW: And those programs for  
14 hotels are typically designed once you have,  
15 you know, in effect, more details than you  
16 have today for this hotel?

17 MR. RUSHMORE: That's correct.

18 MR. RUZOW: From your experience with  
19 hotels throughout the U.S. and  
20 internationally, is it reasonable to expect  
21 the central Catskills to evolve into the kind  
22 of ecological destination of either national  
23 or international acclaim because -- akin to  
24 the rainforests of Central or South America?

25 MR. RUSHMORE: I don't believe so.  
(ALTERNATIVES ISSUE)

1 MR. RUZOW: why is that? It's clearly <sup>3178</sup>  
2 an area of tremendous natural beauty with a  
3 large demographic nearby. From the hotel  
4 industry perspective, is there a factor?

5 MR. RUSHMORE: I don't think the  
6 market is deep enough to attract enough people  
7 to make a hotel sustainable as strictly an  
8 ecoresort.

9 MR. RUZOW: Would a small lodging unit  
10 -- we've seen lots of small lodging units  
11 around here. Last week we heard from the  
12 owner whose family's had a 24-unit inn since

13 1936. would something on that scale be more  
14 possible?

15 MR. RUSHMORE: That would be more  
16 possible, that a hotel like that would sustain  
17 it, but I would have doubt that that type of  
18 hotel would be economically feasible to  
19 survive, just as a small hotel.

20 MR. BAUM: Can I add to that?

21 MR. RUZOW: Yes, sure.

22 MR. BAUM: I think also the type of  
23 people who would be coming to this hotel could  
24 have a natural experience of the sort you have  
25 here in an area probably close to their own  
(ALTERNATIVES ISSUE)

1 homes simply by going on a hike. when you're <sup>3179</sup>  
2 talking about an actual ecological  
3 destination, you're talking about a completely  
4 different setting, leaving the country or  
5 something you wouldn't be able to see in your  
6 surroundings.

7 MR. RUZOW: So the experience of the  
8 region to date, which is day-trippers coming  
9 in and out to hike, or some folks staying at  
10 some of the local lodges for a few days or a  
11 weekend, is as much as one would expect? Is  
12 that fair?

13 MR. BAUM: I'm saying you wouldn't  
14 have to pay to get in your car to go and drive  
15 to the mountains to take a hike. It's  
16 something you can do that would be an  
17 alternative to coming to the Catskills. You  
18 wouldn't pay for the five-star hotel

19 experience to have that.

20 MR. RUZOW: So the market, in effect,  
21 as you said, the market isn't there; right?

22 MR. BAUM: Yes.

23 MR. RUZOW: Some commentators have  
24 questioned the need for the proposed size of  
25 the Belleayre Resort, whether it's 150 and  
(ALTERNATIVES ISSUE)

1 200-room hotel, and the additional 330 lodging<sup>3180</sup>  
2 units. How does that relative scale compare  
3 with the industry and the kinds of places that  
4 would be, not perhaps in this immediate  
5 region, but outside that would be competitive?

6 MR. RUSHMORE: With 400 lodging units,  
7 I would consider that a large hotel. It's not  
8 a mega hotel, but certainly not a small hotel.  
9 So I would characterize it as a large hotel.

10 MR. RUZOW: So the 400 rooms, plus the  
11 330 lodging units?

12 MR. RUSHMORE: That's right.

13 MR. RUZOW: Both of those components?

14 MR. RUSHMORE: Right.

15 MR. RUZOW: You talked before about  
16 the advantages of having the lodging units,  
17 when they're vacant, to the hotel. Are there  
18 particular seasons where that becomes more  
19 important in the economic -- in the cash flow  
20 of a hotel?

21 MR. RUSHMORE: For a seasonal hotel  
22 where you have high peaks and valleys, you  
23 need to create more rooms in order to make

24 more money during the peak periods, because  
25 during the low periods, most your rooms are  
(ALTERNATIVES ISSUE)

1 going to be empty. So you need to have enough <sup>3181</sup>  
2 inventory or rooms to sustain yourself during  
3 the relatively short peak periods in order to  
4 survive the nonpeak periods. So having more  
5 rooms than you would typically have are  
6 usually required for seasonal-type properties.

7 MR. RUZOW: And that would be true  
8 -- and this is a seasonal property in that  
9 sense?

10 MR. RUSHMORE: Absolutely.

11 MR. RUZOW: And mountainous areas tend  
12 to be seasonal?

13 MR. RUSHMORE: Correct.

14 MR. RUZOW: Going back for just a  
15 second in terms of your comments about the  
16 occupants and getting someone to stay an extra  
17 day; in the economics of managing the hotel,  
18 is there a different labor need when you have  
19 a high turnover of the room compared to more  
20 extended-stay hotels?

21 MR. RUSHMORE: Extended-stay hotel is  
22 more profitable than a hotel where guests turn  
23 over all the time. You have a Residence Inn,  
24 that's a product where people stay two or  
25 three weeks, would be a lot more profitable  
(ALTERNATIVES ISSUE)

1 than a, say, a Courtyard which is a similar <sup>3182</sup>  
2 product where there's turnover.

3 So when somebody comes to a hotel and



4 then leaves the hotel, it takes a maid longer  
5 to make up a room when somebody leaves.  
6 There's more things to check and clean. You  
7 have to have more people at the front desk.  
8 You have to have more bell people, you need  
9 more accounting people, you have more folios  
10 coming through.

11 MR. RUZOW: What's a folio?

12 MR. RUSHMORE: The folio is an  
13 accounting sheet that shows what you've spent.  
14 So there's more accounting needs for -- if you  
15 have more people staying in your hotel over  
16 shorter periods of time.

17 So anytime you can increase that  
18 length of stay one day, two days, that makes  
19 your hotel more economic, from a labor point  
20 of view and operational point of view.

21 MR. RUZOW: It is also a corollary  
22 benefit to the region of having people who  
23 will visit, in effect, will have a longer  
24 opportunity to visit other places at the same  
25 time?

(ALTERNATIVES ISSUE)

3183

1 MR. RUSHMORE: Right.

2 MR. RUZOW: So it's a win-win?

3 MR. RUSHMORE: It goes hand-in-hand,  
4 absolutely.

5 MR. RUZOW: Another commentator  
6 suggested that the timeshare lodging units  
7 could somehow be eliminated or reduced in  
8 number, since in your analysis of the

9 feasibility of the project from a hotel  
10 investor perspective will ignore the return on  
11 the timeshare facilities in making a judgment  
12 about whether it's feasible. Is that a valid  
13 point, eliminating -- can you eliminate  
14 consideration of lodging units simply because  
15 your methodology for assessing feasibility  
16 doesn't look to them in the first instance for  
17 crossing that threshold or making that first  
18 hurdle?

19 MR. RUSHMORE: Under our Scenario 1,  
20 we came up with an internal rate of return of  
21 14.7 percent. And we stated that the cutoff  
22 for this type of resort in this area would be  
23 about 14 percent. It's marginally -- it's  
24 feasible, but it's not -- it's marginally  
25 feasible. My opinion, you'll get investors  
(ALTERNATIVES ISSUE)

1 interested, you'll get lenders interested in <sup>3184</sup>  
2 coming in, based on the IRRs that we came up  
3 with in Scenario 1.

4 ALJ WISSLER: That 14 percent rate of  
5 return is return on your investment; right?

6 MR. RUSHMORE: Correct. It's their  
7 total investment. So it could be a  
8 combination of debt, it could be a combination  
9 of equity. You have leverage. You have debt  
10 and equity, but we looked at it as a combined  
11 debt and equity, which is 14.7 percent.

12 As I said, that's feasible, but it's  
13 not a home run. There will be a lot of  
14 investors that won't touch it for that type of

15 return. It's simply not high enough for some  
16 investors.

17 By adding the timeshare, you're going  
18 to get more investors interested in this.  
19 You'll probably be able to raise more capital.  
20 Probably initially you'll offer them a lower  
21 rate of return. By having that extra rate of  
22 return that you might get from a timeshare --  
23 and at this point in time, without getting the  
24 hotel up and operating, no one can really say  
25 with any certainty that the timeshare  
(ALTERNATIVES ISSUE)

□

3185

1 component will be totally feasible. But  
2 assuming that it is, that will attract more  
3 investors and give this project a better  
4 chance of succeeding over an extended period  
5 of time. It will -- by having more  
6 investment, more capital coming in, because  
7 you have an opportunity to have a higher rate  
8 of return, I think the downside of having the  
9 resort get into financial trouble during its  
10 early years will be reduced.

11 MR. RUZOW: We're going to get into  
12 this a little more in a moment. You have  
13 talked about the importance of having a flag,  
14 a brand associated with it. And it's indeed  
15 the Applicant's objective is to obtain that.  
16 But are the prospects of getting a brand, a  
17 flag, associated with a five- or four-star  
18 hotel improved by having the number of lodging  
19 units that we have proposed? In other words,

20 they see, as part of the project contemplates,  
21 some 330 lodging units?

22 MR. RUSHMORE: Marginally improved.  
23 As I said initially, I think it's going to be  
24 very easy to get a flag. So having the  
25 lodging units, I don't think will impact  
(ALTERNATIVES ISSUE)

1 obtaining the flag significantly. what it 3186  
2 will do is assist in obtaining financing.

3 ALJ WISSLER: It will draw investors?

4 MR. RUSHMORE: Yes.

5 MR. RUZOW: Let's talk about the  
6 risks. We've had -- both when Erich was here  
7 and subsequently -- concerns raised about  
8 bearing risks associated with a project like  
9 this. And indeed from the Applicant's  
10 perspective, the reason that it retained you  
11 and retained Mr. Ragatz and Mr. McMullen and  
12 Hillier Associates was to have a better  
13 understanding going into the development of  
14 this of where you can -- what hurdles or traps  
15 or pitfalls might occur, in general, as well  
16 as when placed in this particular area, given  
17 its history and the struggles for increased  
18 tourism.

19 Let me turn to you to sort of educate  
20 us a little bit about the series of risks in  
21 the hotel hospitality business that you have  
22 to face and provide for.

23 MR. RUSHMORE: The initial risk for  
24 this property, I think the most significant  
25 risk is the permitting risk. The risk that

3187

1 we're not going to be able -- the owners are  
2 not going to get the permit to actually build  
3 this hotel. And that is a risk that you  
4 really can't bond or insure or whatever.  
5 You're out there, you make your case and you  
6 either get it or you're not going to get it.

7 To me, that is the biggest risk at  
8 this point in time looking at this project.

9 MR. RUZOW: And there's a series of  
10 investors who, notwithstanding that risk, have  
11 put up money?

12 MR. RUSHMORE: That's right. So they  
13 evaluated the risk and they're accepting it  
14 and they're going forward at this phase.

15 Once you get permitted, you face  
16 another risk, and that's your development  
17 risk, your risk of having cost overruns when  
18 you actually build the hotel, the risk that  
19 you don't get it open on time. So that -- we  
20 call that the development risk. That's the  
21 construction and getting the hotel to a point  
22 of opening. That risk can be mitigated by  
23 hiring a good contractor, good architects,  
24 good construction management. You can bond  
25 that risk. So that risk is fairly

3188

1 controllable if you really understand what  
2 you're doing.

3 Once you get your hotel up and  
4 operating, then you have operational risk, and

5 that's the risk that the management company  
6 and the flag that is operating the hotel is  
7 not doing a good job. They're not doing good  
8 marketing. They're not creating occupancy.  
9 They're not driving room rate. They're not  
10 controlling expenses. You mitigate that risk  
11 by hiring Four Seasons, hiring Ritz-Carlton,  
12 hiring national chains that do this all the  
13 time, and they know how to operate hotels and  
14 they know how to attract people and they have  
15 quality standards that they want to maintain.  
16 So you mitigate that risk in that manner.

17 ALJ WISSLER: What keeps them in the  
18 project?

19 MR. RUSHMORE: What keeps them in the  
20 project?

21 ALJ WISSLER: Yes.

22 MR. RUSHMORE: As long as you pay  
23 their fee and maintain the quality standards,  
24 the staffing levels, they'll stay with the  
25 project.

(ALTERNATIVES ISSUE)

3189

1 ALJ WISSLER: But you can be a  
2 five-star or four-star resort without having  
3 any flag though; right?

4 MR. RUSHMORE: Absolutely.

5 ALJ WISSLER: It's just easier to get  
6 off the ground when you have a flag?

7 MR. RUSHMORE: Right. You're able to  
8 penetrate the market and create an instant  
9 identity with the traveler, but more  
10 importantly with the groups. What Marriott

11 has, what Hyatt has, what Starwood has, all  
12 the chains, they know every group in the  
13 United States, and also around the world in  
14 many cases. They know who the decision-maker  
15 is that's going to place that group in a hotel  
16 sometime during the year. They know when the  
17 decision is going to be made, and they're in  
18 front of that decision-maker to get them to  
19 come to your hotel. That infrastructure you  
20 get automatically when you go with a chain.  
21 If you try to do this independently on your  
22 own, you have to create that infrastructure by  
23 yourself, and that takes a long time.

24 ALJ WISSLER: What kind of periodic  
25 review is there by Ritz-Carlton or Four  
(ALTERNATIVES ISSUE)

1 Seasons to know the resort maintains their  
2 standards?

3190

3 MR. RUSHMORE: Ritz-Carlton puts their  
4 own management team into the hotel, so they're  
5 there every day.

6 MR. RUZOW: In terms of other risks,  
7 your resume indicates that you have been  
8 -- you indicated you've done workouts, you  
9 appeared before the bankruptcy court, as I  
10 counted over 20 times, as an expert witness.  
11 You have categorized various types of risks  
12 and how you can mitigate them. Capitalization  
13 and having cash and understanding how much  
14 cash you're going to need or how long you are  
15 going to need a backup cash to operate before

16 you reach a stabilized level of occupancy, it  
17 seems to be a fundamental issue?

18 MR. RUSHMORE: Correct.

19 MR. RUZOW: Explain -- I think, Erich,  
20 you did when you were here last, the  
21 stabilization, how long it takes to get to a  
22 stabilized point for a resort like this.

23 MR. RUSHMORE: For our hotels, we have  
24 a term called "stabilized occupancy rate," and  
25 that's a point in time where a hotel reaches  
(ALTERNATIVES ISSUE)

1 what we consider an occupancy and rate based <sup>3191</sup>  
2 on local market conditions that we call  
3 "stabilized." And typically, for a resort  
4 like this, it would be in the high 60s, low  
5 70s for occupancy. And I imagine that the  
6 rate would be, depending on which property, 2-  
7 to \$300 a night, once it opens. It takes a  
8 while --

9 ALJ WISSLER: That occupancy rate is  
10 an annualized rate, that 60 percent?

11 MR. RUSHMORE: That's correct. It  
12 will take a while to build up to that level.  
13 It may start in the 40s, 50s the first year,  
14 and maybe 60s, and then maybe 70 the third or  
15 fourth year.

16 So it typically takes, for a hotel  
17 like this, three to four years, particularly  
18 group-oriented hotels that head the book  
19 several years out in advance. As a result,  
20 you need to be able to carry the hotel, pay  
21 the debt service, pay the management company,



22 maintain the hotel during this period of time  
23 that it may be unprofitable during the  
24 buildup. If that buildup extends out five to  
25 six years, then that means you need to have  
(ALTERNATIVES ISSUE)

1 more money to cover the shortfalls during that <sup>3192</sup>  
2 period of time.

3 This is all calculated in the  
4 feasibility -- full feasibility study that you  
5 ultimately do, the full financial projections.  
6 Once you have the operator, you do all this.  
7 But you may run into situations such as a  
8 downturn in the economy, such as a terrorist  
9 attack, that can impact your cash flow and  
10 impact the time it takes you to reach  
11 stability, and you need capital to carry that.

12 And some developers have capital to do  
13 it and some don't have capital. The ones that  
14 don't have the capital are the ones that get  
15 in trouble with their lenders and go through  
16 foreclosure and maybe bankruptcy as part of  
17 the foreclosure process.

18 ALJ WISSLER: As an aside, is there an  
19 industrywide formula for what kind of working  
20 capital you need to have set aside  
21 depending -- as a function of the size of  
22 project that you're undertaking? Do you  
23 understand what I'm saying?

24 I mean, is there a number that you  
25 come up with, say, we need 30 million a year  
(ALTERNATIVES ISSUE)

1 to operate this thing; we need to know we have  
2 got letters of credit for 90 million or  
3 something like that that will carry us three  
4 years?

5 MR. RUSHMORE: Yes. Before the lender  
6 commits, they are going to want to see a full  
7 market study and financial projection going  
8 out eight to ten years. And that projection  
9 will tell you the type of reserves you are  
10 going to need to fund the initial operating  
11 loss during the buildup period. That's all  
12 taken into account by the lender.

13 The lender will actually ask  
14 -- they'll keep the debt service, they're  
15 going to keep the reserve for replacement,  
16 they'll sweep out some of the profits during  
17 the peak seasons. They all have control over  
18 that money, so it's not given to the owner  
19 prematurely and not be there to cover a  
20 downturn or cover the off-season or so forth.  
21 So that's all planned out.

22 And in today's economy, I would be  
23 surprised if a lender gave you much more than  
24 a 60 percent loan to value -- or debt coverage  
25 ratio of much more than 1.4 times. So the  
(ALTERNATIVES ISSUE)

□

1 lender will be very conservative, which will  
2 mean you will have to raise a lot of equity to  
3 do this deal, which means that there will be a  
4 cushion in order to pay the debt service to  
5 get the deal done.

3194

6 MR. RUZOW: The type of analysis or  
Page 58

7 pro forma that would be developed for a lender  
8 is not something that is capable of being done  
9 at this stage?

10 MR. RUSHMORE: Absolutely not. You  
11 don't know what facilities there are going to  
12 be. You don't know who the operator, what  
13 chain. All that needs to be done before you  
14 will attract a lender or investor.

15 MR. RUZOW: Dr. Alschuler had  
16 suggested that what you have done in  
17 determining your feasibility was never  
18 something he would use or provide to an  
19 investor to determine an investment choice.

20 MR. RUSHMORE: I wouldn't either, but  
21 it's too premature at this point to do that  
22 type of analysis without knowing exactly what  
23 project you are analyzing.

24 MR. RUZOW: So the pro forma that he  
25 is talking about and that you're talking about  
(ALTERNATIVES ISSUE)

1 presenting to a bank is something that is done<sup>3195</sup>  
2 at a different stage of the review than at  
3 this stage?

4 MR. RUSHMORE: Absolutely.

5 ALJ WISSLER: They're all part of the  
6 same continuum; financial analysis?

7 MR. RUSHMORE: Yes.

8 MR. RUZOW: Can you explain the  
9 difference between an appraisal and a  
10 feasibility analysis?

11 MR. RUSHMORE: An appraisal is really

12 the last part of a feasibility analysis. We  
13 do a lot of appraisals, but every one of our  
14 appraisals has a feasibility analysis. We  
15 call it a market study, where you analyze the  
16 market, the supply, the demand, you do a  
17 forecast of income and expense. You can call  
18 that a market study, you can call that a  
19 feasibility study; but you need to do that in  
20 order to do an appraisal.

21 So an appraisal is really a  
22 feasibility study taken one step further where  
23 you value the cash flows of the feasibility  
24 study.

25 MR. RUZOW: How does a market  
(ALTERNATIVES ISSUE)

1 analysis, investment demand, valuation, how <sup>3196</sup>  
2 does that all interact in the context of  
3 performing an analysis on feasibility?

4 MR. RUSHMORE: Very simply you have to  
5 do a market study in order to forecast your  
6 income and expense, your cash flow. Once you  
7 get your cash flow, you can either value that  
8 cash flow and come up with a value, or you can  
9 do an IRR and come up with your -- essentially  
10 your discount rate or your IRR.

11 If you value it, then what you do is  
12 you compare the value, come up with the market  
13 value of how much your hotel is going to be  
14 worth, and you compare that to the cost of the  
15 building. So if you come up with a -- if it's  
16 going to cost you \$75 million to build the  
17 hotel and you come up a value of \$100 million,

18 it's feasible. That's one way of looking at  
19 feasibility.

20 Or if instead of valuing it, you do an  
21 IRR based on cost and come up with a  
22 14.7 percent IRR, that's another way of saying  
23 it's feasible. So we're saying the same  
24 thing, we're just looking at the equation --

25 ALJ WISSLER: Part of that analysis  
(ALTERNATIVES ISSUE)

1 depends upon what comes out at the end of the <sup>3197</sup>  
2 pipe. In other words, it has to be a  
3 five-star resort that comes out at the end of  
4 the pipe. You wouldn't do this for Motel 6,  
5 not that there's anything wrong with Motel 6?

6 MR. RUSHMORE: Right.

7 MR. RUZOW: In your choice, in  
8 response to the assignment that you were given  
9 to determine the feasibility of eliminating  
10 one or more of the components of the project,  
11 you relied on the IRR methodology?

12 MR. RUSHMORE: Correct.

13 MR. RUZOW: Is this a methodology  
14 -- this is for a proposed resort. I want to  
15 draw a distinction. You use different  
16 methodologies for purposes of looking at  
17 feasibility, perhaps for proposed resorts  
18 versus existing facilities -- existing  
19 facilities you have more information available  
20 to you --

21 MR. RUSHMORE: Right. The methodology  
22 is basically the same. As you say, for an

23 existing hotel, you have how it's actually  
24 operating. You know what the income and  
25 expense historically is, and you're taking a  
(ALTERNATIVES ISSUE)

3198

1 historic point and projecting out into the  
2 future. The proposed hotel, you don't have  
3 that buildup of operating history that you can  
4 rely on.

5 MR. RUZOW: You used an IRR of  
6 14 percent as a means of testing the  
7 feasibility of the project as a whole, with  
8 all of its elements, the hotel elements; but  
9 separating out the timeshare and subdivision  
10 components. Dr. Alschuler, at least at one  
11 point, didn't question the 14 percent but  
12 questioned your reliance on costs, the costs  
13 rather than capital invested. You relied on  
14 the cost -- you relied on -- and to my  
15 knowledge, other than wages, no one has  
16 questioned the cost components that you relied  
17 on. They all seemed to be within reasonable  
18 ranges and reasonable expectations. He said  
19 that he would never present this methodology  
20 to an investor.

21 why are you comfortable with the  
22 methodology that you have used in determining  
23 both the IRR and the analysis that projected a  
24 14.7 combined result, and less than that for  
25 the other components? And Erich Baum --  
(ALTERNATIVES ISSUE)

3199

1 between the two of you.

2 MR. RUSHMORE: I read his testimony,  
Page 62

3 and I think we're saying the same thing.  
4 we're just using different terminology.

5 MR. RUZOW: When you said you read his  
6 testimony, we had shared with you a rough  
7 draft of testimony that the court reporter had  
8 provided, so you -- that's what you read?

9 MR. RUSHMORE: That's right, trying to  
10 understand what he was saying. I think we're  
11 saying the same thing. We're saying -- when  
12 you do an IRR in year zero, you have an  
13 outflow of capital. And then hopefully year  
14 one, two, all the way up to year 10, you have  
15 inflows. IRR is basically what is the  
16 discount rate that will discount the inflows  
17 to equal the outflow. He calls the outflow  
18 capital, I call the outflow cost. So if it's  
19 going to cost you --

20 ALJ WISSLER: 240 million.

21 MR. RUSHMORE: -- 240 million to build  
22 your hotel, you have to have 240 million of  
23 capital to build the hotel. Now, he calls  
24 that -- maybe there's going to be a debt  
25 component and an equity component. And I say,  
(ALTERNATIVES ISSUE)

1 fine, I agree with you. There's going to be a <sup>3200</sup>  
2 debt component and an equity component. He  
3 seems to say that he's only interested in what  
4 the equity component return is, which is fine.  
5 I have no problem with that. That's how I  
6 value a hotel. I value using a weighted cost  
7 of capital of debt and equity.

8                   If you want to look at just the equity  
 9 component, what return would the equity  
 10 component be satisfied with, that return would  
 11 be probably 20 to 25 percent because of  
 12 leverage. The equity component would want  
 13 that as much return.

14                   I could have done the calculation the  
 15 same way and assumed a mortgage and take my  
 16 cash flow down to equity and look at just an  
 17 equity IRR, and I would have come up with  
 18 probably about 25 percent, which I would  
 19 justify because that's a good hurdle rate for  
 20 the equity component.

21                   So I think we're saying it the same  
 22 way. For simplicity, and the fact that the  
 23 real estate industry and the hotel industry,  
 24 in particular at this point in the project  
 25 development cycle, which is very early on,  
 (ALTERNATIVES ISSUE)

3201

1                   using a combined mortgage equity is a lot  
 2 simpler and clearer to look at at this point.

3                   ALJ WISLER: which was your point  
 4 just before when you said you're, in effect,  
 5 both right but you're in a different point in  
 6 the process?

7                   MR. RUSHMORE: That's right.

8                   MR. RUZOW: In performing this  
 9 analysis, is the differential between  
 10 -- assuming for the sake of argument that you  
 11 were to employ this other technique and you  
 12 were to then take into account the alternate  
 13 scenarios, are you likely to see much in the



14 way of any different differential between  
15 performance?

16 MR. RUSHMORE: We're going to come up  
17 with the same conclusion no matter what  
18 technique we're using. It's going to come out  
19 that Scenario 1 is the only reasonable  
20 alternative at this point in time.

21 MR. RUZOW: The differences are so  
22 dramatic in terms of the return for these  
23 other scenarios, is what you're saying?

24 MR. RUSHMORE: Yeah, but even if they  
25 were close --  
(ALTERNATIVES ISSUE)

1 ALJ WISSLER: which other scenarios, <sup>3202</sup>  
2 like Wildacres only, Big Indian?

3 MR. RUZOW: Right, I'm sorry.

4 MR. RUSHMORE: Even if they were close  
5 -- as I said, the techniques we're using are  
6 basically the same. He seems to be looking at  
7 just the equity component and not the overall  
8 debt and equity component.

9 If I just carved out the equity  
10 component, as I said, the equity would  
11 probably be a return of 25 percent. And the  
12 other ones would probably be low 20 percent,  
13 which means that Scenario 1 would still be the  
14 only one that is feasible at this point in  
15 time.

16 ALJ WISSLER: We're talking about a  
17 resort that provides folks, where we can, with  
18 an extended stay. For the two major seasons,

19 you have got winter and you've got summer.  
20 For the summer season, that draw is golf; all  
21 right?

22 MR. RUSHMORE: The main draw. And  
23 meeting space for groups.

24 ALJ WISSELER: So we have spas for the  
25 women and men, we have golf for the women and  
(ALTERNATIVES ISSUE)

3203

1 men, we have conference rooms, we have  
2 world-class restaurant that will please the  
3 palate of the most demanding gourmand; right?

4 MR. RUSHMORE: Right.

5 ALJ WISSELER: Why can't we do that all  
6 in one hotel?

7 MR. RUSHMORE: Because you need --

8 ALJ WISSELER: In other words, you have  
9 said that -- you have testified at bankruptcy  
10 proceedings, you have watched these operations  
11 from start to finish, you have watched them  
12 fail.

13 MR. RUSHMORE: Right.

14 ALJ WISSELER: I need to understand,  
15 alright -- but again, ultimately related to  
16 the environment -- but I need to understand  
17 how there is less risk by building two hotels  
18 than there is in doing everything you want to  
19 do but with one hotel.

20 MR. RUSHMORE: I agree with you that  
21 there would be -- it would be better to build  
22 one hotel, if you were going after just one  
23 market. What's happening here is that you're  
24 building a five-star hotel and you're -- a

25 five-star hotel with not a lot of meeting  
(ALTERNATIVES ISSUE)

3204

1 space that is catering to the upper-end user,  
2 as far as rate goes. This is very important.  
3 Really, the key to success of a hotel is not  
4 occupancy, it's room rate. You need to be  
5 able to get as high a room rate as you can to  
6 support the overall project.

7 A five-star hotel cannot be a  
8 meeting-oriented hotel. People that want to  
9 go to a five-star hotel, they want to be  
10 isolated. They want to be by themselves.  
11 They don't want a meeting down the hall in the  
12 banquet room disturbing their stay.

13 The other hotel is going to be a  
14 four-star hotel, and that is going to be the  
15 group-oriented hotel. That is critical to get  
16 people to come there during the week to build  
17 up that week business. You cannot put the  
18 five-star hotel on top of the four-star hotel  
19 and have a mix of people.

20 ALJ WISSLER: You can't combine them?

21 MR. RUSHMORE: You can't combine them.

22 ALJ WISSLER: Can you do one or the  
23 other in this scenario? What if you just said  
24 we're going to build a single four-star hotel?

25 MR. RUSHMORE: Then you're not going  
(ALTERNATIVES ISSUE)

3205

1 to get the revenue that a five-star hotel is  
2 going to bring. Remember, rate is very  
3 important in order to get enough revenue. You

4 have got a tremendous infrastructure here that  
5 you have to support. So that means then you  
6 have to have room count, and then you have to  
7 have at least one source of real high revenue.  
8 Because your five-star hotel, when that is  
9 full, is going to generate the profit that is  
10 going to support everybody.

11 The four-star hotel is not going to  
12 have the room rate, but it's going to get you  
13 the occupancy during the midweek so you don't  
14 have to lay people off during the middle of  
15 the week because you have nobody there.  
16 You're going to have a much easier operation  
17 during the week because you have that  
18 four-star hotel.

19 MR. RUZOW: The calculation of the  
20 return for the wildacres alone scenario was  
21 what?

22 MR. RUSHMORE: wildacres was  
23 8.4 percent. It's not going to work.

24 MR. RUZOW: One comment during one of  
25 the presentations was that -- a concern over  
(ALTERNATIVES ISSUE)

1 the scale and the suggestion that somehow some  
2 condition might be attached to a permanent  
3 decision that would make the buildout of the  
4 lodging units somehow conditioned on some  
5 future event or the future decision by a  
6 permitting agency. How would a hotel view  
7 that type of condition in terms of looking at  
8 the feasibility of the project?

9 MR. RUSHMORE: Depends on the  
Page 68

10 condition.

11 MR. RUZOW: If the condition left the  
12 discretion to build further on something other  
13 than a point in time or the completion of a  
14 physical component of the project, for  
15 example, whether monitoring some ecological  
16 condition or traffic or something else that  
17 was not defined, but just within the  
18 discretion of the agency?

19 MR. RUSHMORE: I would say, based on  
20 my experience, that would make the addition of  
21 the lodging units very speculative. And I  
22 don't think an investor would factor much into  
23 their analysis, assuming that that may not  
24 occur.

25 MR. RUZOW: So if based on -- at the  
(ALTERNATIVES ISSUE)

1 point down the road that permits were granted, <sup>3207</sup>  
2 and you do, in effect, a different pro forma  
3 and an analysis and contingencies are  
4 identified, a permanent condition would be one  
5 of the contingencies you looked at, I assume,  
6 in evaluating the risk for an investor?

7 MR. RUSHMORE: Correct.

8 MR. RUZOW: And the more conditions,  
9 the more uncertainties, the greater the risk  
10 in terms of evaluation?

11 MR. RUSHMORE: Absolutely. As I said,  
12 the biggest risk to this project is the phase  
13 that we're in right now because of the  
14 uncertainties.

15 MR. RUZOW: So if there are important  
16 components of the project that are at risk in  
17 terms of the ultimate decisions, then from an  
18 investor's point of view, that will be looked  
19 at very closely in deciding --

20 MR. RUSHMORE: Right. And probably  
21 discounted as not achievable as internal rate  
22 of return for their investment evaluations.

23 MR. RUZOW: Do flag hotels have the  
24 ability to have a stabilized occupancy more  
25 rapidly than an independent?

(ALTERNATIVES ISSUE)

1 MR. RUSHMORE: Yes, that typically <sup>3208</sup>  
2 occurs for flag hotels.

3 MR. RUZOW: So your characterization  
4 of a two, three, four-year period of time is  
5 based on a flag association?

6 MR. RUSHMORE: That's correct.

7 MR. RUZOW: Based on your experience  
8 with resorts in other communities, indeed  
9 around the world, have you seen instances  
10 where this resort -- it was characterized in  
11 several places as being separate from -- let  
12 me step back for a moment.

13 The Belleayre -- the Big Indian  
14 Resort, which is to the east, the five-star  
15 resort, will not be able to be seen from the  
16 corridor, Route 28 Corridor. Is that  
17 visibility or invisibility helpful, hurtful in  
18 the way the project will be viewed?

19 MR. RUSHMORE: I would say it's  
20 helpful.

21 MR. RUZOW: For a five-star, the  
22 exclusivity is important?

23 MR. RUSHMORE: Right.

24 MR. RUZOW: And Wildacres, the hotel  
25 itself, would not be visible from Route 28,  
(ALTERNATIVES ISSUE)

1 but will be very visible and prominent from 3209  
2 County Route 49A. For a four-star, is that a  
3 positive thing? It will be at the base of the  
4 road to the ski center. Is that a positive  
5 thing?

6 MR. RUSHMORE: I don't really think  
7 it's positive or negative whether it's visible  
8 or not. A resort is not going to attract  
9 somebody driving down the highway and seeing a  
10 sign and pulling in for the night. They  
11 usually have reservations.

12 MR. RUZOW: So it's general access to  
13 the region is what's most important?

14 MR. RUSHMORE: That's right.

15 MR. RUZOW: In your experience, have  
16 resorts, mountain resorts or destination  
17 resorts, have a positive effect on the local  
18 economy in terms of its impact, visitation  
19 impact on hamlets in the area if there are  
20 nice little restaurants or shops, or you  
21 mentioned maybe tubing -- is it your  
22 experience that the visitation is positive  
23 from an economic point of view?

24 MR. RUSHMORE: Absolutely. This  
25 resort will have very positive effects on this  
(ALTERNATIVES ISSUE)

1 area.

2 MR. RUZOW: And the level and volume  
3 of visitation, both during the week and on  
4 weekends, that will increase the level of  
5 visitation?

6 MR. RUSHMORE: Absolutely.

7 MR. RUZOW: Thank you. We're  
8 completed with this.

9 ALJ WISSLER: why don't we take ten.  
10 (11:21 - 11:38 A.M - BRIEF RECESS  
11 TAKEN.)

12 (RESUME OF KEITH S. PORTER RECEIVED  
13 AND MARKED AS WATERSHED COMMUNITIES EXHIBIT  
14 NO. 7, THIS DATE.)

15 (DELAWARE COUNTY COMPREHENSIVE  
16 STRATEGY RECEIVED AND MARKED AS WATERSHED  
17 COMMUNITIES EXHIBIT NO. 8, THIS DATE.)

18 ("DELAWARE COUNTY ACTION PLAN DCAP II  
19 FOR WATERSHED PROTECTION AND ECONOMIC  
20 VITALITY" RECEIVED AND MARKED AS WATERSHED  
21 COMMUNITIES EXHIBIT NO. 9, THIS DATE.)

22 (DCAP REPORT TO THE PHOSPHORUS STUDY  
23 COMMITTEE AND PARTNER AGENCIES DECEMBER 2002  
24 RECEIVED AND MARKED AS WATERSHED COMMUNITIES  
25 EXHIBIT NO. 10, THIS DATE.)  
(ALTERNATIVES ISSUE)

□

1 ("PROPOSED PHASE II PHOSPHORUS TMDL  
2 CALCULATIONS FOR ASHOKAN RESERVOIR MARCH 1999"  
3 RECEIVED AND MARKED AS WATERSHED COMMUNITIES  
4 EXHIBIT NO. 11, THIS DATE.)

5 ("PROPOSED PHASE II PHOSPHORUS TMDL  
Page 72



6 CALCULATIONS FOR PEPACTION RESERVOIR MARCH  
7 1999" RECEIVED AND MARKED AS WATERSHED  
8 COMMUNITIES EXHIBIT NO. 12, THIS DATE.)

9 ALJ WISSLER: Okay, folks, if we can  
10 reconvene. With respect to the matter of  
11 alternatives, I believe Mr. Altieri has a  
12 comment.

13 Anything from CPC?

14 MR. GERSTMAN: Just very briefly. And  
15 I think the City --

16 MR. BURGER: Not at this point, your  
17 Honor.

18 ALJ WISSLER: Okay, nothing from the  
19 City.

20 Mr. Gerstman, did you want to go?

21 MR. GERSTMAN: I'll be glad to defer  
22 to Mr. Altieri.

23 MR. ALTIERI: How gracious. The Staff  
24 has a brief follow-up comment from our last  
25 comment, and that's that the purely economic  
(ALTERNATIVES ISSUE)

1 questions are beyond the reach and intent of<sup>3212</sup>  
2 SEQRA, although the economic aspects do  
3 influence what can be considered feasible  
4 alternatives for an Applicant; thus it was  
5 reasonable for the Department to accept the  
6 Applicant's discussion of alternatives as  
7 sufficient.

8 However, if your Honor views the  
9 proffers regarding economic feasibility to  
10 allow lesser alternatives, then the

11 environmental assessment of such alternatives  
12 would have to be further developed in the  
13 record.

14 ALJ WISSLER: Mr. Gerstman?

15 MR. GERSTMAN: Yes, Judge. As we have  
16 requested in the past, we'd like to reserve  
17 the right to have Dr. Alschuler and  
18 Mr. Ellsworth respond to the offer of proof  
19 that you've heard today after we receive the  
20 transcript from today's Issues Conference.

21 Briefly, we would first want to remind  
22 your Honor that we are not challenging DEC's  
23 determination of acceptance of the DEIS,  
24 that's not what's at issue here. What's at  
25 issue here is the narrow circumscription of  
(ALTERNATIVES ISSUE)

□

1 the valuation of alternatives by the Applicant<sup>3213</sup>  
2 based upon their evaluation of what is  
3 feasible. And we continue to hear from the  
4 Applicant and its experts, what John  
5 Alschuler, Dr. Alschuler characterized as  
6 circular reasoning. And we feel that there  
7 has, as of today, been no support that would  
8 eliminate the evaluation or the serious  
9 examination of a reduced scale alternative,  
10 which we believe is absolutely essential when  
11 the magnitude of the environmental impact is  
12 so great.

13 We reserve the right, as we said, to  
14 submit further offers of proof in the form of  
15 response by Dr. Alschuler and Mr. Ellsworth.  
16 And much of what Mr. Ruzow said in terms of

17 the SEQRA, the parameters of SEQRA regarding  
18 an alternatives analysis is, again, much too  
19 narrow for -- and inconsistent with precedent,  
20 especially in light of the magnitude of the  
21 impacts that we're facing with this project.  
22 Thank you.

23 ALJ WISSLER: Mr. Burger, anything?

24 MR. BURGER: Craig Seymour will  
25 respond very briefly to this morning's  
(ALTERNATIVES ISSUE)

3214

1 rebuttal testimony.

2 MR. SEYMOUR: Craig Seymour from RKG  
3 Associates. I want to refer back to our memo,  
4 I think it's May 20th, where we analyzed HVS's  
5 report. And I guess the point that was  
6 brought up by Mr. Rushmore today is that he  
7 indicated, I think in several parts of his  
8 statement, that the connection, direct  
9 connection between the need for the timeshare  
10 units and for the hotel to be successful, you  
11 needed the added inventory, you need the  
12 larger rooms for the extended stays to make  
13 the hotel resorts feasible.

14 Yet when it comes to evaluating the  
15 economic feasibility, the IRR, the returns  
16 from the timesharing was not included. And my  
17 simple mathematical exercise that I did,  
18 taking their assumptions, their estimates for  
19 occupancy and room rates, if you combine the  
20 timeshares on an individual basis as well as a  
21 whole, the returns, the combined internal rate

22 of returns come out to be very, very similar,  
23 21, 22 percent, which makes it, at least using  
24 their rationale, feasible if you include the  
25 timeshare in the overall investment picture  
(ALTERNATIVES ISSUE)

3215

1 and economic picture.

2 So my point was that I just wanted to  
3 reiterate that I think that's a way an  
4 investor would look at it, particularly  
5 stating -- the statements from the market  
6 perspective that he made that the timeshare  
7 units are a fundamental part of the overall  
8 resort project. That's all.

9 ALJ WISSLER: Okay.

10 MR. YOUNG: I'm Kevin Young, I'm here  
11 on behalf of the watershed communities. The  
12 testimony we're going to present today is on  
13 behalf of all the watershed communities that  
14 we represent, which is Middletown, Shandaken,  
15 the Coalition of Watershed Towns and Delaware  
16 County.

17 I have with me on my right Dean  
18 Frazier, on my left Keith Porter. We have  
19 handed out to everybody, I think five  
20 exhibits. Exhibit 7 --

21 ALJ WISSLER: If you would enumerate  
22 those for the record.

23 MR. YOUNG: Exhibit number 7 is the  
24 resume of Keith Porter, who is Director of the  
25 New York State Water Resource Institute,  
(STORMWATER ISSUE)

3216

1 Center for the Environment, Cornell  
Page 76

2 University.

3 Exhibit 8 is Delaware County's  
4 Comprehensive Strategy for Phosphorous  
5 Reductions dated fall of 1999.

6 Exhibit 9 is the Delaware County  
7 Action Plan called DCAP II, for Watershed  
8 Protection and Economic Vitality.

9 Exhibit 10 is the DCAP Report to the  
10 Phosphorous Study Committee and Partner  
11 Agencies dated December 2000.

12 Exhibit No. 11 is the Proposed Phase  
13 II Phosphorous TMDL for the Ashokan Reservoir  
14 dated March 1999. I think we handed out an  
15 excerpt from this, which is Exhibit 5. So  
16 this is the complete document from what was  
17 Exhibit 5.

18 Exhibit 12 is the Proposed Phase II  
19 Phosphorous TMDL Calculations for the Pepacton  
20 Reservoir, also dated March 1999. And we  
21 handed out an excerpt of that, which was  
22 Exhibit 4.

23 Mr. Porter, can you tell us what your  
24 position is today?

25 MR. PORTER: Yes, I'm the Director of  
(STORMWATER ISSUE)

1 the New York State Water Resources Institute. 3217

2 MR. RUZOW: Kevin, you have to keep  
3 your voices up.

4 MR. PORTER: The institute is  
5 established under federal and state law. Its  
6 purpose, basically, is to be an interface

7 between the New York State academic community  
8 and those concerned with water resources in  
9 New York State. So we assist government  
10 agencies and businesses at all levels in  
11 engaging scientific resources through the  
12 academic community, and maintain as well an  
13 educational and technology transfer program.  
14 Those functions are mandated in both the state  
15 and federal law.

16 MR. YOUNG: What is your education?

17 MR. PORTER: My education is I have a  
18 diploma in horticulture from the Essex  
19 Institute of Agriculture in the UK. I have a  
20 BA in mathematics from the University of  
21 California, and a Master of Laws from  
22 DeMontfort University in the United Kingdom.

23 MR. YOUNG: I'm going to ask you to  
24 look at Exhibit 7, your resume, and go to page  
25 2 of your resume. I'm going to ask you about  
(STORMWATER ISSUE)

3218

1 certain professional activities that are  
2 listed.

3 In 1988 to present, you identified  
4 that you were chairman of the Expert Review  
5 Panel, New York City Water Demand Study. Can  
6 you explain what that is?

7 MR. PORTER: Yes. In the 1980s, New  
8 York City was confronted with a very serious  
9 shortage of water because of three recurrent  
10 droughts through the 1980s. So the city and  
11 the state, through an intergovernmental task  
12 force created by the mayor of New York City,

13 was charged to explore alternatives by which  
14 the water deficit could be met.

15 Some of the options being considered  
16 were very contentious, including potentially  
17 building a new reservoir or increasing the  
18 abstraction at Chelsea on the Hudson River,  
19 which caused concern among some groups who  
20 regard themselves as guardians of the Hudson  
21 River.

22 So it became potentially a very  
23 contentious kind of discussion and dialogue.  
24 At that time, the governor and the state  
25 legislature created what was called the New  
(STORMWATER ISSUE)

□

1 York State Water Resources Planning Council. <sup>3219</sup>  
2 The chairman of that council was -- requested  
3 by the council to invite me to establish a  
4 procedure by which the public dialogue might  
5 be assisted in terms of being more objective  
6 and less contentious. So I was appointed, as  
7 a result of that, as the chair of the  
8 committee.

9 We instituted an expert input into the  
10 dialogue, which resulted in the city adopting  
11 a very aggressive water demand program through  
12 metering, leak control and so forth. Very,  
13 very aggressive and very successful. To the  
14 extent to which it then became unnecessary to  
15 increase the supply. So the city was able to  
16 maintain the system as it was without, in  
17 fact, seeking additional means of adding water

18  
19  
20  
21  
22  
23  
24  
25  
  
1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23

to meet the demand.  
MR. YOUNG: Is says between 1990 and 1992 you were a founder member of the Ad Hoc Task Force on Agriculture in the New York City Watershed. What was that role?

MR. PORTER: When the city released its draft regulations, the New York City Watershed, there was another outbreak of (STORMWATER ISSUE)

contentiousness. Given that we had assisted<sup>3220</sup> the city with respect to the water quantity issue, the DEP invited the institute to assist with respect to the watershed difficulties.

One consequence of that was I arranged a meeting between the Department of Agriculture & Markets and the New York City DEP to explore ways in which a dialogue might be created involving all the stakeholders, all the parties, to do what, in fact, we had done with the water demand problem. That discussion directly led to the creation of the Ad Hoc Task Force for Agriculture.

MR. YOUNG: What is the Ad Hoc Task Force for Agriculture? What was it?

MR. PORTER: It was cochaired by the New York City DEP and the Department of Agriculture & Markets, and had a policy subgroup which consisted of senior representatives of the principal stakeholders. And then a larger adviser group, which included invited members at large as representing the various constituencies



24 concerned with protecting the watershed. That  
25 task force met for two years.  
(STORMWATER ISSUE)

3221

1 My principal role then, became  
2 primarily to assist the task force in engaging  
3 scientific input. The task force took very  
4 early the position that whatever options were  
5 examined or adopted, they had to have very  
6 sound scientific credentials. So I engaged  
7 the scientific community in a dialogue to work  
8 out the scientific foundations for the lack of  
9 those options that were being considered by  
10 the task force.

11 MR. YOUNG: Did the work of that task  
12 force result in the city withdrawing its  
13 proposed regulations on agriculture in the  
14 formation of what we now call the watershed  
15 Agricultural Committee, WAC.

16 Can you explain what that means? How  
17 did WAC address the city's concerns regarding  
18 impacts of agriculture on the watershed?

19 MR. PORTER: The farmers on the Ad Hoc  
20 Task Force took three basic positions. One  
21 was that, as I have already said, whatever  
22 program was worked out had to be  
23 scientifically defensible. Secondly, they  
24 also were implacable in insisting whatever was  
25 arranged had to be led by farmers, had to be  
(STORMWATER ISSUE)

3222

1 owned by farmers. And thirdly, whatever is  
2 done, New York City should pay for it, given

3 the beneficiaries were not going to be farmers  
4 but principally New York City consumers of  
5 water.

6 The council that was created jointly  
7 through the Department of Ag. & Markets and  
8 New York City, in fact was constituted with  
9 those three premises imbedded within them.  
10 The membership of the council was done  
11 somewhat informally. At that time there was  
12 no constitution for the council, so it had to  
13 be created on the basis of many discussions.  
14 But the council consists entirely of farmers  
15 with the principal exception being one  
16 representative from New York City.

17 In addition to that, there's also a  
18 wider body consisting of advisory members.  
19 And the council was initially funded in the  
20 Phase I program with, I believe, just over  
21 \$5 million from the city to explore the  
22 options developed through the task force on  
23 ten pilot farms.

24 Scientists, primarily at Cornell  
25 University, were engaged at a level of, I  
(STORMWATER ISSUE)

3223

1 think, a million a year to assist in  
2 developing the planning and management on  
3 those pilot farms in terms of looking at the  
4 scientific issues that were involved.

5 MR. YOUNG: I see that you were also,  
6 between 1997 and 1998, on the New York State  
7 Pesticide-Fertilizer Technical Working Group.

8 MR. PORTER: Part of the MOA  
Page 82

9 recommended that there be such a working group  
10 established to assess the use of pesticides  
11 and fertilizers or nutrient management  
12 equivalently, and to explore options by which  
13 they could be managed to ensure the integrity  
14 of the water supply. It was an interagency  
15 body. I represented the Catskill watershed  
16 Corporation on that working group.

17 MR. YOUNG: I see you're also  
18 currently on the Cornell Nutrient Management  
19 Program work Team?

20 MR. GERSTMAN: Kevin, it is impossible  
21 to hear you.

22 MR. YOUNG: I see that you're  
23 currently on the Cornell Nutrient Management  
24 Program work Team. What is that?

25 MR. PORTER: That grew out of the  
(STORMWATER ISSUE)

1 Phase I, the watershed Agricultural Council 3224  
2 Program. What we saw was a way of meeting  
3 water quality objectives, while at the same  
4 time furthering the business interests of the  
5 farmers -- preferably in a way that was done  
6 frugally. The premise being, if you rely on  
7 farmers to depend on some kind of grant, when  
8 the grant ends, whatever it is they're doing,  
9 they're likely to stop, unless it's to their  
10 economic benefit.

11 As a result of that, I funded -- the  
12 institute funded a group of scientists to  
13 critically assess nutrient management on the

14 farms, and that led to what is now called  
15 precision feeding, which I believe Dean  
16 Frazier may talk about, and also better crop  
17 management in a way that actually increases  
18 productivity but at the same time has  
19 environmental benefits.

20 That core group of scientists morphed  
21 into what became at Cornell an  
22 institutionalized -- what's called a program,  
23 a Nutrient Management Program work Team.

24 MR. YOUNG: I'm going to turn to Dean.  
25 Dean, can you identify what your current  
(STORMWATER ISSUE)

3225

1 position is?

2 MR. FRAZIER: I'm currently the  
3 Commissioner of the Delaware County Department  
4 of Watershed Affairs.

5 MR. YOUNG: What is the Delaware  
6 County Department of Watershed Affairs?

7 MR. PORTER: It's a department,  
8 obviously, of the county, and -- you want to  
9 know what we do?

10 MR. YOUNG: What do you do? What are  
11 your responsibilities?

12 MR. FRAZIER: We act as the  
13 coordinator, leader, management of issues  
14 involving Delaware County in the New York City  
15 watershed and Susquehanna Basin, and  
16 watersheds below the city impoundments.  
17 They're part of Delaware County. Our office  
18 acts as a liaison to a variety of regulatory  
19 and nonregulatory agencies in New York State.

20 We coordinate the efforts of the  
21 Delaware County Action Plan, which we'll get  
22 into later; and we act as the voice to the  
23 Delaware County Water Supervisors to have a  
24 unified voice to that body of all county  
25 agencies and regulatory bodies and such. And  
(STORMWATER ISSUE)

3226

1 in turn, speak on their behalf.

2 MR. YOUNG: What is your education?

3 MR. FRAZIER: I have a Bachelor's  
4 Degree in agriculture from Cornell. I have a  
5 Master's in organizational development from  
6 Binghamton.

7 MR. YOUNG: What experience do you  
8 have working with -- what were your initial  
9 experiences working with New York City  
10 watershed issues? Who were you working on  
11 behalf of?

12 MR. FRAZIER: Actually, my experiences  
13 start with my birth. A good share of my  
14 heritage is under the Cannonsville Reservoir.  
15 But as far as my first initiation in terms of  
16 work, the New York City watershed began in  
17 August, a week before the city released their  
18 draft rules and regulations where the city  
19 attempted to get the agricultural community of  
20 Delaware County to endorse their draft  
21 regulations before we saw them. That was my  
22 initiation. From that point forward, I took  
23 part in the ad hoc policy discussion,  
24 discussions that took place.

25

MR. YOUNG: Who were you working on  
(STORMWATER ISSUE)

3227

1 behalf of?

2 MR. FRAZIER: I worked representing  
3 Cornell Cooperative Extension. We worked  
4 through representing the agricultural  
5 community in Delaware County, through the  
6 period of the ad hoc policy discussions, took  
7 part in those negotiations and the subsequent  
8 development and implementation of the  
9 Watershed Agricultural Program. Took part in  
10 the selection of the watershed Agricultural  
11 council members; and a host of other things.

12 MR. YOUNG: What is your role now in  
13 dealing with watershed issues?

14 MR. FRAZIER: Well, currently, as I  
15 described a little bit before, my primary job  
16 right now is to try to coordinate the  
17 initiatives of multiple departments and county  
18 agencies, along with local organizations, as  
19 well as our partners from the city, from DEC,  
20 New York State Department of Agriculture &  
21 Markets, Department of Health, EPA, towards  
22 the common goal of phosphorous reduction in  
23 the Cannonsville Basin, as well as the  
24 Pepacton Basin and the Susquehanna Basin on  
25 the other part of Delaware County.

(STORMWATER ISSUE)

3228

1 MR. YOUNG: Delaware County has three  
2 different watersheds, you might say, the  
3 Susquehanna Watershed, the Pepacton Watershed  
4 and the Cannonsville watershed?

5 MR. FRAZIER: Yes. The Delaware River  
6 Basin below the impoundments have regulatory  
7 authority right up through the headwaters,  
8 just as does the City of New York. So we kind  
9 of consider that a separate watershed only in  
10 the sense it's outside New York City Watershed  
11 boundary. About 25 percent of our County land  
12 area is in the Susquehanna Basin, which is  
13 also regulated by municipalities that we have  
14 absolutely no vote in.

15 MR. YOUNG: What percentage of your  
16 county is located in the New York City  
17 watershed? Do you know?

18 MR. FRAZIER: I have to stop and think  
19 about that. I think it's about 51 percent.  
20 55 percent of the county is in the New York  
21 City watershed, and it represents 51 percent  
22 of the West of Hudson, New York City  
23 watershed.

24 MR. YOUNG: You make reference to  
25 something called the Delaware County Action  
(STORMWATER ISSUE)

□  
1 Plan or DCAP. Can you sort of explain what 3229  
2 DCAP is and how it came about?

3 MR. FRAZIER: What it is is a locally  
4 driven, science-based, comprehensive basinwide  
5 approach to watershed protection. It's a  
6 partnership effort. I've alluded to the  
7 variety of regulatory partners and such that  
8 we have already. It reflects the local  
9 capacity that exists in the county to address

10 7-21-04crossroadsf  
water-quality issues and land-use  
11 decision-making.

12 we developed it under the orders of  
13 the Board of Supervisors to be frugal in the  
14 solutions that we sought, and it is part of  
15 our obligations to numerous grants that we  
16 received -- had to be transferable,  
17 economically viable in terms of  
18 transferability to other watersheds.

19 MR. YOUNG: This DCAP program, does it  
20 apply just to the Cannonsville or does it  
21 apply throughout the Pepacton and Susquehanna?

22 MR. FRAZIER: We have already  
23 transferred many of the things we developed in  
24 the Cannonsville, particularly with respect to  
25 land-use decision-making, subdivisions, zoning  
(STORMWATER ISSUE)

1 and all those types of issues, source water 3230  
2 protection and all that in the Cannonsville  
3 Basin. We've also extended it into the  
4 Susquehanna.

5 MR. YOUNG: What was the primary  
6 objective of DCAP? Was it to get phosphorous  
7 reductions or to become delisted from some  
8 list? What do you think were the primary  
9 objectives?

10 MR. FRAZIER: Initially the primary  
11 objective was to reduce phosphorous loads to  
12 the extent possible to get below the  
13 phosphorous concentrations in the water below  
14 the thresholds that would enable us to get off  
15 the phosphorous restricted list.



16 MR. YOUNG: Has that been successful?

17 MR. FRAZIER: Well, the concentrations  
18 currently are below the phosphorous  
19 restricted, and we're not on the list. But we  
20 felt that that's not good enough. We  
21 continued to implement DCAP because of the  
22 nonpoint source loading variability, and it's  
23 not entirely inconceivable that we couldn't be  
24 back on the restricted list.

25 If the State deems that they need to  
(STORMWATER ISSUE)

1 go to a lower concentration, we'll be in a lot<sup>3231</sup>  
2 of trouble. So we continue to reduce our  
3 phosphorous load, not only for water quality  
4 protection but that helps us from an economic  
5 liability standpoint.

6 MR. YOUNG: Dean, I show you what has  
7 been marked as Watershed Communities 8, 9 and  
8 10, and ask if you would just sort of identify  
9 what each of those documents are.

10 MR. FRAZIER: Exhibit 8 is the  
11 Delaware County Comprehensive Strategy for  
12 Phosphorous Reductions prepared for the  
13 Delaware County Board of Supervisors in the  
14 fall of 1999.

15 MR. YOUNG: I mean like two sentences.  
16 Is that sort of the Bible by which you  
17 developed the whole DCAP program?

18 MR. FRAZIER: DCAP was borne out of  
19 the development of this strategy. Explain why  
20 we developed this?

21  
22  
23  
24  
25

MR. YOUNG: Yes.

MR. FRAZIER: We developed this

comprehensive strategy in an attempt to get an expansion of the wastewater treatment plant in Delhi, New York. That was the initial reason  
(STORMWATER ISSUE)

□

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

for doing that, to enable some expansion of <sup>3232</sup>  
two local businesses.

It's a requirement -- that was a requirement of the watershed rules and regulations. If you have a phosphorous restricted basin, in order -- which in a phosphorous restricted basin, expansion or building of a new wastewater treatment plant was prohibited with the exception there was a pilot offset program or a series of variances we could go through. The variance we selected was to develop a comprehensive strategy that enabled -- and then you could have just put it on the shelf. That's all that was required. That would have enabled the wastewater treatment plant in the Cannonsville Basin to get increased flow. We took it beyond that.

The Delaware County Board of Supervisors looked at this and said: It's nice, another plan, let's do something about it. That's where the Delaware County Action Plan came in. That's the tool we're using to implement the issues identified in the comprehensive strategy.

(STORMWATER ISSUE)

□

1 MR. YOUNG: Go to Exhibit 9.

2 MR. FRAZIER: Exhibit 9, Delaware  
3 County Action Plan, DCAP II, in Roman  
4 numerals, for Watershed Protection and  
5 Economic Vitality.

6 MR. YOUNG: Is that the steps that  
7 Delaware County is implementing to reduce  
8 phosphorous?

9 MR. FRAZIER: Yes.

10 MR. YOUNG: How does that relate to  
11 Exhibit 10?

12 MR. FRAZIER: Exhibit 10, which is the  
13 DCAP Report to the Phosphorous Study Committee  
14 and Partner Agencies, December 2002. This  
15 document, Exhibit 10, is merely a report that  
16 reflects progress made, the initiatives that  
17 we have underway -- which by the way is being  
18 revised because this is two years old,  
19 virtually two years old. So it's a reflection  
20 of the work that's been accomplished.

21 MR. YOUNG: Can I point you to the  
22 Table of Contents to Exhibit 8, and there's  
23 something in the Table of Contents which is  
24 identified as the Scientific Support Group.  
25 Could you describe what the Scientific Support  
(STORMWATER ISSUE)

1 Group is?

2 MR. FRAZIER: The Scientific Support  
3 Group is part of the institutional framework  
4 behind DCAP. One of the things I didn't  
5 mention is that part of the charge of Delaware

6 County Board of Supervisors is that we create  
 7 an institutional framework to the regulatory  
 8 bodies and the academic institutions to make  
 9 sure we have credible programs. So the  
 10 Scientific Support Group is involved in  
 11 discussion and decision-making relative to the  
 12 research questions or technical questions that  
 13 need to be answered, and direct us towards the  
 14 appropriate projects to answer the questions  
 15 that we need to answer.

16 MR. YOUNG: So you have  
 17 representatives of every --

18 MR. FRAZIER: well, yeah. As you can  
 19 see by looking at that, we have membership  
 20 from EPA that continues today; Enviromental  
 21 Conservation, New York State Department of  
 22 Environmental Conservation is the chair of  
 23 that committee and sets the agenda and directs  
 24 the discussions.

25 But you can see we have DEP on that,  
 (STORMWATER ISSUE)

3235

1 along with a variety of other state  
 2 institutions as well.

3 MR. YOUNG: Any private sector  
 4 individuals?

5 MR. FRAZIER: I don't believe we have  
 6 any private sector individuals on the  
 7 Scientific Support Group.

8 MR. YOUNG: All governmental?

9 MR. FRAZIER: Basically governmental.

10 MR. YOUNG: University?

11 MR. FRAZIER: Cornell University.

12 MR. YOUNG: The County Phosphorous  
13 Study Committee, that is -- what's the  
14 difference between that and the Scientific  
15 Support Group?

16 MR. FRAZIER: The Phosphorous Study  
17 Committee is really an advisory group that  
18 helps in setting direction and policy for the  
19 Delaware County Action Plan. It also serves  
20 as one of our communication links to the  
21 regulatory bodies and academia, as well as  
22 -- on this particular committee, I don't see  
23 them listed, but we do have Industrial  
24 Development Agency, the County Economic  
25 Development Department and the Delaware County  
(STORMWATER ISSUE)

3236

1 Chamber of Commerce are members of that  
2 committee as well. So we have good input, as  
3 well as the local farm bureaus and extensions.  
4 So the agricultural and nonagricultural  
5 business communities are part of that  
6 dialogue.

7 MR. YOUNG: Briefly, I want to turn to  
8 the page in the Table of Contents. I'll  
9 summarize the Table of Contents to speed this  
10 up a little bit. As I understand the Table of  
11 Contents, what you did in this document is  
12 that you identified and quantified the sources  
13 of phosphorous in the Cannonsville Basin doing  
14 your own analysis. And then once you  
15 identified those sources, you then evaluated  
16 for each source the best management practices

17 that could be implemented to reduce  
18 phosphorous.

19 And finally, at the end you developed  
20 and recommended a sort of institutional or  
21 administrative structure to implement those  
22 strategies. Is that a good summary of the  
23 organization of this report?

24 MR. FRAZIER: Yes.

25 MR. YOUNG: Chapter 3 talks about  
(STORMWATER ISSUE)

□

1 phosphorous and water quality of the Delaware <sup>3237</sup>  
2 County watershed system. Particularly section  
3 D says: "Assessment of existing and  
4 perspective phosphorous loads." Can you tell  
5 us how you went about quantifying the  
6 phosphorous loads to the Cannonsville Basin?

7 MR. PORTER: The basin has been  
8 thoroughly studied, actually starting in the  
9 late 1970s with an EPA Recorded Model  
10 Implementation Program. The reservoir basin  
11 has been studied continuously since that time.  
12 That was a \$6 million program, and then when  
13 the New York City watershed regulations were  
14 proposed, the level of investigations  
15 substantially increased.

16 Now, what that entails briefly is a  
17 lot of water quality monitoring. There are  
18 six continuous stations in this basin  
19 representing different geographic scales.  
20 There's a lot of fieldwork of different land  
21 uses. And in addition to that, the work or  
22 the output of all that work is assimilated in

23 modeling to provide a means of assessing what  
24 the information means in terms of management  
25 needs, and also when management options are  
(STORMWATER ISSUE)

1 implemented, how they can be evaluated is a <sup>3238</sup>  
2 major question. And the fieldwork and the  
3 modeling provides a means for critically  
4 scrutinizing the efficacy of management steps  
5 that have been adopted.

6 ALJ WISSLER: The models are computer  
7 models?

8 MR. PORTER: Yes.

9 ALJ WISSLER: What particular models  
10 are used?

11 MR. PORTER: We have used an array of  
12 models. They're labeled by letters, TWLF,  
13 SWAT, S-W-A-T, and HSPF.

14 In addition to that, we've used more  
15 site specific type of models for stormwater,  
16 for example, from urban areas.

17 ALJ WISSLER: Such as what?

18 MR. PORTER: I didn't do that work, so  
19 I'm not familiar with that. I think Qualcast,  
20 Q-U-A-L-C-A-S-T, is the name of it.

21 MR. YOUNG: Did you review -- are you  
22 familiar with the modeling done by DEP to  
23 support the TMDL analysis for the  
24 Cannonsville?

25 MR. PORTER: Yes. Not as an expert.  
(STORMWATER ISSUE)

1 MR. YOUNG: But did you rely on the <sup>3239</sup>

2 -- DEP issued a report in March 1999 called,  
3 "Proposed Phase II Phosphorous TMDL  
4 Calculations for the Cannonsville Reservoir,"  
5 which was the basis for DEC's adoption of a  
6 TMDL forecast. Did you rely on that data?

7 MR. PORTER: We used the same data.  
8 This is a pooled exercise, and Kim Caine [sic]  
9 was part of our group in the early days. So  
10 yes, we would use the data.

11 MR. YOUNG: Did you take the result --  
12 to rely on the data, did you use the same  
13 results, the same modeling results --

14 MR. PORTER: Yes, we accepted,  
15 obviously, the TMDL.

16 MR. YOUNG: But in the Delaware County  
17 Strategy, Exhibit 8, do you report exactly the  
18 same numbers of phosphorous loads from  
19 particular sources as are reported in the TMDL  
20 Phase II Phosphorous --

21 MR. PORTER: There's consistency  
22 between what has been done through DCAP and  
23 what has been done through the DEP, except  
24 this is dated 1999. There's a certain amount  
25 of work been done since then. So if you like,  
(STORMWATER ISSUE)

1 we have refined and moved beyond this data. 3240

2 MR. YOUNG: What did your work  
3 identify as sort of principal sources of  
4 phosphorous -- I'm going to say principal and  
5 relative sources of phosphorous in the  
6 Cannonsville Basin?

7 MR. PORTER: By far the most  
Page 96



8 overwhelming source of phosphorous is farming.  
9 It accounts for about two-thirds of the total  
10 phosphorous load. The rest is made up from  
11 forested lands, abandoned farms, urban areas  
12 and septic systems, primarily.

13 MR. YOUNG: The urban areas, what  
14 percent of the total phosphorous load did you  
15 estimate came from urban areas?

16 MR. PORTER: It was about 2 percent,  
17 just a little over 2 percent. It's very, very  
18 low. Again, those data are based on a lot of  
19 fieldwork. They're not just modeling data.  
20 They're based on monitoring stormwater and so  
21 forth.

22 MR. YOUNG: Based upon that work --  
23 I'll change back to you, Dean. What type of  
24 programs did Delaware County come up with to  
25 address stormwater, for example, phosphorous  
(STORMWATER ISSUE)

1 loads from stormwater?

3241

2 MR. FRAZIER: Well, we came up with  
3 two different approaches to stormwater. I'll  
4 start first with the communities. Through  
5 various grants from the Department of State  
6 and others, we developed -- we did an  
7 inventory using GPS systems to identify  
8 inventory of the stormwater infrastructure in  
9 all the communities and hamlets in the  
10 Cannonsville and in Pepacton. We then  
11 interfaced that with GIS data, other land-use  
12 data that we had available, topography, soils,

13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25  
  
1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18

variety of different things.  
From that, we developed -- I'll back up a step. The Delaware County Planning Department is in the process of developing, and in some cases already have completed, comprehensive plans for each hamlet and community. As part of that process, in other words, we're looking at the whole community as was illustrated in prior testimony a month or so ago, the Comprehensive Stormwater Management Plan is part of the comprehensive plan for that hamlet or town or community. So as a result of doing all that inventory,

(STORMWATER ISSUE)

3242

they're in the process of developing the Comprehensive Stormwater Management Plan for each community and draw maps and set priorities on where is the best place to put stormwater protection in place. That's one thing.

The second component of that were the development -- and this is more in an infant stage than the community, but we developed what we call Highway Management Plans. And that is looking at all the rural highways, be they county or town owned. And in that effort, we're inventorying all the stormwater infrastructures through GPS, interfacing with Geographic Information Systems so we can identify and inventory each structure, know where it is, know what its status is.

And from that, the point we're at now

19 is that we have several towns that want this  
20 done for them. We're a little limited by  
21 resources. A little help from the city would  
22 be nice. But in any event, what we'll do next  
23 is an engineer's assessment for each highway  
24 and road in each town. That's our goal.

25 when we do look at that, we will be  
(STORMWATER ISSUE)

□

1 utilizing the Salt Water Assessment Model, or <sup>3243</sup>  
2 SWAT, that Keith referred to. We can look at  
3 those roads in the context of the subbasins of  
4 the Cannonsville Basin. And we know where the  
5 primary loads of phosphorous, et cetera, are  
6 coming from, so when we're looking at our  
7 roads, this Highway Stormwater Management Plan  
8 are actually -- highways are typically a  
9 delivery mechanism for the runoff from  
10 contiguous land uses, be they agriculture or  
11 forest.

12 So we're going to look at that when we  
13 look at highway plans. It's all quite  
14 integrated in terms of how we're moving  
15 forward and where we're setting our  
16 priorities.

17 We also -- yeah, I should back up. We  
18 also bought a vacuum truck that we are using  
19 in the communities and outside the communities  
20 to -- where we're going around and cleaning  
21 out the stormwater -- I don't know the names  
22 of these things -- catchment basins, and  
23 recording the load of phosphorous and sediment

24 that we're taking out of that.

25 That's all interfaced back into our  
(STORMWATER ISSUE)

3244

1 databases so that we're developing a  
2 maintenance plan, identifying each component  
3 and saying: Okay, well, we have had to clean  
4 this out every three months. This one, only  
5 once every six months. And so we can set up a  
6 priority for how we need to maintain those and  
7 keep those cleaned out.

8 MR. YOUNG: For the most part, you  
9 really focused on agriculture, is that  
10 correct, in reducing phosphorous?

11 MR. FRAZIER: Yes.

12 MR. YOUNG: To get an idea, how many  
13 farms are there in the Cannonsville district?

14 MR. FRAZIER: That's a fluid number,  
15 unfortunately it's fluid downward. My best  
16 estimate today is 125 to 135.

17 MR. YOUNG: Do you have an idea,  
18 either you or Keith, how many animal units  
19 there are in the Cannonsville or Delaware  
20 County, whatever one you know?

21 ALJ WISSLER: Why don't you define an  
22 animal unit for us.

23 MR. FRAZIER: The animal unit --  
24 depending on definition means a lot of  
25 different things -- but animal unit in the  
(STORMWATER ISSUE)

3245

1 sense that any information I'm going to say  
2 here is related to a 1400-pound dairy animal,  
3 mature dairy cow, exclusive of all the

4 replacements and like that.

5           There are approximately -- again, this  
6 is going back two or three years -- at that  
7 time there was about 8,000 mature dairy  
8 animals in the Cannonsville Basin. I don't  
9 know exactly what it is today.

10           ALJ WISSLER: Keith, how much  
11 phosphorous is in the manure from one mature  
12 1400-pound dairy cow?

13           MR. PORTER: That is variable, but the  
14 number that was used in DCAP was 34 kilograms  
15 per 1400-pound animal.

16           MR. YOUNG: 34 kilograms per year?

17           MR. PORTER: Yes, 34 kilograms per  
18 year. The precision feeding -- the management  
19 program I referred to is succeeding in  
20 reducing that substantially through the way  
21 the animal is fed. By reducing the  
22 phosphorous in the feed, the work that's being  
23 done through DCAP shows as much as 30 percent  
24 on average can be achieved as a reduction in  
25 the manure. So the 34, we know is already  
(STORMWATER ISSUE)

□

3246

1 coming down.

2           MR. YOUNG: You're saying that each  
3 -- back when you were doing -- developing  
4 DCAP, there were 8,000 mature cows in the  
5 Cannonsville Basin. Each cow on average  
6 generates about 34 kilograms of phosphorous  
7 per year in its manure. Is there any numbers  
8 you use to say what percent of phosphorous

9 ends up in the cow manure, ends up being  
10 released into the environment of surface  
11 waters?

12 MR. PORTER: The rule of thumb is  
13 10 percent on a well-managed farm.

14 MR. FRAZIER: In actuality, the one  
15 farm that has continuous monitoring, that's  
16 exactly what it was.

17 MR. PORTER: Yes, it's well-managed.

18 MR. YOUNG: Can you then describe some  
19 of the programs you have come up with to  
20 address reducing the phosphorous loads from  
21 these farms; precision feeding first?

22 MR. FRAZIER: Under the DCAP umbrella,  
23 there were two basic --

24 ALJ WISSELER: Let me stop you. The  
25 35 kilograms was what?

(STORMWATER ISSUE)

3247

1 MR. YOUNG: Amount of phosphorous.

2 MR. PORTER: Per animal, per year.

3 MR. YOUNG: How much phosphorous does  
4 a human on average give off? I know it  
5 varies.

6 ALJ WISSELER: It depends on how  
7 they're fed.

8 MR. PORTER: As part of the scientific  
9 work, a great deal of research is being done  
10 on septic systems, not through the institute  
11 but through the Soil and Water Conservation  
12 District of the county. Their best estimate  
13 of the per capita phosphorous load is only  
14 half a kilogram a year. I find that a little

15 low, actually. I would have expected close to  
16 1 kilogram.

17 That would mean that an animal has 60  
18 times the amount of phosphorous per year as a  
19 human being, if that number were the real  
20 number. But that's the number that the county  
21 is actually using based on their work, so I  
22 can't really question it.

23 ALJ WISSLER: If I'm milking a 100  
24 Holsteins, that's 3500 kilograms of  
25 phosphorous per year?  
(STORMWATER ISSUE)

3248

1 MR. PORTER: Yes.

2 ALJ WISSLER: And 350 kilograms of  
3 that is getting off the farm?

4 MR. PORTER: About 10 percent, yeah,  
5 over 300 off that farm.

6 MR. RUZOW: A well-managed farm.

7 MR. YOUNG: Can you describe, Dean,  
8 the program that was developed as far as DCAP  
9 called precision feeding, and the logic behind  
10 it?

11 MR. FRAZIER: It goes back to  
12 frugality and the charges we have from the  
13 Board of Supervisors, but it's a low capital  
14 type of initiative. Basically, all you're  
15 doing is trying to bring -- assure that the  
16 phosphorous consumed is in line with the dairy  
17 cattle requirement. And for a variety of  
18 different reasons, there's a lot of excess  
19 phosphorous fed on farms.

20 So through a quantified process,  
21 combined with Cornell and some of the local  
22 expertise we have here, we did pilot farms  
23 where we actually quantified the reductions of  
24 phosphorous in manure on working viable farms.  
25 This is not something we're just pulling out  
(STORMWATER ISSUE)

3249

1 of a book, we've actually done it in the  
2 county.

3 MR. YOUNG: And you've done it by  
4 controlling the amount of phosphorous in the  
5 feed?

6 MR. FRAZIER: That's the primary  
7 thing, but there's other sources of  
8 phosphorous. Let me back up. Purchased feed  
9 is the largest source of phosphorous coming  
10 into the basin, so that's why we focused on  
11 that. That was the biggest priority we saw,  
12 so that's why we targeted it.

13 ALJ WISSLER: Let me stop you for a  
14 minute. So for a working dairy farm from  
15 Delaware County, they don't grow their own  
16 corn for feed and stuff like that?

17 MR. FRAZIER: Sure, they do. I'm  
18 talking about purchased concentrates, grains,  
19 corn, soy.

20 ALJ WISSLER: Beyond what they --

21 MR. FRAZIER: What they grow, yes.  
22 That's also their largest expense. It also  
23 happens to be the largest source of  
24 phosphorous coming onto the farm, and coming  
25 into the watershed.



1 ALJ WISSLER: Phosphorous that wasn't  
2 in there before?

3 MR. FRAZIER: That's right.

4 MR. YOUNG: How do you get the feed to  
5 have less phosphorous?

6 MR. FRAZIER: That's a little bit  
7 tricky, but it goes back to evaluating what  
8 they grow on the farm, the quality of that,  
9 how much they'll eat of that. And then  
10 evaluating the sources of corn, soy, different  
11 grain byproducts for phosphorous content, and  
12 trying to match that to the requirements.

13 It varies from farm to farm, so you  
14 try to target, to get as close to the  
15 requirement as established by the National  
16 Research Council. That's the objective.

17 We have had to overcome some myths  
18 with that because farmers fed surplus  
19 phosphorous for some reasons that were -- have  
20 no scientific basis.

21 MR. YOUNG: The amount of phosphorous  
22 that goes into the cow is proportional to the  
23 amount of phosphorous that goes out of the  
24 cow?

25 MR. FRAZIER: Well, what they utilize,  
(STORMWATER ISSUE)

1 leftover is what comes out, yeah.

2 MR. YOUNG: So what type of reductions  
3 have you been able to achieve in the  
4 phosphorous coming -- is it phosphorous

5 released from the cow or is it phosphorous  
6 being released to the stream?

7 MR. FRAZIER: What's been quantified  
8 on farms is that you could see up to  
9 30 percent -- in some farms it's highly  
10 variable depending on where they were before  
11 you began, but up to 30 percent. I don't  
12 think we're going to see 30 percent on every  
13 single farm, but that's a substantial  
14 reduction compared to almost anything else you  
15 could think of, point or nonpoint source,  
16 coming into the basin.

17 MR. YOUNG: So when the Judge has  
18 indicated a typical farm may release up to 300  
19 pounds -- kilograms a year, 30 percent  
20 reduction would be about 100 kilograms?

21 MR. FRAZIER: Yes.

22 MR. YOUNG: How many farms are you  
23 doing this on now, precision feeding?

24 MR. FRAZIER: We're still in the pilot  
25 phase, but I must tell you that -- we're doing  
(STORMWATER ISSUE)

3252

1 it on ten farms is the direct answer. But  
2 it's more than that, in that we've been  
3 working with the feed industry and dairy  
4 nutritionists and veterinarians for two,  
5 three, four years now, and there's been a  
6 number of papers generated at professional  
7 conferences and such; and the feed industry is  
8 already moving in this direction to evaluate  
9 more closely the phosphorous content.

10 But what we're doing on these farms is  
Page 106

11 a quantification process to demonstrate it can  
12 work without harming productivity. In some  
13 cases, actually improving profitability. So  
14 that goes to the long-term adoption of it.

15 MR. YOUNG: Long-term, what  
16 administrative structure is going to be in  
17 place to administer such a thing? How do you  
18 expect it to go on without -- does it require  
19 major governmental assistance?

20 MR. FRAZIER: This is only my opinion.  
21 The governmental assistance would be the  
22 continued work and support from Cornell  
23 through the technical -- like Cornell  
24 Cooperative Extension in the field to continue  
25 the support of the private sector. You have  
(STORMWATER ISSUE)

1 to have private sector involvement in this in <sup>3253</sup>  
2 order to make this work. Because they're on  
3 the farm much more frequently than you could  
4 ever have any governmental agency out there.  
5 And it's to that industry's benefit to do that  
6 because --

7 MR. YOUNG: You're talking about the  
8 feed industry?

9 MR. FRAZIER: The feed industry to do  
10 that because it's part of the nutritional  
11 services. And the farms in the Cannonsville  
12 know they've got to -- they're cognizant that  
13 phosphorous is an issue and the feed industry  
14 has got to be there to help them through that  
15 process.

16 we have three companies that are the  
17 primary providers of that service of the  
18 farmers in the watershed that are going  
19 through the process of education and adopting  
20 and utilizing it on more than just the ten  
21 demonstration farms. I don't know how many,  
22 but it's out there.

23 MR. YOUNG: The Judge also mentioned  
24 the fact that some of the food comes from the  
25 farms -- food that the farmers grow  
(STORMWATER ISSUE)

1 themselves. How are you attempting to improve<sup>3254</sup>  
2 phosphorous reductions from that?

3 MR. FRAZIER: Basic premise on a dairy  
4 farm is the more home grown forage you can  
5 feed, the better off you're going to be. That  
6 helps reduce the amount of purchased feed with  
7 all the phosphorous in it that needs to come  
8 on the farm because you're supporting more  
9 production by the forage that you grow.

10 So from that standpoint, you're  
11 bringing less phosphorous onto the farm. That  
12 goes towards reducing phosphorous accumulation  
13 in the soils, which is the issue. We have far  
14 more phosphorous being brought into the basin  
15 and accumulating in soils which is acting as a  
16 bank that slowly releases all the surplus  
17 phosphorous. So that's how that goes towards  
18 reducing the balance of phosphorous because  
19 you're bringing less in --

20 MR. YOUNG: What are you trying to do  
21 to make sure that more phosphorous gets

22 recycled within the basin?

23 MR. FRAZIER: Well, we initiated an  
24 effort locally called Forage Systems, and in  
25 that process -- really quite simple, we're  
(STORMWATER ISSUE)

1 trying to look at different technologies in <sup>3255</sup>  
2 terms of variety selection, harvesting types,  
3 storage and all that type of stuff, to improve  
4 the quality on the farm. The higher quality  
5 of the forage, the more they'll consume, the  
6 less concentrate they have to buy. That goes  
7 to the bottom line of the farmer.

8 ALJ WISSLER: What is the nutritive  
9 value of phosphorous for plants for growing  
10 corn?

11 MR. FRAZIER: Nutritive value?

12 ALJ WISSLER: Is it essential to the  
13 plants?

14 MR. FRAZIER: Absolutely. The problem  
15 is, is that we're importing far more  
16 -- something like for every pound you bring on  
17 the farm, typically, I think this is true  
18 across New York State, 60 or 70 percent of it  
19 is staying on the farm. In other words, some  
20 is going out in milk production, some goes off  
21 in an animal they might sell, some might go  
22 off in the forage that they produce or sell,  
23 but the problem is that we have a surplus and  
24 it's staying on the farm.

25 ALJ WISSLER: If I reduce -- if I  
(STORMWATER ISSUE)

1 reduce the phosphorous content of the feed  
2 that I give my animals, then their manure will  
3 be less valuable to me as a nutrient for when  
4 I plow it into my fields every spring before I  
5 plant my corn?

6 MR. FRAZIER: Not in terms of  
7 phosphorous because we have so much surplus  
8 phosphorous to deal with, it's very difficult  
9 to get to a mass balance of zero with  
10 phosphorous. There always seems to be a  
11 surplus. Even if you reduce to nutrient  
12 requirement needs, you're going to have more  
13 phosphorous than the plants need.

14 MR. YOUNG: Dean, what are your  
15 estimates as to the total phosphorous  
16 reduction you hope to get just in the  
17 Cannonsville from implementing those two  
18 programs?

19 MR. FRAZIER: well, our goal that we  
20 had set, our operating goal set a  
21 7,000-kilogram reduction from those two  
22 different initiatives.

23 MR. YOUNG: How much money has  
24 Delaware County alone invested in the DCAP  
25 program?

(STORMWATER ISSUE)

1 MR. FRAZIER: My best estimate is over <sup>3257</sup>  
2 \$4 million. I know that two years ago we were  
3 a little over three, and if you add in just  
4 the cost of my department and a few others,  
5 it's easily four .

6 MR. YOUNG: Have you gotten money  
Page 110

7 elsewhere?

8 MR. FRAZIER: Yeah, we've been  
9 fortunate enough to get around seven and a  
10 half million dollars in grants.

11 MR. YOUNG: Where do those grants  
12 primarily come from?

13 MR. FRAZIER: Primarily from the feds,  
14 Safe Drinking Water Act monies, and for  
15 monitoring models, science demonstrations.  
16 Then we also receive a substantial amount from  
17 the watershed Environmental Assistance  
18 Program, WEAP, under the Water Resources  
19 Development Act through the Army Corps of  
20 Engineers.

21 MR. YOUNG: I'm going to -- you  
22 haven't studied, or have you studied the  
23 phosphorous load allocations from this  
24 particular project that's the subject of this  
25 hearing?

(STORMWATER ISSUE)

1 MR. FRAZIER: I have looked at them.

3258

2 MR. YOUNG: For purposes of this  
3 question, I'm going to give you what is in the  
4 record so far. In Applicant's Exhibit 47, I  
5 think they gave a range -- Applicant's 47  
6 being the Crossroads Ventures, LLC, Total  
7 Phosphorous Loading Calculations and  
8 Comparisons dated June 2004. They gave a  
9 range of phosphorous loadings, I think, in the  
10 Ashokan from this project of somewhere between  
11 196 kilograms to 206. And they gave a range

12 of phosphorous loadings into the Pepacton,  
13 somewhere between 167 kilograms to 189. And  
14 that's combined both from the wastewater  
15 treatment plants and from the stormwater.

16 Are those significant phosphorous  
17 loadings in those watersheds?

18 MR. FRAZIER: In terms of the Pepacton  
19 Basin.

20 ALJ WISSLER: Six healthy cows.

21 MR. FRAZIER: Personally, I don't  
22 consider them significant when the available  
23 load is in excess of 30,000 kilograms per year  
24 under the TMDL. I don't understand the  
25 -- maybe it's something that I don't  
(STORMWATER ISSUE)

3259

1 understand, but in terms of phosphorous  
2 loading, I don't view those as significant.

3 To give you a perspective, in the  
4 Cannonsville Basin, if we looked at all the  
5 urban runoff, our best estimate is maybe  
6 200 kilograms we could capture from urban  
7 impervious surfaces flowing into Cannonsville.

8 well, we have 50,000-kilogram load  
9 compared to 200 kilograms from impervious  
10 surfaces, I'm thrown back by that. I guess I  
11 would stay away from the Ashokan. I've read  
12 it. Even in that one, I'm a bit mystified as  
13 to the major concerns, just relative to the  
14 total -- or the available load under the TMDL.

15 MR. YOUNG: You have previously  
16 indicated that under the city watershed  
17 regulations that if a basin is phosphorous



18 restricted, which means, I guess, that it  
19 exceeds the water quality standard for  
20 phosphorous, that the regulations prohibit new  
21 point sources. Why is that an effective  
22 way -- or is that an effective way of  
23 addressing phosphorous loads in the  
24 Cannonsville, for example?

25 MR. FRAZIER: Not in the context of  
(STORMWATER ISSUE)

1 the total load, at least in the Cannonsville <sup>3260</sup>  
2 Basin, that's -- it may have issues to do with  
3 demand and control. But in terms of the big  
4 picture of water quality, it seems to me that  
5 what we've done under DCAP is develop a plan  
6 that can be done in any basin, identify the  
7 priority areas and go after those types of  
8 reductions, as opposed to the hundreds of  
9 thousands of dollars it takes to chase down  
10 30, 40, 50 kilograms, say, in the Village of  
11 Walton.

12 I'm not saying stormwater isn't  
13 important, I'm just saying relative to  
14 phosphorous, in terms of our objectives, in  
15 terms of a comprehensive plan when point  
16 sources make up such a tiny fraction relative  
17 to the potential to get the reduction in the  
18 nonpoint source --

19 MR. YOUNG: Keith, can you explain the  
20 TMDL process? What is the TMDL process?

21 MR. PORTER: It's a way of determining  
22 what is acceptable in terms of a total loading

23 to a water body. Under Section 303 is not in  
24 compliance with some specified water standard.  
25 If a water body is not in compliance and the  
(STORMWATER ISSUE)

3261

1 TMDL process is triggered, that can be  
2 calculated multiple ways. But it's based on  
3 mass balance calculations that allow one to  
4 then look at the existing loads relative to  
5 the total load that will be permissible as  
6 defined by the water standard.

7 In other words, the concentration,  
8 which is how the standards are normally  
9 stated, is transformed into a loading ceiling  
10 for that water body, whether it's a lake or  
11 river or whatever.

12 Then the existing loads in that  
13 watershed for that water body are calculated.  
14 On the basis of that, an allocation is  
15 performed as a basis for targeting where there  
16 should be reductions to bring that water body  
17 into compliance with the drinking water  
18 standard.

19 MR. YOUNG: Have you reviewed the  
20 TMDL's for the Pepacton and Ashokan?

21 MR. PORTER: Not in detail.

22 MR. YOUNG: Can you identify for us  
23 what is the available load, you might say the  
24 excess load available for --

25 MR. PORTER: What's currently  
(STORMWATER ISSUE)

3262

1 available for Ashokan West is about  
2 8,000 kilograms, and Ashokan East is a little  
Page 114

3 more than a thousand.

4 MR. YOUNG: What about Pepacton?

5 MR. PORTER: Pepacton is 33,000.

6 MR. YOUNG: When you say available,  
7 that means that what's being used up --

8 MR. PORTER: That's surplus to  
9 requirements right now.

10 MR. YOUNG: And given that, what's  
11 your opinion regarding the loadings from this  
12 project?

13 MR. PORTER: They're de minimus,  
14 trifling.

15 ALJ WISSLER: They're what?

16 MR. PORTER: Trifling. If you made a  
17 complete urban area, say akin toward an urban  
18 area, all 573 acres is now water, you get --  
19 the loading from water is 1 kilogram per  
20 hectare per year. And that's measured. So  
21 we're going to get 500 kilograms from this  
22 site that's now paved over and got houses.  
23 Perhaps I'm exaggerating a little bit, but the  
24 claims that the reservoirs are threatened by  
25 loading from this development makes no sense  
(STORMWATER ISSUE)

□

3263

1 in terms of the arithmetic.

2 MR. YOUNG: Thank you. Finally, just  
3 for the record, we're going to ask if there is  
4 an adjudicatory hearing on this issue, we  
5 would ask the Court to take judicial notice --  
6 DEC has published a public notice to modify  
7 the TMDL for the Ashokan Reservoir. In doing

8 that, what has been determined is that the  
9 Shandaken Tunnel, which takes water from the  
10 Schoharie Reservoir system and brings it to  
11 the Ashokan system, was an illegal point  
12 source. And I think the City was brought to  
13 court and was ordered to pay a penalty and was  
14 required to submit a SPEDES application for  
15 that.

16 The draft public notice for  
17 modification of TMDL indicates that the  
18 phosphorous loading from the Shandaken Tunnel  
19 to the Ashokan is approximately  
20 10,400 kilograms. And our position is that if  
21 phosphorous is a problem in the Ashokan, a far  
22 more cost effective way of addressing  
23 phosphorous would be to install some form of  
24 treatment -- which treatments have been  
25 available and DEC is currently investing in --  
(STORMWATER ISSUE)

□

1 on the Shandaken Tunnel. That's where you're <sup>3264</sup>  
2 going to get real benefit for your dollar, not  
3 by making poor people who live in these  
4 watersheds pay these astronomical costs to  
5 eliminate phosphorous in the watershed.

6 MR. PORTER: It is very easy to --  
7 when you slip between units to forget to make  
8 the correction. The loading from an urban  
9 area in the Cannonsville Basin and Pepacton as  
10 we measured it is 1 kilogram per hectare, not  
11 acre. There are about 250, roughly, hectares  
12 in this development. So if you take that  
13 loading rate, you get 250. I didn't change

14 the acres down to hectares as I should have  
15 done, so my loading statement --

16 ALJ WISSLER: About 4.6 acres per  
17 hectare -- about 5 acres; 4 and a half or 5  
18 acres per hectare?

19 MR. PORTER: Roughly 2.5 acres per  
20 hectare.

21 ALJ WISSLER: All right.

22 MR. YOUNG: Thank you.

23 ALJ WISSLER: Are we breaking for  
24 lunch?

25 MR. GREENE: We can break for lunch.  
(STORMWATER ISSUE)

1 If we respond, we can make a quick statement <sup>3265</sup>  
2 when we come back. If that's what you want to  
3 do.

4 ALJ WISSLER: well, if you want to  
5 make a brief response now, that will be fine  
6 with me. And then we can take lunch and then  
7 we can come back and only have to do  
8 pesticides.

9 why don't we take five minutes and  
10 then everybody who wants to make a little  
11 statement can make a statement and then we can  
12 break for lunch.

13 (12:59 - 1:10 p.m. - BRIEF RECESS  
14 TAKEN.)

15 ALJ WISSLER: Mr. Green?

16 MR. GREENE: Just very quickly. We  
17 have never said that the phosphorous from this  
18 project will impair the reservoirs of their

19 best-intended uses. Clearly, however, the  
20 control of phosphorous from this project was  
21 an essential consideration in writing the  
22 draft SPEDES permits, and in developing the  
23 DEIS; therefore, the analysis has to be  
24 performed and the Applicant has not accurately  
25 analyzed the increments of phosphorous  
(STORMWATER ISSUE)

1 resulting from this project at this time. The <sup>3266</sup>  
2 SPEDES permits cannot, therefore, be issued  
3 until that analysis is performed correctly.

4 ALJ WISLER: Anything from anybody  
5 else before we break for lunch? I think we  
6 are up to pesticides; am I correct?

7 MR. RUZOW: Yes.

8 MS. BAKNER: Yes.

9 ALJ WISLER: Okay. Any idea how long  
10 a presentation that will be?

11 MS. BAKNER: DEP is next up.

12 MR. GREENE: We shouldn't be more than  
13 a half hour. Should be very short.

14 ALJ WISLER: Anything from --

15 MR. GERSTMAN: Our experts -- we'll  
16 reserve our right to reply.

17 MS. KREBS: Department Staff will be  
18 about a half hour.

19 ALJ WISLER: Mr. Ruzow or Ms. Bakner?

20 MS. BAKNER: About an hour.

21 ALJ WISLER: Okay. So we can get it  
22 all in this afternoon? Sounds good. How  
23 about we break until 2 o'clock.

24 (1:11 - 2:12 P.M - LUNCHEON RECESS  
Page 118

25 TAKEN.)

(STORMWATER ISSUE)

3267

1 ALJ WISSLER: Going back on the  
2 record. Pesticides, Mr. Greene?

3 MR. GREENE: I'll introduce this  
4 briefly. This is, I think, Issue 6 in the  
5 City's petition. We'll be presenting the  
6 testimony of Charles Cutietta-Olson from DEP,  
7 and I'll turn it over to him right now.

8 MR. CUTIETTA-OLSON: I want to start  
9 off pointing out some areas of agreement that  
10 we have with Dr. Knisel's testimony regarding  
11 the use of the GLEAMS model, specifically some  
12 of the parameters that were applied in that  
13 model.

14 First of all, that it was run for only  
15 one year -- Dr. Knisel testified that the  
16 model looking at pesticide impacts should be  
17 run for several years of participation to  
18 account for variation. We agree with that.

19 The Applicant selected practice  
20 parameters in the model that took credit for  
21 crops grown on contour, and that would not  
22 actually reflect the turfgrass condition of  
23 the golf course. So we think that as a  
24 result, there's probably more runoff from the  
25 site than the model would have shown. Use of  
(PESTICIDES ISSUE)

3268

1 the default parameters of the soil profiling  
2 were not particularly proper because the site  
3 is going to be changed, the soil profile is

7-21-04crossroadsf  
4 going to be substantially changed.

5 Dr. Knisel testified that the DEIS  
6 failed to look at pesticide impacts that might  
7 occur as a result of grass clippings that  
8 would be covered with pesticides and left  
9 on-site. There is no discussion how those  
10 would be handled, but we expect that issues  
11 like that would be addressed in a detailed  
12 integrated management plan.

13 I want to get back to the soil  
14 profiles issue for just a minute. The soil --  
15 the way the models were run, they used  
16 existing soil profiles. That's what's stated  
17 in the DEIS. But in fact, the predevelopment  
18 soil conditions are not the conditions under  
19 which the pesticides are going to be applied,  
20 so the models wouldn't accurately reflect the  
21 postdevelopment condition.

22 In Appendix 15, Section 2.2.4, the  
23 Applicant states that it used the soil series  
24 profiles of the sites where the golf course  
25 would be constructed; and Section 3.6 of the  
(PESTICIDES ISSUE)

DEIS only describes the preexisting soil  
conditions. There is no description in there  
of the postdevelopment conditions. In fact,  
we were not able to find in one single  
portion, in a single paragraph, a clear and  
concise description of what postdevelopment  
soil conditions and topography was going to  
be. We actually had to sort of piece it  
together.

3269





7-21-04crossroadsf  
15 approximately 8.8 acres that are logged but  
16 not grubbed on the range in 15 Phase III  
17 areas. Average depth of fill will be  
18 2.4 feet."

19 Another postdevelopment feature that  
20 was not represented in the LEACHM or GLEAMS  
21 modeling efforts that could influence  
22 pesticide transport offsite are the  
23 underdrains of the fairways. The fairways are  
24 to be underlain by perforated pipe that are  
25 proposed to be connected to the operation  
(PESTICIDES ISSUE)

3271

1 phase stormwater basins.

2 So below the soil profile, they're  
3 going to be -- which I'm going to refer back  
4 to in a minute -- they're creating a new soil  
5 profile on top of the crushed rock, and then  
6 there's pipe underneath that so that the soil  
7 doesn't get too saturated, because since you  
8 are irrigating, keeping the soil moist, there  
9 are issues with mold and various other things  
10 that golf courses have to control.

11 So with the underdrains now and the  
12 crushed rock, you have a layer -- first of  
13 all, the underdrains are going to actually  
14 increase a lateral transport coefficient.  
15 Where you have infiltration into the ground  
16 where LEACHM would have modeled infiltration  
17 to the ground, you actually have underdrains  
18 intercepting that and increasing what would be  
19 a lateral transport component that would be  
20 normally modeled by GLEAMS.

21                   or you have a faster vertical  
22                   transport component because under the soil  
23                   layer that they're putting on it's crushed  
24                   rock, which has very high porosity and the  
25                   water is going to completely fall through it.  
                  (PESTICIDES ISSUE)

3272

1                   This is from page 2-45 of the DEIS  
2                   Section 5: "Fairway drains will be installed  
3                   during construction, and during construction  
4                   these drains will consist of perforated stand  
5                   pipes surrounded by a gravel rock jacket, all  
6                   surrounded by perimeter silt fence. Detail 6,  
7                   Sheet CP-18. These fairway drains will be  
8                   piped to temporary sediment basins that will  
9                   be converted to operational phase basins."  
10                  The storm basins that we have been contending  
11                  are likely, in some cases, under some  
12                  precipitation conditions, have contributed to  
13                  surface discharge.

14                  The Applicant is planning to scrape  
15                  the site of existing soils and replace with  
16                  180,000 cubic yards of new soil for each site.  
17                  The depth of soil is only going to be  
18                  12 inches at Big Indian, according to the  
19                  wildacres Water Budget on page 6 and the Big  
20                  Indian Water Budget on page 4.

21                  The actual characteristics of the soil  
22                  are unclear. There was someone who testified  
23                  the last time I was here in June who described  
24                  the soil as being a mixture of topsoil and  
25                  sand. But in any case, this is not the  
                  (PESTICIDES ISSUE)

3273

1 preexisting soil conditions that was used in  
2 the models. The models, therefore, do not  
3 accurately represent the conditions under  
4 which pesticides are going to be applied. And  
5 we believe that in order to accurately  
6 characterize the impact of the pesticide, the  
7 postdevelopment condition should be described  
8 as accurately as possible and represented in  
9 the model.

10 Furthermore, some of the pesticides  
11 that the Applicant -- that were listed in the  
12 Attachment 4 of Appendix 15 include herbicides  
13 that have more than one active pesticide  
14 ingredient. And again, to accurately  
15 characterize the impact of pesticides, there  
16 should be some inclusion of pesticides that  
17 would be co-applied. The way the model was  
18 done, they looked at the concentration of each  
19 pesticide individually, but in fact, there may  
20 be conditions where you would have the sum of  
21 two pesticide concentrations exiting offsite.

22 In terms of the monitoring wells --

23 ALJ WISSLER: Explain that to me. I'm  
24 not quite sure I follow that.

25 MR. CUTIETTA-OLSON: The way the  
(PESTICIDES ISSUE)

3274

1 modeling was done when they listed their  
2 concentrations of pesticides that would be  
3 exiting offsite, and compared these to any  
4 applicable standards or LC50s, you're looking  
5 at each pesticide individually. But if you're

6 applying two pesticides, you would be looking  
7 at the sum of those two concentrations, I  
8 would think.

9 I mean, that's something I think  
10 should be looked at. It is not uncommon for  
11 pesticides to be co-applied. And in  
12 Attachment 4, Appendix 15, several of the  
13 commercial products that were listed had two  
14 pesticide active ingredients. They were  
15 herbicides.

16 But in the course of turf management  
17 on a golf course, there might be -- you might  
18 apply several different pesticides at once.

19 ALJ WISSLER: So there were herbicides  
20 with pesticides in them?

21 MR. CUTIETTA-OLSON: No, there were  
22 herbicide products that had two different  
23 active ingredients. So both of these active  
24 ingredients are being applied at the same  
25 time. So then if there is transport of this  
(PESTICIDES ISSUE)

□

1 material offsite, it's not -- you're not  
2 looking at a single concentration of one  
3 herbicide, you're looking at two  
4 concentrations.

3275

5 The SPEDES permit identifies some  
6 wells that are going to be used to look at  
7 potential impacts to groundwater from the  
8 pesticides. We were able to find descriptions  
9 of three of them: The Rashid well, Janus East  
10 well and the Midroad well in the DEIS. The

11 Mann Cabin well, we were not actually able to  
12 find a reference to, so I'm not exactly sure  
13 what the -- where that well is located or what  
14 it's monitoring.

15 In fact, the diagram, Figure 3-16,  
16 doesn't show you where any of the wells are  
17 specifically. So we don't really know exactly  
18 where the monitoring points are.

19 But in each of the three wells that we  
20 were able to get some description on, the  
21 monitoring depths are 475 feet, and Janus East  
22 and Midroad well are 698 feet deep. These  
23 wells are looking at water in deeper aquifers,  
24 the drinking water aquifer.

25 If you want to look at the risk of  
(PESTICIDES ISSUE)

□

1 pesticides migrating offsite, it would be 3276  
2 protective of waters of the state to look at  
3 shallow groundwater before so that you have  
4 some indication of potential impacts before it  
5 gets to the deeper aquifer. If you're  
6 detecting pesticide concentrations in the deep  
7 aquifer, now you have an environmental  
8 problem.

9 ALJ WISSLER: It's too late.

10 MR. CUTIETTA-OLSON: It would be  
11 better to identify if that problem has a  
12 potential to occur and change management  
13 practices accordingly.

14 The proposed monitoring wells are  
15 located in the deep aquifers. I would  
16 suggest, although I would hope that we could

17 actually discuss this further, that if a  
18 monitoring program were developed, that a  
19 shallow well should be located in areas  
20 on-site where infiltration is likely to occur,  
21 level areas, and then also at the property  
22 edges.

23 Finally, I just want to state  
24 regarding the analytes. When we reviewed the  
25 list of pesticides that the Applicant is  
(PESTICIDES ISSUE)

1 proposing, Table 5 of Appendix 15, we found <sup>3277</sup>--  
2 actually with the assistance of the DEC, that  
3 16 of the pesticides are not analyzable by a  
4 currently certificate method.

5 MR. GREENE: I'm going to hand out a  
6 list of those pesticides. I'm not sure which  
7 exhibit this will be, but it will be City  
8 Exhibit --

9 ALJ WISSLER: This will be City  
10 Exhibit 28.

11 (LIST OF PESTICIDES PERMITTED FOR USE  
12 ON PG8-11 OF THE WILDACRES DRAFT SPEDES PERMIT  
13 & PG 18 OF THE BIG INDIAN SPEDES PERMIT FOR  
14 WHICH CERTIFIED ANALYTICAL METHODS DO NOT  
15 CURRENTLY EXIST RECEIVED AND MARKED AS CITY  
16 EXHIBIT NO. 28, THIS DATE.)

17 MR. CUTIETTA-OLSON: There are  
18 actually 18 pesticides on the Table 5 that are  
19 not analyzable by currently certified methods,  
20 but two of them are not listed on the SPEDES  
21 permits. So the 16 listed on the page you're

22 7-21-04crossroadsf  
23 holding are actually 16 taken from the SPEDES  
24 permit that are not analyzable by currently  
25 certified methods.

□ The SPEDES permit states that: "If  
(PESTICIDES ISSUE)

1 EPA methodologies do not exist for a 3278  
2 particular pesticide, the Department may, at  
3 its discretion, require an MDL/PQL study to be  
4 performed by the permittee following review of  
5 manufacturer's literature on testing  
6 methodology." MDL means Method Detection  
7 Limit, and PQL means Practical Quantitation  
8 Limit. Basically, the work a laboratory  
9 undertakes to determine if they can, in fact,  
10 detect a certain analyte, and the  
11 concentration at which they can detect it.

12 MS. BAKNER: That was Exhibit 10 of  
13 the Office of Hearings and Mediation record,  
14 which is the SPEDES permit that Charlie was  
15 referring to.

16 MR. CUTIETTA-OLSON: DEP believes that  
17 DEC should require analytical methodology  
18 development if pesticides that are not  
19 analyzable by current certified methods are  
20 used on the site. Further, we would expect  
21 that if pesticides were detected using a  
22 method that is not certified, and the quantity  
23 was in excess of the SPEDES permit limit, that  
24 it would be considered a SPEDES violation.

□ Typically, SPEDES violations are  
(PESTICIDES ISSUE)

1 documented with certified laboratory methods. 3279



2 In the case of these 16 pesticides, if they  
3 were detected, they would not be detected by  
4 certified methods.

5 That's it for me.

6 MR. GREENE: So if I could quickly  
7 summarize three primary issues that the city  
8 has raised here. First of all, the pesticide  
9 models used by the Applicant in Appendix 15  
10 are not run using postdevelopment soil in top  
11 gravel conditions on the site, therefore,  
12 they're not representative of actual pesticide  
13 runoff impacts that could result in the  
14 postdevelopment phase.

15 Secondly, the groundwater monitoring  
16 wells set forth in both draft SPEDES permits  
17 are not adequate for protecting groundwater  
18 because they are too deep. Therefore, shallow  
19 wells should be required under the SPEDES  
20 permit as well.

21 Third, before one of these 16  
22 pesticides are applied, if any of these 16  
23 pesticides are applied, there must be  
24 certified analytical methods to verify their  
25 presence in surface or groundwater so that  
(PESTICIDES ISSUE)

1 they can be detected before there's a serious  
2 impact.

3 ALJ WISSLER: Okay. Marc, you're not  
4 weighing in on this?

5 MR. GERSTMAN: No.

6 ALJ WISSLER: Do you want to go next

7 or do you want Staff to go?

8 MS. KREBS: We wanted to hear the  
9 response if that's all right with your Honor.

10 ALJ WISSLER: That's fine.

11 MS. BAKNER: First of all, we have two  
12 exhibits, one is the resume of Dr. Martin  
13 Petrovic, and the other is an excerpt from a  
14 New York City DEP Bureau of Water Supply  
15 Report dated May 15th, 2003. And it is the  
16 cover page and page 27 and 28.

17 ALJ WISSLER: Applicant's 92 and 93.

18 MS. BAKNER: Yes.

19 (CV OF A. MARTIN PETROVIC RECEIVED  
20 AND MARKED AS APPLICANT'S EXHIBIT NO. 92, THIS  
21 DATE.)

22 ("NEW YORK CITY DEPARTMENT OF  
23 ENVIROMENTAL PROTECTION BUREAU OF WATER SUPPLY  
24 DATED 5/15/03" RECEIVED AND MARKED AS  
25 APPLICANT'S EXHIBIT NO. 93, THIS DATE.)  
(PESTICIDES ISSUE)

□

3281

1 ("GOLF COURSE IMPACTS TO SHALLOW  
2 GROUNDWATER SUFFOLK COUNTY, NY, DECEMBER 2002"  
3 RECEIVED AND MARKED AS APPLICANT'S EXHIBIT NO.  
4 94, THIS DATE.)

5 ("GROUNDWATER QUALITY, WATER QUALITY  
6 IMPACTS BY GOLF COURSES" RECEIVED AND MARKED  
7 AS APPLICANT'S EXHIBIT NO. 95, THIS DATE.)

8 ("TURFGRASS AND ENVIRONMENTAL  
9 RESEARCH ONLINE - USGA" RECEIVED AND MARKED AS  
10 APPLICANT'S EXHIBIT NO. 96, THIS DATE.)

11 ALJ WISSLER: Ms. Bakner, did you read  
12 these into the record?

13 MS. BAKNER: Not yet. We also have to  
14 enter into the record Applicant's Exhibit 94,  
15 which is an article -- report dated December  
16 2002 by the Suffolk County Department of  
17 Health Services and Division of Environmental  
18 Quality, entitled, "Golf Course Impacts to  
19 Shallow Groundwater in Suffolk County, New  
20 York."

21 We also have Applicant's 95, which is  
22 a document entitled, "Groundwater Quality,  
23 Water Quality Impacts by Golf Courses" by  
24 Cohen, Svrjcek, Durborow and Barnes. I'm just  
25 looking for a date here. Looks like  
(PESTICIDES ISSUE)

3282

1 October 1997.

2 Lastly, Applicant's Exhibit 96, which  
3 is an article from the USGA Turfgrass and  
4 Environmental Research Online, Issue 3, Number  
5 4, dated February 15th, 2004. And I will  
6 circulate copies of these to the parties when  
7 next we're together, or sooner if anyone needs  
8 it.

9 I'm going to hand these to Dr.  
10 Petrovic. He'll cover them when we get to his  
11 testimony.

12 First of all, for the record, I want  
13 to note that we have covered pesticides and  
14 herbicides and fertilizers in several sections  
15 of the Draft Environmental Impact Statement,  
16 most significantly in volume 6, Appendices 14,  
17 which is the Integrated Turf Management Plan;

18 Appendices 15, which is the Fertilizer and  
19 Pesticide Risk Assessment; and also in the  
20 following sections: Section 2.4.8 -- Volume 1  
21 of the DEIS, Section 2.4.8; Section 3.2.2;  
22 Section 3.2.3; Section 3.3; Section 3.5.3;  
23 Section 3.6, which specifically deals with  
24 soils; and section 5.7.

25 In addition to these areas, we also  
(PESTICIDES ISSUE)

3283

1 have figures -- Figure 2-10, Tables 3-12  
2 through 3-15. Table 3-29B and Table 3-30.  
3 Those are all in Volume 1 of the DEIS.

4 The next document that comprises a  
5 significant portion of the record for this is  
6 Exhibit 10 which Mr. Olson had referred to  
7 previously, I believe it's Office of Hearings  
8 Mediation Exhibit 10, which is the draft  
9 SPEDES permits. And I would just direct you  
10 to page 10 of 23, where the effluent limits  
11 and quality monitoring of the micropool  
12 detention ponds is set forth. That's number  
13 5, which includes the language that Mr. Olson  
14 was quoting.

15 ALJ WISSLER: Specifically, looking at  
16 the wildacres permit?

17 MS. BAKNER: Yes, specifically looking  
18 at wildacres, yes.

19 And No. 6, which has to do with the  
20 pesticides that can be used. And I just want  
21 to note for the record that Section 6B  
22 provides that: "Should the permittee wish to  
23 use additional or alternate pesticides not

24 included on the above list, authorization from  
25 this Department, the Department of  
(PESTICIDES ISSUE)

1 Environmental Conservation, shall be required<sup>3284</sup>  
2 prior to use. All pesticides proposed for use  
3 must comply with 6NYCRR Part 326, Registration  
4 and Classification of Pesticides."

5 I also wanted to note that in "C," DEC  
6 has required that we make our pesticide  
7 application records available to DEP, as well  
8 as the Towns of Shandaken and Middletown.  
9 It's 6C.

10 Then if you look at page 15 of 23,  
11 that covers the pesticide -- the surface water  
12 pesticide monitoring, as well as the  
13 groundwater monitoring requirements listing  
14 the names of the wells for wildacres.

15 For Big Indian, the groundwater  
16 monitoring can be found under -- there doesn't  
17 appear to be a section, but it's 13 of 21, and  
18 it lists the location of the groundwater  
19 wells. And the special conditions for  
20 pesticide management are set forth on page 18  
21 of 21. And it's Special Conditions for  
22 Pesticides Management. That pretty much  
23 covers it for the SPEDES permits.

24 Today we have, to respond to the  
25 comments regarding pesticides, we have two  
(PESTICIDES ISSUE)

1 experts, Kevin Franke of the L.A. Group, whose<sup>3285</sup>  
2 resume has already been entered into the

3 record, and Dr. Martin Petrovic, whose resume  
4 is Applicant's Exhibit 92.

5 what I'd like to do is start with  
6 Kevin and go to Dr. Petrovic. If you could  
7 describe your qualifications and your  
8 experience in doing these types of models so  
9 that we can get into the record your expertise  
10 with doing this.

11 MR. FRANKE: Sure. Started off  
12 dealing with pesticides in -- my Master's  
13 Degree research was on aquatic pesticides.  
14 Upon employment with the L.A. Group, again,  
15 analyzing pesticide use on golf courses.

16 Beginning in 1989, I believe we were  
17 the first firm in the state to utilize one of  
18 the models that we've used in this risk  
19 assessment, which is the LEACHM model  
20 developed by Cornell University.

21 Then computer modeling of golf courses  
22 throughout New York State, as well as golf  
23 courses outside of New York State as far away  
24 as Hawaii. Models used in here, as well as  
25 others.

(PESTICIDES ISSUE)

1 MS. BAKNER: How many -- give me a 3286  
2 ballpark number of how many of these have you  
3 run, say, since 1989?

4 MR. FRANKE: At least one a year, so  
5 were you're looking at 15 or so.

6 MS. BAKNER: Were those models used as  
7 part of DEISS for other projects in New York?

8 MR. FRANKE: Yes, including two here  
Page 134

9 in Region 3 within the last 10 years.

10 MS. BAKNER: Were those both golf  
11 course projects?

12 MR. FRANKE: Both golf courses, one in  
13 Rockland County and one in Dutchess County,  
14 both of which are up and running now.

15 MS. BAKNER: Was there anything  
16 unusual about this project relative to the  
17 types of modeling that was done here?

18 MR. FRANKE: No, the modeling approach  
19 wasn't different. Daily use was different  
20 from site to site, but the approach is fairly  
21 standardized.

22 MS. BAKNER: Dr. Petrovic, if you  
23 could just go over your qualifications and  
24 your involvement in these types of projects,  
25 that would be great.

(PESTICIDES ISSUE)

1 DR. PETROVIC: I have a Master's of <sup>3287</sup>--  
2 Master's in turfgrass management from the  
3 University of Massachusetts in Amherst; a Ph.D  
4 in Michigan -- from Michigan State in  
5 turfgrass soil science.

6 I've been on the faculty of Cornell  
7 University since 1979, currently as a full  
8 professor in the department of horticulture.  
9 My area of expertise is turfgrass management.  
10 I teach courses in turfgrass management at  
11 Cornell.

12 My primary role at Cornell, however,  
13 is research. I've published numerous articles

14 on the fate of fertilizers and pesticides  
15 applied to turf, and have done consulting on  
16 golf courses, primarily since 1990. I've done  
17 over 40 projects of this nature, either  
18 involving writing the integrated turf and pest  
19 management plans, doing risk assessment on  
20 nutrients and/or pesticides, as well as  
21 serving as a consultant for towns on golf  
22 course projects. And I have testified before  
23 your Honor on other golf course projects,  
24 Seven Springs Golf Course project in  
25 Westchester County.

(PESTICIDES ISSUE)

3288

1 MS. BAKNER: And who did you represent  
2 in connection with that?

3 DR. PETROVIC: In that particular  
4 project, I represented the Applicant, the  
5 Donald Trump organization.

6 MS. BAKNER: But you do also commonly  
7 represent municipalities?

8 DR. PETROVIC: Yes. I've done several  
9 in New York, as well as several in  
10 Connecticut.

11 MS. BAKNER: In terms of the  
12 assistance that you provided to L.A. Group on  
13 this project, could you describe it for us?

14 DR. PETROVIC: Primarily, I was used  
15 as a person to review the modeling that was  
16 done. I have done some research because of  
17 our -- the nature of the work I do at Cornell  
18 on models, pesticide fate models, in  
19 particular, also looked at the integrated turf



20 pest management plan to look to see how  
21 contemporary it was, and then the approaches  
22 that were taken.

23 MS. BAKNER: So you did a peer review?

24 DR. PETROVIC: Yes, peer review  
25 version.

(PESTICIDES ISSUE)

3289

1 MS. BAKNER: And in your peer review  
2 of the document that we submitted as part of  
3 the Draft Environment Impact Statement, were  
4 you comfortable with that? Did you find it to  
5 be acceptable? Did you have any concerns  
6 about that?

7 DR. PETROVIC: As in reviewing any  
8 project, you can find things that you would  
9 see that you would like to improve. I  
10 recommended those, and those were implemented  
11 into the plan. But by and far, the final  
12 product, I felt, is very contemporary,  
13 state-of-the-art and scientifically sound.

14 MS. BAKNER: Thank you.

15 what I'd like to do now, because  
16 really what your Honor has heard so far is  
17 sort of what other parties feel is wrong with  
18 our plans, and what we have produced in the  
19 Draft Environmental Impact Statement by way of  
20 an Integrated Pest Management Plan, Integrated  
21 Turf Management Plan, and what I would like to  
22 have Kevin do is describe for us really  
23 Appendix 15 and how it's modeled for this  
24 specific project, anticipated leaching of

7-21-04crossroadsf  
pesticides or other chemicals.  
(PESTICIDES ISSUE)

25

3290

1 MR. FRANKE: Appendix 15 is the  
2 pesticide and fertilizer -- Fertilizer and  
3 Pesticide Risk Assessment portion of the EIS,  
4 and I want to briefly walk through the  
5 methodology of the modeling that was used to  
6 generate the data used in the risk assessment.

7 Essentially, we used three separate  
8 models in the risk assessment; the first being  
9 the windows Pesticide Screening Tool; the  
10 second being a Leaching Estimation and  
11 Chemistry Model or LEACHM; and the third being  
12 the model that Dr. Knisel was speaking about,  
13 which was the GLEAMS model.

14 In that order, the windows Pesticides  
15 Screening Tool was used just for that purpose.  
16 As the name suggests, it is a screening tool,  
17 it's not a quantitative model, it's more of a  
18 qualitative model with limited opportunity for  
19 site-specific input. You are allowed to input  
20 your site soils and certain information as it  
21 relates to precipitation. What comes out of  
22 the Pesticide Screening Tool is a qualitative  
23 ranking of the potential hazard, ranked from  
24 very low hazard to extra high hazard. Hazard  
25 ranking is for human health, as well as for a  
(PESTICIDES ISSUE)

3291

1 aquatic life. The screening tool is used just  
2 for that. It was an initial cut-through of  
3 possible pesticides to be used on the site  
4 with the site soils to gives us an indication

5 of which pesticides may become problematic  
6 when we take a closer look with quantitative  
7 models, which is the LEACHM model and the  
8 GLEAMS model.

9 The LEACHM model predicts the vertical  
10 movement of pesticides through the soil  
11 profile; whereas, the GLEAMS model was used  
12 for the horizontal transport for the runoff  
13 component.

14 Just by way of background of the input  
15 data that were used in these models, because  
16 we have heard frequently throughout here,  
17 garbage in, garbage out, I just want to walk  
18 through some of the key inputs that were used  
19 in the site-specific models.

20 The LEACHM model, as I mentioned,  
21 which was developed by agronomists at Cornell  
22 University, allows you to integrate  
23 site-specific climate data, soils data,  
24 pesticides data. Basically, gives you a mass  
25 balance of what goes in, has got to go out in  
(PESTICIDES ISSUE)

□

1 some direction. Provides volatilization, what <sup>3292</sup>  
2 goes through the soil profile, what breaks  
3 down in the soil so you can account for all  
4 the material that you put in.

5 There are examples in Appendix 15 of  
6 the output files of the LEACHM modeling. The  
7 LEACHM modeling, as well as the GLEAMS  
8 modeling, we looked at one full year of data.  
9 Precipitation or the climate data that we used

10 in both models included precipitation from  
11 1996. The NOAA station from which this data  
12 was collected was the Arkville station. You  
13 recall there was some discussion on the  
14 Tannersville data over the stormwater, that's  
15 because the stormwater on that model required  
16 hourly data. This modeling requires simply  
17 daily precipitation values.

18 So since Arkville is a little bit  
19 closer, we used that data. We used the data  
20 from 1996 because that was approximately  
21 50 percent higher than total precipitation  
22 average yearly amount. The average  
23 precipitation here in Arkville is about 40  
24 inches a year. The 1996 data has  
25 approximately 60 inches. As you recall, '96  
(PESTICIDES ISSUE)

3293

1 was also the year of the flood in this area,  
2 which I believe the rainfall in that was a  
3 4-inch storm in 24 hours.

4 In addition to daily precipitation  
5 amounts, the model also accepts air  
6 temperature values, maximums and minimums,  
7 daily soil temperatures and daily pan  
8 evaporation data. All this data was collected  
9 from the nearest NOAA station for which full  
10 datasets were available for 1996.

11 MS. BAKNER: And that was Arkville?

12 MR. FRANKE: It depends on the  
13 particular parameter. Arkville had the  
14 precipitation; Lansing Manor, which is just up  
15 Route 30, has pan evaporation data but they

16 didn't have a full year in '96, we had to go  
17 to the next closest station. Essentially, the  
18 closest station that had published the  
19 information.

20 The LEACHM model does not allow the  
21 model to calculate when irrigation gets  
22 applied. You have to put that in as a  
23 rainfall event, if you will. We will talk  
24 about that a little more when we get to the  
25 GLEAMS model, which does give you an option,  
(PESTICIDES ISSUE)

3294

1 kind of model output.

2 So using precipitation data and pan  
3 evaporation data, we calculated when  
4 irrigation would be applied during '96. Soil  
5 series, all of the soils that were mapped on  
6 our high-intensity soils map for the golf  
7 courses were modeled in LEACHM. And they  
8 ranged in thickness anywhere from 10 inches  
9 all the way up to 60 inches, 5 feet.

10 Many different physical -- mostly  
11 physical parameters are specified in the  
12 modeling for the soils, including the  
13 percolation rates, the amounts of sand, silt,  
14 clay, organic matter, et cetera.

15 Finally, there was a pesticide  
16 component of the modeling input in addition to  
17 applicational rates and application dates of  
18 pesticides. Their physical and chemical  
19 characteristics that affect their movement are  
20 also inputted. Water solubility, their

21 propensity to bind to organic matter, their  
22 vapor pressure, the potential to volatilize up  
23 into the air.

24 Just a little background of the  
25 pesticides that were analyzed in all of the  
(PESTICIDES ISSUE)

1 modeling, all of them are obviously registered<sup>3295</sup>  
2 for use on turf by the EPA at the federal  
3 level, all registered for use in New York  
4 State by New York State DEC. In addition to  
5 that, all the pesticides that were modeled  
6 were recommended for use on commercial  
7 turfgrass by an annual publication put out by  
8 Cornell University, entitled just that, it's  
9 the "Pest Management Recommendations for  
10 Commercial Turfgrass," so further narrow down  
11 the list of what pesticides can be used on  
12 turfgrass in New York State.

13 The GLEAMS modeling that Dr. Knisel  
14 talked about incorporated much of the same  
15 input data that the LEACHM model used in terms  
16 of weather data, characterization of soils for  
17 soils data, as well as pesticide  
18 characteristics. The difference in the GLEAMS  
19 modeling from the LEACHM modeling -- because  
20 you're dealing with runoff, you have to  
21 specify your slopes, your length of your  
22 slopes, the steepness of your slopes, as well  
23 as various roughness coefficients for your  
24 overland flow.

25 What we got from the LEACHM and the  
(PESTICIDES ISSUE)

1 GLEAMS modeling were quantitative data on  
2 pesticide concentrations. The data that's  
3 generated with the LEACHM modeling was the  
4 concentration of pesticides that occurred at  
5 the bottom of whatever soil profile you were  
6 modeling. So if you were modeling 10 inches  
7 of soil and you have, say, a 5 part per  
8 million concentration of pesticide X, that's  
9 what we compared against the drinking water  
10 standard. We didn't take into account the  
11 fact that even though pesticide X was at 5  
12 parts per million, it's going to be entering a  
13 pool of groundwater, which some pollution is  
14 going to take place. Basically, the water  
15 that's coming through, whatever the soil  
16 profile was, comparing that to the water  
17 standards directly. Anything that was higher  
18 than drinking water standards was basically  
19 removed from consideration.

20 Similarly, when we did the runoff  
21 analysis used in the GLEAMS model, the portion  
22 of the golf course that we modeled was the  
23 18th fairway on Big Indian Plateau. I don't  
24 think we have had a chance to get up the 18th  
25 fairway. I can't remember if we walked up.  
(PESTICIDES ISSUE)

1 It's the steepest golf hole on either of the  
2 two golf courses. Some slopes approaching  
3 25 percent.

4 ALJ WISSELER: We can do that if you  
5 want.

6 MR. FRANKE: Sure. Like the LEACHM  
7 modeling where we just took the bottom soil  
8 profile concentration, the GLEAMS model we  
9 used what's typically referred to as the  
10 edge-of-field concentration. It's typically  
11 done for agricultural situations. In this  
12 case, it was an edge-of-fairway concentration.

13 Again, we've heard a lot of discussion  
14 of the overall stormwater management of the  
15 entire project site. The golf course is just  
16 one component of it. But again, we used those  
17 edge-of-fairway concentrations and compared  
18 those directly with aquatic toxicology values.  
19 So essentially we would be putting the trout  
20 in the water that we collected at the edge of  
21 our fairway.

22 Again, those runoff concentrations at  
23 the end of the fairway that were above the  
24 aquatic toxicology values, those pesticides  
25 were likewise thrown out of consideration for  
(PESTICIDES ISSUE)

3298

1 use on the project site.

2 Using those processes, we came up with  
3 the list of pesticides that were proposed for  
4 use on the project, and it's those pesticides  
5 that were incorporated into the draft SPEDES  
6 permits.

7 MS. BAKNER: So the model that you  
8 used, they weren't used to establish limits  
9 but just to, in essence, eliminate pesticides  
10 that could cause a problem?

11 MR. FRANKE: Correct.  
Page 144



12 MS. BAKNER: So it's kind of a  
13 different tool in that sense, you're just  
14 discarding things that could possibly cause  
15 any trouble?

16 MR. FRANKE: That's correct.

17 MS. BAKNER: In addition to the  
18 pesticides that were discarded as a result of  
19 all your modeling efforts, were there other  
20 pesticides that this Department asked that we  
21 not use as well?

22 MR. FRANKE: Yeah. If I remember  
23 correctly, there were at least one -- if not  
24 two -- insecticides that because of their  
25 -- just their inherent toxicity, they're quite  
(PESTICIDES ISSUE)

3299

1 toxic, they felt they would be more  
2 comfortable if they were not proposed for use.

3 MS. BAKNER: Even though they're  
4 registered for use in New York?

5 MR. FRANKE: Registered for use in New  
6 York, and what's more ironic, at least one of  
7 these insecticides was, quote/unquote,  
8 "organic type" insecticide.

9 MS. BAKNER: Of the suite of  
10 pesticides that are now permitted to be used  
11 in the SPEDES permit itself, sort of  
12 preapproved, as opposed to ones that we might  
13 want to use in the future and seek DEC's  
14 approval, you and the Department -- you've  
15 basically met the Department's request for  
16 discarding any pesticides they were

17  
18  
19  
20  
21  
22  
23  
24  
25  
  
1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22

uncomfortable with?

MR. FRANKE: Yes.

MS. BAKNER: Dr. Petrovic, do you have anything to add to that in terms of how the modeling was conducted in this case?

DR. PETROVIC: Well, there was one concern about using one year's data versus many years' data. And looking at the year that was chosen, it's hard to say it's the  
(PESTICIDES ISSUE)

3300

worst case, but it's probably hard to imagine -- it's hard to believe it would be much greater likelihood there would be any situation would be more of a worst case.

You would have 50 percent more on average, 50 percent more precipitation on an annual basis in some very large event storms. And we know in research and in -- and confirmed in real-life situations, that the greatest hazards are from very large precipitation events. So that you're capturing, in a bulk, totally more water, as well as having very large events would be a reasonable worst-case scenario. If it isn't the absolute worst, it's probably pretty close to that.

ALJ WISSLER: So that's what was used for modeling?

DR. PETROVIC: Yes. So that's what was used for modeling.

ALJ WISSLER: Does the Turf Management Plan at all, and I don't know, does it speak

23 to the application of pesticides in advance of  
24 precipitation events and when that can happen  
25 and so forth?

(PESTICIDES ISSUE)

3301

1 MR. FRANKE: Right. Actually, in  
2 Appendix 15 in the risk assessment, the last  
3 section includes a number of best management  
4 practices. And one of those that is listed is  
5 if there is rain forecasted within 48 hours,  
6 then any pesticide applications are put on  
7 hold until the forecast does not include  
8 precipitation within 48 hours.

9 ALJ WISSLER: How does that forecast  
10 affect -- National weather service forecast  
11 for the area or what?

12 MR. FRANKE: It wasn't specified, but  
13 I would assume it was -- National weather  
14 Service, local weather, yes.

15 MS. BAKNER: I just want to point out  
16 that the SPEDES permit has special conditions  
17 for fertilizer use, as well as pesticide use  
18 that expressly references and incorporates  
19 Appendices 14 and 15. So all of the  
20 management methods that we said we would use,  
21 and an absolute limit on the pounds, shall not  
22 exceed four pounds per thousand square feet  
23 per year to golf course fairways. So that is  
24 all set forth in the SPEDES permit itself.

25 To get to the issues which Martin has  
(PESTICIDES ISSUE)

3302

1 already jumped ahead for us on here, given

2 that you used the data from 1996, which was  
3 50 percent above average precipitation, would  
4 you -- if you inputted 50 years of  
5 precipitation data, would you improve the  
6 results of your analysis in any respect?

7 MR. FRANKE: To answer your question,  
8 no, I don't think you would because I ran a  
9 sensitivity analysis using the LEACHM model  
10 for precipitation that was of a lesser amount,  
11 very close to the average annual  
12 precipitation --

13 MR. RUZOW: About 40?

14 MR. FRANKE: 38.5 inches. And I took  
15 one of the same input files that I ran using  
16 1996 data, included four insecticides, and  
17 using the 1996 data, two of the insecticides  
18 leached some. Two of them did not leach  
19 through the bottom of the soil profile.

20 Just in summary --

21 ALJ WISSLER: '96 was the year of  
22 extraordinary precipitation?

23 MR. FRANKE: Correct. So using the  
24 lesser amount of precipitation, which came  
25 from -- what year did I use -- I believe it  
(PESTICIDES ISSUE)

□

1 was 1989. That was just about the average  
2 amount of data. The same two pesticides that  
3 leached in the higher rainfall amounts also  
4 leached in the lesser rainfall amounts.

5 However, the concentrations were ten  
6 times higher and two times higher for the two  
7 products under the heavier rainfall event.

3303

8 The concentrations were higher. The two  
9 pesticides that didn't leach in '96 didn't  
10 leach using the '89 data. The number of weeks  
11 in the year-long simulation that any of the  
12 pesticides occurred in leaching decreased  
13 using the 1989 data from 10 weeks to one week.  
14 So it happened more frequently. So you have  
15 more quantity more often. And again, the  
16 total mass pesticides, not just the  
17 concentration, was higher using the 1996 data,  
18 21 times higher for the one insecticide and 7  
19 times higher for the other insecticide.

20 So you had concentration, total mass  
21 and frequency all were much higher using 1996  
22 data compared to the 1989 data, which was an  
23 average year.

24 So if you ran 50 years' worth of data,  
25 '96 would probably be one of the highest, if  
(PESTICIDES ISSUE)

1 not the highest, precipitation amounts. It <sup>3304</sup>  
2 was the highest in the 30 years of record, so  
3 to go to 50 years -- there's other factors in  
4 setting up the modeling. Doesn't make it as  
5 easy to do in the modeling as Dr. Knisel made  
6 it sound.

7 MS. BAKNER: Well, let's discuss that.  
8 why don't we run through all the reasons why  
9 that is the case, because at heart, the  
10 difference is the difference between  
11 agriculture and golf courses.

12 MR. FRANKE: Essentially, yes, it is.

13 And one of the things that I touched on  
14 previously was the GLEAMS model does allow you  
15 to have a model, say, okay, we need to do some  
16 irrigation. Then the model will apply  
17 irrigation as a rainfall event. It does this  
18 by looking at other input data that the  
19 modeling puts in. But that data is long-term  
20 and it's average data. It looks at monthly  
21 wind speed, monthly temperature, monthly  
22 sunlight intensity.

23 The things that Dr. Knisel was saying,  
24 you need to use site-specific data or as site  
25 specific as possible -- we had already used  
(PESTICIDES ISSUE)

3305

1 local NOAA data in the LEACHM modeling for  
2 precipitation and evaporation to determine  
3 when the irrigation would be needed. We had  
4 used the localized and the daily data rather  
5 than the long-term monthly averages in the  
6 LEACHM model to determine when irrigation was  
7 needed and how much irrigation.

8 So that would have to be done for  
9 every year. You would have to take the daily  
10 rainfall value, daily pan evaporation data  
11 and, basically, it's a cumulative total. And  
12 when the evaporation exceeds the  
13 precipitation, you have to add irrigation.

14 So conceivably, if you were to use the  
15 model and have it calculate when irrigation  
16 was needed, based on the long-term monthly  
17 averages, that would make it easier to model  
18 multiple years' worth of data.

19 Another thing, and it relates to the  
20 question you brought up, your Honor, is the  
21 timing of pesticide applications. When we do  
22 the modeling, we purposely model it the way it  
23 would happen on the golf course.

24 If you know a rainstorm is coming,  
25 you're not going to be applying it on that  
(PESTICIDES ISSUE)

1 day. If it's raining that day, you are not  
2 going to apply pesticides.

3306

3 So with 50 years, or for many years  
4 worth of data, you have to adjust your dates  
5 when to apply pesticides, because every year  
6 it's going to rain on different dates. So if  
7 you had made a pesticide application on the  
8 1st of July in 1996, that it wasn't going to  
9 rain for the rest of the week, you have to go  
10 back to each one of the years and say, okay,  
11 did it rain on July 1st or 2nd or 3rd. So  
12 each one of the years you have to adjust your  
13 pesticide application dates as well.

14 Whereas, with agriculture, I don't  
15 think that their management approach to  
16 pesticide application is as sensitive -- maybe  
17 that's not the right word -- to weather  
18 conditions and the timing of your application.

19 Similarly, their irrigation  
20 sensitivity may not be as high as a golf  
21 course. So that's why it may be very easy to  
22 run an agricultural scenario over multiple  
23 years just by putting in multiple years worth

24 of rainfall. It's certainly much more data  
25 intensive to do multiple years for a golf  
(PESTICIDES ISSUE)

3307

1 course scenario.

2 ALJ WISSLER: When you talk about the  
3 concentrations in pesticides and so on, where  
4 is that concentration level taken? Is it  
5 taken at the surface, taken below the surface?  
6 Where is it taken?

7 MR. FRANKE: It's taken exactly  
8 wherever you tell the model to take it. So  
9 for soils, I'll determine the thickness of a  
10 soil profile. If there's a seasonal high  
11 water table, say, at 16 inches below the  
12 surface, I'll set my profile 16 inches.  
13 Because if it's going to make it through that  
14 16 inches, it's going to hit that shallow  
15 groundwater table. If depth to bedrock is  
16 greater than five feet, I'll model the full  
17 five foot of thickness.

18 AS I say, for the runoff portion of  
19 it, you can pick it anywhere in your runoff  
20 path that you want. Really, what I did is I  
21 just modeled the whole 18th fairway as it  
22 worked its way down, and it's pretty much a  
23 straight shot downhill, so I picked the bottom  
24 of the fairway.

25 ALJ WISSLER: In the soils that you  
(PESTICIDES ISSUE)

3308

1 used in that survey that you did at the 18th  
2 fairway, that was -- you went out and walked  
3 the site and said, look, here are the soils  
Page 152



4 that are here?

5 MR. FRANKE: Our soil scientist, soil  
6 classifier put together a high-intensity soils  
7 map, which essentially takes the published  
8 soil surveys, takes those large areas and  
9 breaks them down into much smaller areas so  
10 it's much more precise.

11 So with that map in hand, I knew  
12 exactly what soil series were underneath,  
13 especially in the 18th fairway, but underneath  
14 all the fairways. And I think there was a  
15 total of five soil series that were modeled in  
16 the LEACHM analysis. And like I mentioned  
17 previously, they ranged in thickness anywhere  
18 from 10 inches to 60 inches. So I modeled all  
19 five of the soils. whichever one had the  
20 highest concentration coming out from the  
21 bottom, I specified anywhere from the 10  
22 inches to the 60 inches, that's the  
23 concentration that I used for risk assessment.

24 ALJ WISSLER: When that 18th hole is  
25 built, are they going to use gravel that they  
(PESTICIDES ISSUE)

1 crushed and brought in from elsewhere on the  
2 site?

3309

3 MR. FRANKE: Not on the 18th, they're  
4 not, but on holes 1 and 9, like Mr. Olson  
5 mentioned, yes. And to address that comment,  
6 I think Mr. Olson addressed the comment when  
7 he said the way these things are going to be  
8 constructed, trees are going to be cut, it's

9 not going to be grub, so the native soil is  
10 still going to be there. The native soil I  
11 modeled. You have rock placed on top of that  
12 just to bring the grades up, and you're going  
13 to have native soil as a fill, and the topsoil  
14 layer brought in on top of that. So what I  
15 modeled was just what's underneath the rock,  
16 which will be undisturbed.

17 ALJ WISSLER: You're saying your  
18 approach is even more conservative because as  
19 a practical matter there are going to be  
20 several layers yet on top?

21 MR. FRANKE: Yes. I mean, the native  
22 soil that's used as filler on top of the rock  
23 and the topsoil, sure, you're going to get  
24 more attenuation in that area.

25 ALJ WISSLER: Has that been quantified  
(PESTICIDES ISSUE)

1 anywhere in the DEIS?

3310

2 MR. FRANKE: Not in terms of the  
3 pesticide concentration.

4 MS. BAKNER: So remember, the purpose  
5 of it is to discard the ones that would cause  
6 trouble.

7 ALJ WISSLER: I'm just asking.

8 DR. PETROVIC: Using the approach of  
9 edge of fairway, depth of topsoil, those are  
10 the highest concentrations you would expect.  
11 There should be further dilution if you were  
12 modeling a hundred feet down or 100 feet away  
13 from that fairway. In practicality, those  
14 levels are going to be substantially less. So

15 you're looking at the greatest concentration  
16 and the greatest risk.

17 MS. BAKNER: Mr. Olson commented at  
18 one point that we were going to be scraping  
19 the soils off the site and then replacing all  
20 those existing native soils. So that  
21 description is really not reflective of what  
22 we're doing?

23 MR. FRANKE: The scraping and  
24 replacing isn't. But there are going to be  
25 cuts and fills to make this golf course,  
(PESTICIDES ISSUE)

1 otherwise, we wouldn't have grading plans. 3311

2 But in order to try and model every  
3 postconstruction soil type that would be out  
4 there, essentially, you have got a continuum  
5 of anything that's going to be filled 4 or 5  
6 feet tall, stuff that's going to be cut 4 or 5  
7 foot. So you would have to have a continuum  
8 all the way through. Essentially, countless  
9 numbers of soil types to model.

10 Really, in using that one 10-inch soil  
11 profile, which is the Halcott, it's pretty  
12 much representative of worst case. Because  
13 you can't grow grass in six inches of topsoil.  
14 And the golf course architect designed it so  
15 you're going to have at least a foot of native  
16 soil in place over rock, and then six inches  
17 of topsoil placed on top of that.

18 The modeling included a 10-inch soil  
19 profile, which is thinner than the 12 inches

20 of native that you're leaving. And it doesn't  
21 even take into account the attenuation you're  
22 going to get from the topsoil layer.

23 MS. BAKNER: So Dr. Petrovic, in your  
24 mind, is that approach the most conservative  
25 and appropriate and reflective of a method  
(PESTICIDES ISSUE)

3312

1 that will ensure that we don't use any  
2 pesticides that will be problematic?

3 DR. PETROVIC: well, the purpose of  
4 basically screening out potential risks using  
5 modeling in this way, yes, I think is very  
6 conservative. It's identifying -- identifying  
7 at preconstruction what may be a problem and  
8 removing that instead of saying, let's put  
9 conditions on the use of the material or let's  
10 use it just to monitor for -- it's a lot more  
11 conservative to say we're not using it at all.  
12 We're not even bringing into question whether  
13 there's really a risk to it or not. So yes, I  
14 believe it is a very conservative approach.

15 MS. BAKNER: Kevin, you're familiar at  
16 all the -- you're familiar with all the  
17 grading plans and everything else. Is there  
18 anywhere on the site where we're going to have  
19 less than 10 inches of the lousiest soil?

20 MR. FRANKE: No. You can't grow  
21 grass -- you have to have a soil profile  
22 that's at least a foot or 18 inches thick.

23 DR. PETROVIC: You could, but you  
24 wouldn't want to -- practicalitywise, you  
25 wouldn't want to.

1 MS. BAKNER: There has been a couple  
2 of claims made in the various petitions and  
3 documents that there was a default assumption  
4 of 2.5 meters, which I believe is equivalent  
5 to 8.2 feet of soil above the water table or  
6 bedrock. I know, because we have tried to  
7 find the source of that misconception, is  
8 there any truth to that allegation?

9 MR. FRANKE: No, there isn't. Again,  
10 I have tried to find out what the basis of  
11 that comment was and haven't been successful.  
12 The only thing I can think of, there is an  
13 attachment in Appendix 15, which is an example  
14 of one of the input files, and it has the soil  
15 profile depth in there and it lists a profile  
16 depth as 254 millimeters, which is .25 meters.  
17 So maybe by some math error somebody came up  
18 with 2.5 meters and assumed this was the soil  
19 that was going to be used throughout the risk  
20 assessment. This was just an example of one  
21 soil in one of the model runs. It was .25  
22 meters rather than 2.5 meters for that  
23 particular example profile.

24 MS. BAKNER: Mr. Olson asked a  
25 question or made a comment relative to how the  
(PESTICIDES ISSUE)

1 pesticide, the active pesticide ingredients  
2 were modeled, in terms of being modeled  
3 separately. Can you respond to that?

4 MR. FRANKE: Right. The models

5 require that you input them individually,  
6 because they have different chemical  
7 characteristics affecting their movement. In  
8 the case where you have what I refer to as  
9 combination products, where you have more than  
10 one active ingredient, and one of the better  
11 known ones is Trimec, T-R-I-M-E-C, has three  
12 active ingredients, three herbicide active  
13 ingredients in it. Simply, what you do is you  
14 go to the product label and determine how much  
15 of each of the component active ingredient is  
16 applied and you model them individually.

17 MS. BAKNER: All right. So if any one  
18 of the three causes problems, you just get rid  
19 of that formulation?

20 MR. FRANKE: Right, that formulation,  
21 exactly.

22 MS. BAKNER: Is that the common way to  
23 do it? Is there any other way to do it using  
24 the model?

25 MR. FRANKE: In my mind, it's the most  
(PESTICIDES ISSUE)

3315

1 conservative way. Even if one out of the  
2 three ingredients were problematic, then that  
3 would not be considered for use.

4 MS. BAKNER: To get back for a second  
5 to the crushed rock and underdrain system.  
6 There's an allegation that the underdrain  
7 system will somehow promote the lateral  
8 transport of pesticides throughout the system  
9 in a way which is not accounted for by the  
10 model. And I know you have discussed this a

11 little bit, but can you explain it further?

12 MR. FRANKE: I could understand why  
13 there might be some misconception about this  
14 because the detail Mr. Olson referred to on  
15 sheet CP-18 does say, Subsurface Drainage  
16 System. It shows it in detail how the drains,  
17 which are surface drains, are to be  
18 constructed during the construction phase.

19 But if you look at Detail 6 or Sheet  
20 CP-18, you'll see the piping that's below  
21 grade or underground is solid pipe. You don't  
22 use solid pipe as drain pipe. It's conveying  
23 water collected on the surface underneath.  
24 It's not that anything percolated through the  
25 soil can be picked up by this drain pipe. So  
(PESTICIDES ISSUE)

1 the vertical or the leaching isn't getting <sup>3316</sup>  
2 shortcutted by this pipe, because the pipe has  
3 no openings and the percolation can't enter  
4 that pipe.

5 MS. BAKNER: And the reason for having  
6 this underdrain system, you need to know the  
7 plans that go along with the Draft  
8 Environmental Impact Statement, the full  
9 plans. Was there a reason why the golf course  
10 architect put those in?

11 MR. FRANKE: The golf course architect  
12 came up with this as another enhancement to  
13 our stormwater controls during construction,  
14 primarily. By grading areas such that they  
15 create a bowl, so to speak, and by having this

16 riser, you could cut down on the length of the  
17 slope that the water would run over during  
18 construction. So you could pick up the water,  
19 shortcircuit it and get it into our stormwater  
20 basins where we talked about the flocculation  
21 and dewatering. And that's really the primary  
22 intent of this.

23 MS. BAKNER: During construction.  
24 During operation, what purpose will they  
25 serve?

(PESTICIDES ISSUE)

1 MR. FRANKE: Basically, it will allow<sup>3317</sup>  
2 the fairway surface to dry out faster and the  
3 golfer should be able to get back on the golf  
4 course sooner.

5 MS. BAKNER: How is that helpful in  
6 terms of turf management?

7 MR. FRANKE: Certainly, anything you  
8 do to reduce time when you have got really wet  
9 soils or really damp conditions, when weather  
10 conditions are favorable, it could enhance the  
11 potential for diseases to occur on the turf.

12 MR. RUZOW: I'm sorry, I'm thinking of  
13 a negative. If it stays wet, it enhances the  
14 opportunity for mold or disease?

15 MR. FRANKE: Right.

16 MR. RUZOW: So if it's dry, you reduce  
17 that possibility?

18 MR. FRANKE: Yes.

19 MS. BAKNER: Will the pipe, the solid  
20 pipe, does it have any effect on the way in  
21 which you modeled --



22 MR. FRANKE: The leaching, no.  
23 Because it's not -- if we had an underdrain  
24 system and we had underdrain set at six inches  
25 below the surface, perforated pipe six inches  
(PESTICIDES ISSUE)

1 below the surface, I would model six inches of <sup>3318</sup>  
2 soil. Because that's where you would lose it  
3 from your system, you would lose control out  
4 the bottom of your soil profile.

5 MS. BAKNER: Dr. Petrovic, do you  
6 agree with that assessment of the drainage  
7 system and how it's being used?

8 DR. PETROVIC: The only way that the  
9 crushed rock layer would serve as a drainage  
10 system would be under extremely wet  
11 conditions, the subsurface water would back up  
12 into it. But the way it's designed, it's not  
13 specifically designed for that. But that  
14 would be the only time it would function to  
15 move water off based on the contour of how  
16 that water is directed.

17 MS. BAKNER: Are you satisfied that  
18 modeling the native soils to remain in place  
19 under the layer adequately represents the  
20 leaching potential?

21 DR. PETROVIC: The way the model was  
22 being used for a screening purpose of  
23 materials, I would certainly agree with that,  
24 and it's still, again, giving the greatest  
25 risk because you're only taking credit for a  
(PESTICIDES ISSUE)

1 very shallow layer of soil, not all the way to  
2 the depth of groundwater when it's first  
3 released for leaching.

4 MS. BAKNER: In terms of the project  
5 itself, Kevin, what was the reason why the  
6 rock is being crushed and being added to the  
7 two holes, golf holes that you mentioned?  
8 What soil erosion and sedimentation benefits  
9 does that provide?

10 MR. FRANKE: It's soil and  
11 sedimentation erosion benefits because you're  
12 placing rock on top of the soil. The rock is  
13 not going to erode. But it's also a benefit  
14 from the standpoint of not having to haul  
15 material offsite.

16 MS. BAKNER: So it cuts down on  
17 trucking, and because you're not grubbing the  
18 stumps in that particular area, you're also  
19 not causing sediments to have an opportunity  
20 to move offsite?

21 MR. FRANKE: Right, the root systems  
22 will remain in place.

23 MS. BAKNER: DEP has requested that  
24 the Applicant consider some alternative or  
25 additional groundwater monitoring wells which  
(PESTICIDES ISSUE)

1 would be in a more shallow substrate, wouldn't<sup>3320</sup>  
2 be down in 400 feet or 625 feet, but closer to  
3 the top of the soil profile. And we're going  
4 to make a proposal to do that. We don't  
5 necessarily agree with DEP's argument that  
6 it's necessary to do this in order to sort of

7 preaddress potential groundwater contamination  
8 because, in fact, we're doing a lot of  
9 sampling and testing in the stormwater basins  
10 where you would anticipate that would show up  
11 first in any event; but we're willing to  
12 accommodate their request. So we're going to  
13 make a proposal and discuss that with both DEC  
14 and them to see if we can agree on the number  
15 of points.

16 We're not anxious to have any  
17 additional monitoring points, so we may  
18 propose to do some of the deep ones, or we may  
19 propose to do them in close proximity to the  
20 deep wells to hold down on the difficulty and  
21 cost of doing the monitoring.

22 As it stands in the SPEDES permit  
23 right now, the costs of undertaking the  
24 testing, particularly the whole effluent  
25 toxicity testing where you actually introduce  
(PESTICIDES ISSUE)

□

1 aquatic species into the leachate or 3321  
2 stormwater, if you will, is very expensive.  
3 Everything that we're doing here is expensive.  
4 So we're not anxious to do more of it, but we  
5 don't have any objections to changing some of  
6 the wells so some of them are shallower. So  
7 we'll make that proposal. Other than that, I  
8 don't see any reason to address what DEP has  
9 said --

10 ALJ WISSLER: So if I understand,  
11 you'll be speaking with Staff and imposing a

12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25  
  
1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17

special condition --

MS. BAKNER: Yes, a special condition with the monitoring points for that.

Kevin, if you could just address where the groundwater wells are that we proposed to use or that are covered in the SPEDES permit already, since Charlie had trouble finding those.

MR. FRANKE: Looking at Figure 3-16 that Mr. Olson referenced, the two wells at Wildacres are the two northernmost north of Gunnison Road. They're known as the Janus, J-A-N-U-S, East well and the Rashid well.

The other two that were in the Big (PESTICIDES ISSUE)

3322

Indian draft permit are the only two wells that show up on Figure 3-16 on the Big Indian Plateau. That was the Mann Cabin well and the Midroad well. And all these wells are located in proximity to golf holes, and they're all existing wells.

MS. BAKNER: So they're on Figure 3-16 of Volume 1 of the DEIS?

MR. FRANKE: That's correct.

MS. BAKNER: In your opinion, given the amount of testing that we're proposing to do in the stormwater basin, are you satisfied that that testing, if there was any difficulty or problems or unanticipated -- unanticipated effects from the pesticides that we're applying, are you confident that they would show up in those stormwater basins first?

18 MR. FRANKE: They would certainly show  
19 up in the stormwater basins first because your  
20 runoff is immediate. It's going to occur  
21 right after the storm, where leachate -- we're  
22 probably going to have some lag time for the  
23 material to work it's way through the soil.  
24 So certainly from the timing standpoint,  
25 you're going to see something in the  
(PESTICIDES ISSUE)

1 stormwater basins certainly before the shallow<sup>3323</sup>  
2 groundwater, and certainly much sooner than  
3 your deep groundwater.

4 MS. BAKNER: You have mentioned a  
5 couple of times that modeling was focused on  
6 edge-of-fairway concentrations of pesticides.  
7 Is there anything more you would like to add  
8 to that discussion?

9 MR. FRANKE: No, really just to  
10 reiterate, it's those undiluted concentrations  
11 that we compared directly with the drinking  
12 water standards or the aquatic toxicology  
13 standards.

14 Again, from the aquatic habitat  
15 standpoint, your concern is going to be in  
16 Birch Creek, it's going to be in Giggie Hollow  
17 Creek. The concentration that you're actually  
18 going to realize in there is actually going to  
19 occur in those creeks -- is going to be much  
20 lower than what's proposed at your fairway in  
21 reality, but still we used those edge of  
22 fairway values as compared to the toxicology

23 values.

24 MS. BAKNER: During Dr. Knisel's  
25 testimony, he indicated that one of the  
(PESTICIDES ISSUE)

1 problems with the way in which the model was <sup>3324</sup>  
2 run was that there was no information  
3 presented on existing conditions as opposed to  
4 postdevelopment conditions. Can you explain  
5 why existing conditions were not modeled?

6 MR. FRANKE: Because there's no  
7 pesticides being applied out there now. The  
8 pre- and postcomparison really has no use if  
9 there is no pre. Your post is going to be  
10 your net increase because you're starting at  
11 zero.

12 From the nutrient standpoint, I  
13 certainly would concur with Dr. Knisel that  
14 that's very important. That's a lot of what  
15 we talked about two weeks ago when we were  
16 talking about phosphorous export, comparing  
17 pre and post. And that's where the data used  
18 out of GLEAMS, nutrient data from GLEAMS is  
19 used in the bigger picture of nutrient export,  
20 because the golf course is only one part of  
21 the project site. So the nutrient export data  
22 that was used or generated from the golf  
23 courses, sort of gave that to Mr. Long and  
24 Mr. Carr who were here discussing stormwater  
25 earlier, and they integrated that into their  
(PESTICIDES ISSUE)

1 overall nutrient export from the site, <sup>3325</sup>  
2 compared pre- and post, to get our

3 increases -- going back to the TMDL issue,  
4 which we heard more about today.

5 MS. BAKNER: If pesticides were being  
6 used on-site or fertilizers, obviously, we  
7 would know about it?

8 MR. FRANKE: Yeah, we would know about  
9 it. And in terms of a risk assessment, I  
10 don't think that's relevant information  
11 because it's not the increase that you're  
12 talking about, it's how much you're exporting,  
13 if you're exporting any. And whether those  
14 quantities are problematic.

15 MS. BAKNER: Another suggestion that  
16 Dr. Knisel made, which I think you addressed,  
17 I just want to make sure, is that using a year  
18 of high rainfall data in the modeling, he  
19 suggested that by focusing merely on high  
20 rainfall, we may have missed lower rainfall  
21 years where you could actually produce higher  
22 concentrations of leachate?

23 MR. FRANKE: Again, back to what I  
24 talked about before using a dryer year, we saw  
25 lower concentrations, lower total mass and  
(PESTICIDES ISSUE)

1 less frequent leaching with lower rainfall  
2 amounts.

3326

3 within the year that we modeled, 1996,  
4 you had storms of varying degrees. You had  
5 storms that had lesser amounts of rain, and  
6 then you had the storm that caused the damage  
7 that's up on that plaque, which is a fair

8 amount of runoff. So within that year you had  
9 different intensity storms and different  
10 amounts of water. You could have a quarter  
11 inch of rain, four inches of rain.

12 ALJ WISSLER: No matter what the year  
13 does, I mean, maybe nature gives you some of  
14 that precipitation, but if she doesn't, you  
15 have to make it up through your irrigation  
16 system?

17 MR. FRANKE: Exactly.

18 ALJ WISSLER: So the amount of water  
19 that's going to be hitting that golf course is  
20 going to be pretty much consistent year in,  
21 year out?

22 MR. FRANKE: When you have lower than  
23 average precipitation, basically, yeah, you're  
24 going to use your irrigation to bring it up to  
25 something that's closer to average. But even  
(PESTICIDES ISSUE)

□

1 when you have years where you have got higher <sup>3327</sup>  
2 than normal precipitation, you're still going  
3 to have times during the year that you may  
4 need to irrigate them because you might have a  
5 dry stretch in the middle of July where you  
6 may need to irrigate two or three times a  
7 week. And in October the gully-washer comes.

8 MS. BAKNER: The Attorney General's  
9 Office, Office of Watershed Inspector General,  
10 prepared and submitted a comment letter of  
11 April 23rd, 2004, which was then not entered  
12 into this record by that office but has been  
13 relied upon by CPC.





19  
20  
21  
22  
23  
24  
25

MR. FRANKE: Yes.

MS. BAKNER: There was also a comment, which I believe I heard from DEP and others, that LC50 is a crude instrument for the assessment of risk since it does not -- they allege it doesn't take into account possible chronic effects.

(PESTICIDES ISSUE)

□

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24

MR. FRANKE: That's true, LC50s aren't<sup>3329</sup> made to take into account chronic effects. They're a measurement of acute toxicity. You usually do chronic tests on something that is going to be exposed to something for a prolonged period of time. If you had industrial discharge that was occurring, you had a certain product that's going to be discharged day after day throughout the year, it's going to be long-term, it's going to be chronic, you could have a chronic effect.

As demonstrated in the modeling, any runoff that's going to reach the streams are going to be related to storm events, which are discrete events. The runoff is going to occur, it's going to hit the stream, that's it. It's not like you will have constant input of runoff, and possibly pesticides into these streams. So you wouldn't compare those with chronic toxicity, you'd use acute toxicity, which is, one measure of that is an LC50, what was used.

MS. BAKNER: In what way does the draft SPEDES permit ensure by monitoring that

25 we're getting a handle on buildup of  
(PESTICIDES ISSUE)

3330

1 concentration? Are there surface water  
2 monitoring requirements?

3 MR. FRANKE: Part of the surface water  
4 monitoring requirements of the SPEDES permit  
5 is we actually do toxicity testing of the  
6 stormwater collected on-site.

7 MS. BAKNER: In addition to just  
8 testing surface water and groundwater  
9 periodically?

10 MR. FRANKE: Right. We'll get a  
11 concentration from that, but they'll actually  
12 do toxicity tests of collected stormwater  
13 samples.

14 MS. BAKNER: L.A. Group has built golf  
15 courses in many sort of different geological  
16 and climatological regimes. There have been  
17 suggestions, most notably by DEP, that this  
18 site is simply not suited for use as a golf  
19 course. Is there anything in your past  
20 experience that leads you to believe that golf  
21 courses can't be built in these two locations?

22 MR. FRANKE: Yes. Early in the  
23 process there was concern raised from an  
24 elevation standpoint in temperature. You have  
25 golf courses in New York State, Lake Placid,  
(PESTICIDES ISSUE)

3331

1 up to Alaska, golf courses in Alaska, northern  
2 Canada, areas of much higher elevations --  
3 cold or minimum temperatures. There's nothing

4 that makes this site unsuitable from a climate  
5 standard.

6 MS. BAKNER: Dr. Petrovic, are you  
7 aware of anything that's unique to these site  
8 that makes these sites unsuitable for golf  
9 courses?

10 DR. PETROVIC: Not that I'm aware.

11 MS. BAKNER: In your management plans  
12 in the appendices, you talk about ways in  
13 which you're going to take -- implement other  
14 best-management practices before you get to  
15 the addition of pesticides, insecticides and  
16 herbicides. And my question is: Is it  
17 possible or feasible today to have a purely  
18 organic golf course at this location, and have  
19 it still be an effective operating golf  
20 course? If you could both answer that, that  
21 would be great.

22 MR. FRANKE: I'll let you step on that  
23 first.

24 DR. PETROVIC: It's been an issue for  
25 a number of years on golf course projects, can  
(PESTICIDES ISSUE)

□

1 you have, quote, an all natural golf course or <sup>3332</sup>  
2 a pesticide-free golf course. In the  
3 northeast, to my knowledge, there are none  
4 that fit that caliber that would be considered  
5 suitable golf courses under most people's  
6 definition of golf course.

7 Research done at Cornell University,  
8 and I can refer to Applicant's Exhibit 96,  
9 talks about that concept of comparing a

10 pesticide-free management plan, integrated  
11 pest management plan that uses low-risk  
12 pesticides and many biological and other  
13 cultural controlled methods, compared to a  
14 traditional program that applies pesticides  
15 either routinely or whenever a pest occurs.  
16 And in doing that, they observed, in the first  
17 year of that study -- this was done at  
18 Bethpage State Park Golf Courses -- the green  
19 course, not the black course. They wouldn't  
20 allow us to do something like that on the  
21 black course. But on the green course, the  
22 pesticide free -- they did these on putting  
23 greens, on the six putting greens -- on the  
24 pesticide-free one died the first year by  
25 mid-August. After that, they then had to go  
(PESTICIDES ISSUE)

□

1 to some pesticide use. They did minimize the <sup>3333</sup>  
2 use to keep that golf course alive. The IPM  
3 ones, as well as the traditional ones, have  
4 not died.

5 So even though we've made major gains  
6 in plant resistance to pests, to biological  
7 and other cultural and nonchemical controls, I  
8 still feel we're not at a point where with the  
9 type of climate this particular golf course is  
10 in, the pests that they would have, that you  
11 could consistently have a golf course that  
12 wouldn't have dead sections. And maybe people  
13 might say, well, a small part of the golf  
14 course, who really cares. Sometimes

15 professional golfers would rather play on dead  
16 turf. So we may not want to use that, their  
17 kind of perception.

18 But environmentally, dead turf is  
19 certainly not environmentally friendly. There  
20 have been several studies that have shown  
21 really dead turf leaches a tremendous amount  
22 of nutrients through the profile since there's  
23 nothing there to retain that. And we've seen  
24 as the density of turf reduces, the amount of  
25 runoff, volume of water increases, as well as  
(PESTICIDES ISSUE)

1 nutrients and pesticides in that runoff water.<sup>3334</sup>  
2 So it's not to anyone's advantage to have dead  
3 turf out there.

4 So in that context, I don't believe  
5 currently we can do that. Hopefully, we will  
6 be able to reach that goal. But at least the  
7 standards that we apply to golf today, I don't  
8 believe we can do that.

9 MS. BAKNER: That's not something  
10 unique to this site?

11 DR. PETROVIC: This particular site,  
12 it's pretty much unique to probably  
13 three-quarters of the United States. There  
14 are parts -- if you go to the west, especially  
15 in dry parts of the western part of the U.S.,  
16 whether it's south or north, pesticide use is  
17 very minimal. It's mostly because of the lack  
18 of humidity that they have. And it's diseases  
19 that are the primary pest, not the only pest  
20 on golf courses. But it's that high humidity

21 for a very long period of time that allow for,  
22 primarily fungi, to develop and attack  
23 grasses.

24 And so unless we get global warning  
25 that dries us out to the point that we're in  
(PESTICIDES ISSUE)

1 Arizona -- it would make it a lot easier to do <sup>3335</sup>  
2 this if we were in Arizona or Colorado -- than  
3 it would be in New York, anywhere in New York,  
4 whether it's the Adirondacks to the eastern  
5 tip of Long Island.

6 ALJ WISSLER: Not that you're  
7 advocating global warning?

8 DR. PETROVIC: Not that I'm advocating  
9 global warning, but it's the fact that the  
10 climate that we live in determines the pest  
11 complexes that we have.

12 MS. BAKNER: Looking at the bigger  
13 picture, in terms of the golf courses in the  
14 northeast and studies that have been done on  
15 levels of pesticide in groundwater, or even, I  
16 suppose, surface water after years and years  
17 of operation of a golf course, are you aware  
18 of any studies out there that have looked at,  
19 say, old golf courses and evaluated how using  
20 pesticides for, say, 20 years, 10 years,  
21 whatever, has had an impact on the surrounding  
22 water resources?

23 DR. PETROVIC: There's been one  
24 semi-national study, in a sense, that there  
25 were 36 golf courses in this study. I refer  
(PESTICIDES ISSUE)

1 to Exhibit Applicant's 95 entitled, "Water  
2 Quality Impacts by Golf Courses." Thirty-six  
3 golf courses around the United States, and  
4 from Washington, California, Minnesota to  
5 Florida, to Georgia, Maryland and  
6 Massachusetts, as well as Michigan, to give a  
7 geographic orientation, but there weren't a  
8 lot in Colorado, kind of western Midwest. So  
9 you can say it's a semi-national -- but it  
10 pretty much covers climatic and soil  
11 variations to a large degree. But if we look  
12 at the results of that study, that study was  
13 done on golf courses that were required by  
14 permitting to monitor either surface and/or  
15 groundwater.

16 Some of those golf courses, in  
17 particular the ones that were on Cape Cod,  
18 were ones that were at least 30 years old. So  
19 they weren't new courses. And that was kind  
20 of a separate study. The EPA had undertaken  
21 that study. But since then, as we see with  
22 many new golf courses, monitoring of water  
23 quality is required. So that's probably the  
24 best example of new versus old.

25 In that particular study that was  
(PESTICIDES ISSUE)

1 done, basically on these 36 golf courses, they  
2 reported about 16,500 data points. A data  
3 point would be a water sample tested for a  
4 range of materials. So if you analyze for 50  
5 things, that would be 50 data points, in a



6 sense. So that's why over these studies there  
7 were 16,000 data points.

8 In surface water, only .29 percent of  
9 those samples for pesticides exceeded an HAL  
10 or an MCL for that particular pesticide. In  
11 groundwater, was .07 percent of those samples  
12 exceeded an HAL or an MCL. For nitrogen,  
13 nitrogen was the only nutrient, they didn't  
14 report phosphorous; but nitrogen in terms of  
15 nitrate, none of the surface water samples  
16 that were tested and exceeded the drinking  
17 water standard HAL of 10 milligrams per liter  
18 of nitrate nitrogen, and 3.6 percent of the  
19 groundwater samples did exceed the  
20 10-milligram per liter HAL.

21 MR. RUZOW: What is an HAL?

22 DR. PETROVIC: Health Advisory Limit,  
23 drinking water standard, and for nitrate  
24 nitrogen, it's 10 milligrams per liter.

25 MR. RUZOW: And an MCL?  
(PESTICIDES ISSUE)

1 DR. PETROVIC: Maximum Contaminant  
2 Level. The nitrate in groundwater in these  
3 golf courses, many of those 3.6 percent were  
4 attributed to previous land use, and the  
5 largest land use for this was a violation in  
6 Maryland on previously areas that were farmed  
7 with corn. We know corn in the northeast is  
8 particularly hazardous to groundwater for  
9 nitrate contamination.

10 That's probably the best example of

3338

11 old versus new and large in scope. We also  
12 have a fair amount of information in eastern  
13 Long Island in Suffolk County. I refer to  
14 Applicant's Exhibit 94, Groundwater Impacts to  
15 Shallow -- "Golf Course Impacts to Shallow  
16 Groundwater in Suffolk County, New York." This  
17 was a study done, funded by Suffolk County.  
18 The county wanted to know itself the water  
19 quality related to golf courses. They had  
20 been looking at land use characteristics and  
21 water quality impacts for a number of years.

22 Initially in this study, they only  
23 monitored three county -- Suffolk County golf  
24 courses. And then in 1999 expanded that to  
25 include another -- basically 14 golf courses.  
(PESTICIDES ISSUE)

□

3339

1 Eleven would be private courses, higher  
2 championship level golf courses, and three  
3 semi-private golf courses.

4 They collected -- from 1999 to March  
5 of 2002, they collected 91 samples from 18  
6 golf courses that had 31 wells. Typically,  
7 using one sample per year, but some golf  
8 courses had more than one well attached to  
9 them.

10 They found, in terms of pesticides,  
11 looking at the most recent numbers, which was  
12 2002, 22 percent of those wells had a  
13 detectable level of pesticide. Only one of  
14 those is currently registered for turf and is  
15 not planned to be used on this particular golf  
16 course.



22 3.6 milligrams per liter, the drinking water  
23 standard for nitrate is 10. This was total  
24 nitrogen, which includes ammonium as well as  
25 organic nitrogen. The median concentration of  
(PESTICIDES ISSUE)

3341

1 all the wells was slightly less than three  
2 milligrams per liter.

3 They also have measured agricultural  
4 systems out in Suffolk County, vineyards and  
5 lawns. The average concentration for  
6 agricultural areas in Suffolk County is  
7 13 milligrams per liter, exceeds the drinking  
8 water standard. Vineyards is about 6.6  
9 milligrams per liter, about 60 percent of the  
10 drinking water standards. And residential  
11 areas, anywhere from 4 to 6 milligrams per  
12 liter, 4 being lower density, 6 being higher  
13 density. Lawn areas and golf courses being  
14 the lowest of the - a land use, managed-land  
15 use -- impact on water quality.

16 So you can talk about modeling all you  
17 want, but the real-life situation tells us  
18 that golf courses are not impacting water  
19 quality, based on the information we currently  
20 have.

21 MS. BAKNER: Given the age of these  
22 golf courses and the practices and the  
23 pesticides that were used during some of the  
24 years of their operation, would you expect  
25 there to be less or more problems with a golf  
(PESTICIDES ISSUE)

3342

1 course like the one we've proposed here?

2 DR. PETROVIC: We find that newer golf  
3 courses, brand-new golf courses obviously use,  
4 or more likely use newer pesticides and new  
5 materials are coming on line, and older  
6 materials, especially ones that have either an  
7 environmental and/or health risk, are being  
8 removed from the marketplace; that we'll find  
9 more and more environmentally friendly  
10 materials being used, versus golf courses  
11 -- especially golf courses before 1972 when  
12 chlordane could still be used, mercury could  
13 still be used, cadmium could still be used,  
14 lead was used in the '50s. Those golf  
15 courses, the older golf courses certainly were  
16 using more toxic and long-term impacting  
17 materials than we see today.

18 MS. BAKNER: In terms of the  
19 best-management practices, the ones that are  
20 proposed to be used in our documents, do they  
21 represent sort of the state-of-the-art and the  
22 best -- the best way to ensure that you're not  
23 going to develop any type of chronic problems?

24 DR. PETROVIC: In my review of those,  
25 I agree with that, yes, that we're using what  
(PESTICIDES ISSUE)

□  
1 we know is the best way to manage particular<sup>3343</sup>  
2 golf courses. And that's an ever-involving  
3 science. So it's something that the manager  
4 of this particular golf course will need to  
5 stay abreast of what's coming out because  
6 there is a lot of research going on to

7 determine better management practices.

8 MR. RUZOW: Are the techniques for the  
9 design and construction of the turf itself  
10 here, the topsoil, soil stability, helpful in  
11 terms of a change from 20 years ago, 30 years  
12 ago in golf course design and construction?  
13 Does it effect what you might see in  
14 pesticides?

15 DR. PETROVIC: In general, I think we  
16 see construction of golf courses as being  
17 substantially more environmentally friendly.  
18 Whether you're talking about stormwater and  
19 dealing with that -- but also to realize that  
20 we're not trying to build a parking lot or a  
21 road or something like that, that the idea is  
22 to develop a golf course. And I think that's  
23 been, from what I have seen in the 30-some  
24 years I have worked related to golf courses,  
25 is that construction companies specialize in  
(PESTICIDES ISSUE)

3344

1 golf courses and, I think, build a --  
2 certainly a better product because of knowing  
3 how to do things from that perspective, not in  
4 just general earth moving and construction,  
5 because it is a specialized field. And  
6 luckily, we see most golf courses kind of  
7 built in that context.

8 MR. RUZOW: But a healthier turf or a  
9 base for a turf presumably would have less of  
10 a need for pesticides, drainage systems, et  
11 cetera?

12 DR. PETROVIC: Pesticides, you have  
Page 182

13 better utilization of nutrients, less need for  
14 irrigation. In general, less resource  
15 intensive and less likely to be  
16 environmentally hazardous.

17 MS. BAKNER: There was another piece  
18 of data or dataset that we ran across which we  
19 included in the DEIS but which I redistributed  
20 out today as Applicant's Exhibit 93, and  
21 Kevin, if you could just address what that is,  
22 that would be helpful.

23 MR. FRANKE: Applicant's 93 is an  
24 excerpt from a DEP publication from May 15th,  
25 2003, entitled "New York City Department of  
(PESTICIDES ISSUE)

3345

1 Environmental Protection, Bureau of Water  
2 Supply." That's the extent of the title.  
3 Included in this large report, which Ms.  
4 Bakner has included as 93, is a report on a  
5 two-year study of Pesticide and Toxic Compound  
6 Monitoring Program, which is from page 27,  
7 Section 2.3.5.

8 The report is of a two-year study of  
9 over 100 sites in the watershed, including  
10 what they describe as targeted sites, which  
11 are near both suspected potential pollution  
12 sources, e.g., golf courses and landfills.  
13 Again, in sampling over 100 sites throughout  
14 the two-year process, reading from the top of  
15 page 28, "This extensive monitoring effort  
16 identified no significant sources of  
17 contamination and no sample results were found

18 to exceed any NYS AWQS," which I'm assuming is  
19 Ambient Water Quality Standards. "In fact,  
20 the majority of water quality analysis  
21 performed were reported as nondetect for all  
22 monitoring compounds."

23 MS. BAKNER: Kevin, did you speak to  
24 the manager of that program, Tracy Lawrence?

25 MR. FRANKE: I spoke to Mr. Lawrence  
(PESTICIDES ISSUE)

1 yesterday, as recently as yesterday, and he <sup>3346</sup>  
2 confirmed that this is the latest information  
3 that the Department has in this program.

4 MS. BAKNER: There was a suggestion by  
5 Dr. Knisel that the model may not have  
6 accounted for the failure to harvest and  
7 remove grass clippings from the site. Kevin,  
8 if you could address, in fact, how the model  
9 did address that, that would be helpful.

10 MR. FRANKE: Because GLEAMS is an  
11 agricultural model, it has the ability to  
12 model a harvest when crops are removed and  
13 possibly even subsequent replanting of the  
14 same crop or a different crop. And by  
15 harvesting, you take the biomass out of the  
16 system, not making it available. For our  
17 modeling purposes, we set the day of the  
18 harvest, which is a term that's in the model,  
19 at day 365, which is at the end of the  
20 simulation. So that biomass remained in the  
21 system, was not removed from the system as may  
22 have been suggested.

23 MS. BAKNER: So if there was any  
Page 184



24 contribution of nutrients or pesticides or any  
25 substance related to the cut grass, it would  
(PESTICIDES ISSUE)

1 have been included in the mass balance and led <sup>3347</sup>  
2 to the pesticide or fertilizer being  
3 discarded?

4 MR. FRANKE: It remained within the  
5 system, yes. It wasn't taken out of the  
6 system, so it was available.

7 MS. BAKNER: Is there a discussion, in  
8 fact, in the document of what we're doing with  
9 the grass in one of the appendices?

10 MR. FRANKE: Yeah, I believe it's in  
11 Appendix 14 under the Integrated Turf  
12 Management Plan, about how clippings will be  
13 left in place on the fairways.

14 MS. BAKNER: So, in fact, we describe  
15 what our management practices are going to be?

16 MR. FRANKE: Yes.

17 MS. BAKNER: Dr. Petrovic, do you have  
18 any concerns about the proposed management  
19 practices for this site with respect to grass  
20 clippings?

21 DR. PETROVIC: No. Usually greens and  
22 tees, the clippings are collected because it  
23 does disrupt the play as well as it can  
24 smother the grass. And those are usually  
25 distributed fairly close to the area,  
(PESTICIDES ISSUE)

1 sometimes in the rough. <sup>3348</sup>

2 The only suggestion would be is not to

3 put those directly in any stormwater catchment  
4 or water body, because there has been an  
5 example where clippings have shown up in a  
6 surface water monitoring study where they were  
7 put, actually in a wetland. So that's the  
8 only thing that we recommend. We're not going  
9 to make a huge pile and stick a pile right  
10 near a water body.

11 MS. BAKNER: The good news is we said  
12 we're not going to put it within 100 feet, so  
13 we'll avoid that particular problem.

14 Kevin, there was a question that  
15 Dr. Knisel had about the modeling for the -- I  
16 think it was the 18th fairway, I'm not  
17 positive, where you used some crop management  
18 notation related to terracing. Could you  
19 explain that for us?

20 MR. FRANKE: Dr. Knisel had mentioned  
21 that we had used a Practice factor, of the  
22 Universal Soil Loss equation, and he stated in  
23 his discussion that we used 0.4. I went back  
24 in and checked the actual data file, and 0.4  
25 wasn't for the P factor. It was in the next  
(PESTICIDES ISSUE)

1 line of the input data. It was a roughness 3349  
2 coefficient.

3 MS. BAKNER: What's the roughness  
4 coefficient from?

5 MR. FRANKE: The roughness coefficient  
6 is an engineered value, published engineer  
7 value. 0.4 is the value for grass. So I'm  
8 not sure where that misconception came from.

9 MS. BAKNER: In fact, that is just an  
10 error --

11 MR. FRANKE: It's the next line in the  
12 dataset so --

13 MS. BAKNER: Maybe he transposed a  
14 line or something?

15 MR. FRANKE: Yes.

16 MS. BAKNER: The other comment that he  
17 made had to do with the updatable parameters,  
18 and using -- using the first eight days in the  
19 updatable parameters. Can you explain that in  
20 fairly good detail so we can understand what  
21 it means?

22 MR. FRANKE: Hopefully I can do it  
23 simply. The updatable parameters lets you  
24 change things within the time that you model.  
25 Say you were growing corn, and then after you  
(PESTICIDES ISSUE)

1 harvested your corn, you could plant winter <sup>3350</sup>  
2 wheat or something else afterwards. So there  
3 would be a change occurring on the day that  
4 you harvested that would affect the amount of  
5 runoff. So you would set that date when your  
6 parameters would change, however many times  
7 you wanted to. I think the model allows you  
8 to do it up to eight times within a given  
9 year. And it gives you the opportunity to  
10 change those other parameters that would be  
11 different as a result of whatever changes you  
12 may have made on any of these eight given  
13 days.

14 In our modeling, I used days 1 through  
15 8, which correspond to January 1, January 2,  
16 through January 8. The reason I did that, is  
17 that the data file that's supplied with the  
18 model has values in each one of those days.  
19 It's a sample file that you modify for your  
20 own purposes. So rather than take those  
21 values out and have no value in there or  
22 insert a zero, I just put in days 1 through 8.  
23 Because as most people who run models know,  
24 the people who work with computers, models  
25 don't like zeros or empty data. It can crash.  
(PESTICIDES ISSUE)

3351

1 So what I did, I entered January 1st  
2 through January 8th in there in place of the  
3 days that were in there, so everything was  
4 updated, January 1st through January 8th. And  
5 nothing was happening, everything was under  
6 snow cover. It didn't any affect any of the  
7 modeling results. But I kept the value in  
8 those data fields just basically to keep the  
9 model from crashing, which it has a tendency  
10 to do. These are sensitive input files.

11 MS. BAKNER: Dr. Petrovic, is that  
12 your experience with models as well?

13 DR. PETROVIC: In a perennial turf  
14 setting, unless you were doing renovation or  
15 something and then you want to model the  
16 effect of renovation, I'm not sure what you  
17 would change in that. I mean, if it's an  
18 annual cropping system, you have the  
19 opportunity to do that. But in a perennial

20 system, I wouldn't see how to do it.

21 MS. BAKNER: It's just grass, that's  
22 all it is.

23 MR. RUZOW: You're modifying what was  
24 a model design, obviously for agricultural  
25 use, to try to use it for the purpose of the  
(PESTICIDES ISSUE)

1 screening methodology, but taking advantage of <sup>3352</sup>  
2 it as the model you were predicting, but  
3 trying to make it match a turf --

4 DR. PETROVIC: As well as you can.

5 MR. RUZOW: -- as well as you can.

6 MS. BAKNER: One of the comments that  
7 was made by the DEP was a concern that somehow  
8 the SPEDES permit doesn't deal with testing  
9 for pesticides that aren't analyzed by current  
10 EPA-approved methods. Are you satisfied that  
11 the special condition that DEC has included in  
12 here adequately takes care of that issue?

13 MR. FRANKE: I feel comfortable with  
14 that. Marty, if you want to add on -- he  
15 mentioned as an aside, when we looked at DEP  
16 Exhibit 28 -- you want to explain what you  
17 told me?

18 DR. PETROVIC: Well, actually in  
19 looking at that, I looked at Applicant's  
20 Exhibit 94, the Suffolk County -- which lists  
21 EPA method 24.2-624, lists three of those 16  
22 as materials they analyzed. So I'm not sure  
23 this list is accurate, but Suffolk County  
24 shows an EPA method for those.

7-21-04crossroadsf  
There are some laboratories, and most  
(PESTICIDES ISSUE)

25

3353

1 of these materials that are actually on this  
2 list, have had methods, not EPA methods, but  
3 laboratory methods with the current parameters  
4 developed for them. Because there are a lot  
5 of golf courses doing monitoring and EPA just  
6 hasn't accepted the methods yet. But the  
7 analytical labs have because there's a need  
8 for testing. Most of the materials, I  
9 wouldn't say all, but I would say the majority  
10 can be tested with the other kind of caveat  
11 attached to it.

12 MS. BAKNER: So you're confident that  
13 with this special condition, which gives DEC  
14 the ability to become involved in deciding how  
15 that particular pesticide is tested for, is  
16 adequately protective of the environment?

17 DR. PETROVIC: Within the certainty of  
18 it's not an EPA method, but based on good  
19 laboratory practices and labs that can do  
20 this. The one lab that I'm aware of,  
21 Environmental Health Laboratories in South  
22 Bend, Indiana, is a New York State certified  
23 pesticide analytical lab and has developed  
24 methods for many of these, as an example.

25 MR. RUZOW: Does Cornell have testing  
(PESTICIDES ISSUE)

3354

1 of any of these types of things?

2 DR. PETROVIC: We have an EPA  
3 certified lab at our Geneva Experiment  
4 station, part of Cornell, that actually does

5 testing for determining allowable limits of  
6 pesticide on food products for minor crops.  
7 Its part of the registration of those  
8 materials. And quite commonly, tests for  
9 materials that there's an EPA method for,  
10 those aren't even registered. And so -- but  
11 Cornell doesn't typically do outside  
12 commercial testing for clients like this.  
13 It's again, more for research that's going on.

14 MR. RUZOW: But you use, in effect,  
15 non-EPA certified techniques where you have  
16 to --

17 DR. PETROVIC: Where you can set the  
18 parameters of protection and reproducibility  
19 of those, until an EPA method is approved.

20 MS. BAKNER: From a cost perspective,  
21 it's going to be in the Applicant's best  
22 interest to pick something that's easier to  
23 get tested, easier to get through the process;  
24 but with this provision, essentially the  
25 Department has the ability to review the  
(PESTICIDES ISSUE)

1 proposed method, the method the labs can use. <sup>3355</sup>  
2 And you're obviously familiar with labs who  
3 test for these types of materials. So it's  
4 available on -- presumably the lab in Indiana  
5 takes samples from New York?

6 DR. PETROVIC: Yes, they do. And they  
7 are a New York State certified laboratory.  
8 Unfortunately, there aren't a lot of  
9 laboratories that do tests for these. It

10 would be nice to see more labs do that, but it  
11 is a very specialized test. When they have to  
12 develop their own methods, it's a lot. And  
13 there aren't many labs to do that.

14 MS. BAKNER: Sounds like an  
15 opportunity for Cornell.

16 DR. PETROVIC: Or for somebody,  
17 private industry, whatever.

18 MS. BAKNER: I think that's pretty  
19 much all that I have here. I think we have  
20 covered all the questions that have been  
21 placed in the record. And if we could just  
22 have a second to check, then we can wrap up.

23 (4:14 - 4:14 P.M. - BRIEF PAUSE.)

24 MS. BAKNER: We have two additional  
25 points and we'll be done.

(PESTICIDES ISSUE)

3356

1 Kevin, we talked a little bit at the  
2 beginning here about this erroneous assumption  
3 that you modeled -- your LEACHM input file  
4 used a 2.5 meter deep soil profile, which  
5 would be -- take a long time to reach through  
6 2.5 meters. Can you run through the math on  
7 what you believe the origin of that error to  
8 be?

9 MR. FRANKE: The actual value that's  
10 in the example 5, Attachment 2 of Appendix 15  
11 is .254 times 10 to the third power, which is  
12 254. And the units are millimeters. Or .254  
13 meters. If you convert that over from metric  
14 to English, it comes out to 9.99998 inches or  
15 10 inches of the Halcott soil profile.



16 Example, input file was a Halcott soil  
17 profile.

18 MS. BAKNER: And that's -- just so  
19 your Honor can find it, it's sample LEACHM  
20 input file named B-E-L-L-H-A 10 found in  
21 Appendix 15, Attachment 2.

22 Dr. Knisel indicated that from his  
23 review of the model results, you appeared to  
24 use default values from the help tables in the  
25 model in the hydrology portion of the model.  
(PESTICIDES ISSUE)

1 He said specifically that modeled soils only<sup>3357</sup>  
2 included two layers, and the only difference  
3 in the two layers was the amount of organic --  
4 excuse me, organic matter. And he interpreted  
5 this as a failure to use site-specific data.  
6 Could you explain this?

7 MR. FRANKE: We mentioned previously  
8 for the GLEAMS modeling, we used a  
9 high-intensity soils mapping and we identified  
10 the vly soil series that occurred on the 18  
11 fairway an Big Indian. The data for vly soils  
12 was taken directly -- actually, from the  
13 Greene County soil survey -- I can give you a  
14 reason why the Ulster wasn't used, but I'll  
15 continue my train of thought -- in which the  
16 number of soil layers were specified which are  
17 two. The percent of clay was specified for  
18 each of the two layers. The amount of organic  
19 matter was specified for each, and all these  
20 values are those that were used in the GLEAMS

21 analysis.

22 I guess, all I can say is Dr. Knisel's  
23 default values were well researched and well  
24 thought out, and they just happened to match  
25 up with these particular soils. For example,  
(PESTICIDES ISSUE)

1 the default value for clay content for silt<sup>3358</sup>  
2 loams in the model is 20 percent. For vly  
3 silt loams, Greene County soil survey reports  
4 that it's 7 to 27 percent. So roughly the  
5 midpoint of that is about 20 percent. So  
6 taking half of the range of the soil survey  
7 that was used, that matched up the 20 percent  
8 default value.

9 Again, the organic matter content and  
10 the number of soil layers, percolation rates  
11 were taken from the Greene County Soil Survey,  
12 as well as the on-site perc. tests that we did  
13 on the site soils.

14 Just briefly, the Greene County Soil  
15 Survey is newer than the Ulster County Soil  
16 Survey, and after the Ulster County Soil  
17 Survey was published in the late '80s, it was  
18 recognized that the temperature regimes of the  
19 Catskills and Adirondacks, as they relate to  
20 soils, were somewhat different. So really  
21 names changed of the soils. The  
22 characteristics basically remained the same,  
23 but their names have a frigid equivalent, and  
24 those names appear in the Greene County Soil  
25 Survey. So that's why that has a more recent  
(PESTICIDES ISSUE)

1 soil series names and why the data was taken  
2 from --

3 MS. BAKNER: And you knew this was vly  
4 soils because of the high-intensity soils?

5 MR. FRANKE: Right, as I stated in the  
6 beginning of our on-site soils work.

7 MR. RUZOW: And the proximity of this  
8 site to Greene County, as the crow flies?

9 MR. FRANKE: Crow flies? Six miles,  
10 closest point.

11 MS. BAKNER: So this use of default  
12 values that Dr. Knisel identified was just a  
13 freakish coincidence?

14 MR. FRANKE: There were a few values  
15 that matched up exactly with his default  
16 values, but again, it was coincidence. It was  
17 all on-site and\or published data that was  
18 used to characterize the soils.

19 MS. BAKNER: That would be all, your  
20 Honor.

21 ALJ WISSLER: We'll take five minutes.

22 (4:20 - 4:30 P.M - BRIEF RECESS  
23 TAKEN.)

24 MS. KREBS: I have one exhibit, your  
25 Honor.

(PESTICIDES ISSUE)

1 ("WILDACRES RESORT - SPDES PERMIT NO.  
2 NY 027 0661 PESTICIDES LIMITS EVALUATION"  
3 RECEIVED AND MARKED AS DEC EXHIBIT NO. 8, THIS  
4 DATE.)

5 ALJ WISSLER: Ms. Krebs.

6 MS. KREBS: Thank you, your Honor. I  
7 would like to introduce Mr. Bill Mirabile with  
8 the Division of Water, Department of  
9 Environmental Conservation, the Bureau of  
10 Water Permits. He spoke before on the SPEDES  
11 permit. I believe we have a couple comments  
12 regarding the pesticide sections of those  
13 permits.

14 Mr. Mirabile, can you explain briefly  
15 how the permit limits were derived?

16 For the record, I handed out  
17 Department Staff Exhibit 8, which is entitled,  
18 "Wildacres Resort, SPEDES Permit," and has the  
19 number, "Pesticide Limits Evaluation,"  
20 two-page table.

21 MR. MIRABILE: I think it would be  
22 most helpful to explain where the numbers came  
23 from that are in the draft permit. Before I  
24 get into the table here, I would like to give  
25 a very quick explanation of what we typically  
(PESTICIDES ISSUE)

□

1 do when we draft a SPEDES permit. 3361

2 We rely on a number of factors.  
3 Typically, with a permit that's associated  
4 with a well-established industry, like a  
5 metals plating, for example, or some type of  
6 industrial process where you have EPA limits  
7 that are already established, we call them  
8 technology limits. Also -- I'm sorry,  
9 standards -- limits. Then we also have  
10 standards that we typically rely upon. They  
11 could be effluent standards, or in the absence

12 of effluent standards, ambient standards or  
13 guidance values. We call those criteria.  
14 Anyway, when we're developing a SPEDES permit,  
15 we rely on a number of factors and  
16 considerations, and there's typically a  
17 protocol for arriving at a permit for a  
18 particular type of facility.

19 I think it's fair to say that the  
20 Belleayre Resorts are not typical permits, in  
21 fact, with regard to pesticides, I don't  
22 believe any other golf course in the state has  
23 pesticide limits. So what that leaves the  
24 Department without is an established protocol  
25 for arriving at establishing limits for  
(PESTICIDES ISSUE)

□

3362

1 pesticides.

2 So what do we do in a case like that?  
3 We look at criteria, if they exist, and if we  
4 don't have an integral or an important set of  
5 data or information for the permit, we rely on  
6 what we refer to BPJ, that stands for Best  
7 Professional Judgment. That's a term defined  
8 in regulation. And there was a fair amount of  
9 BPJ that went into establishing the limits for  
10 the permit, for the Belleayre permit.

11 With that, I'd like to get into the  
12 table. You'll see the pesticide name -- and  
13 by the way, a pesticide could include an  
14 insecticide, herbicide or fungicide. I  
15 grouped them all together for simplicity sake.  
16 You'll see the pesticide listed in the left

17 column. They have DEC criteria groundwater,  
18 DEC criteria surface water, DOH, our state  
19 health department criteria, and then SAV and  
20 Applicant proposal. And I would like to  
21 discuss each one of these and tell you where  
22 we went with each consideration.

23 (Indicating)

24 Right off the bat, you can see from  
25 the table that as far as DEC criteria go,  
(PESTICIDES ISSUE)

1 there is very little in the way of standards <sup>3363</sup>  
2 or guidance values for either groundwater or  
3 surface water. So we didn't really have a  
4 number to even use as a starting point for  
5 coming up with a limit in the permit, the  
6 draft permits. (Indicating)

7 We had, I think, for the groundwater,  
8 we have criteria for six of the pesticides  
9 included in the permit. And as you can see,  
10 with surface water, we have one standard, one  
11 guidance value. So right off the bat, we  
12 don't really have a good number to start with  
13 by way of a regulatorily established limit or  
14 standard for establishing limits.

15 (Indicating)

16 DOH criteria, you'll see UOC footnote  
17 1. UOC stands for Unspecified Organic  
18 Contaminate. UOCs are applied to drinking  
19 water -- I should say the drinking water  
20 criteria. And the reason they're called  
21 Unspecified Organic Contaminant criteria is  
22 because they are basically interim numbers, if

23 you will. (Indicating)

24 There are so many organic compounds in  
25 existence that have not be adequately tested,  
(PESTICIDES ISSUE)

3364

1 and as we all know, there are tens of  
2 thousands of new ones being developed yearly.  
3 And the regulatory agencies cannot keep up  
4 with establishing limits -- I'm sorry, with  
5 establishing standards.

6 So what the Health Department did was  
7 they came up with a .05 milligram per liter or  
8 50 part per billion, it's the same thing, UOC  
9 in the absence of a better number, if you  
10 will. And that's quite a stringent number, by  
11 the way, 50 parts per billion. (Indicating)

12 The next column over we have the SAV.  
13 If you look at footnotes 2 and 3, footnote  
14 2 -- by the way, I should have pointed out  
15 before now that with toxicity considerations  
16 here, I relied very heavily on the  
17 Department's toxicity expert, Ed Kuzia who is  
18 seated behind me here. (Indicating)

19 SAV stands for Secondary Acute Value.  
20 Ed recommended we consider this approach based  
21 upon EPA regulations, the part is -- the  
22 citation is given in footnote 40 CFR, Part  
23 132, Water Quality Guidance for the Great  
24 Lakes -- the first question is why look into  
25 something that applies to the Great Lakes  
(PESTICIDES ISSUE)

3365

1 system. Well, the objective when we were

2 developing the draft permits was to come up,  
3 again, bearing in mind there was no real  
4 established protocol for this, the objective  
5 was to come up with an approach that was not  
6 only reasonable and protective of the  
7 environment, but that was also consistent.  
8 And these regulations gave us something to  
9 grasp onto, so to speak, with applying a  
10 consistent approach to developing standards  
11 -- I'm sorry, developing limits for the draft  
12 permits. (Indicating)

13 And you'll see some other terms  
14 defined down here. It gets a little bit  
15 complicated. The GMAV, that stands for Genus  
16 Mean Acute Value, and the regulations  
17 require -- or they specify that you take the  
18 geometric mean of a certain set of LC50  
19 values, depending on how many species are  
20 tested, or families are tested. For the draft  
21 permits, we did not look at the geometric mean  
22 data. The Applicant provided toxicity data,  
23 LC50 data, for three different families, and  
24 we were even more conservative than the  
25 geometric mean. We took the lowest LC50 value  
(PESTICIDES ISSUE)

□

1 of the three, three sets of toxicity data. 3366  
2 (Indicating)

3 Okay. what we always do with  
4 establishing a permit limit for toxicity is we  
5 take toxicity data and apply a safety factor  
6 to be more conservative, and hopefully more  
7 protective. And with the Applicant providing



8 three toxicity data for three different  
9 families of organisms, one invertebrate and  
10 two vertebrate species or families, the  
11 regulations cited above specified that a  
12 safety factor of 8 could be applied, or more  
13 correctly, 0.125. And the less species or  
14 families for which data is provided, the  
15 higher or more stringent, I should say, the  
16 safety factor is required. (Indicating)

17 For instance, for only two species, a  
18 safety factor of 21.3 would have been  
19 required. I could be wrong on that, but the  
20 point being that the more species or families  
21 for which toxicity data is provided, the less  
22 stringent you can use value for a safety  
23 factor. But nonetheless, we still apply a  
24 safety factor. So the regulations specify 8.  
25 (Indicating)

(PESTICIDES ISSUE)

3367

1 So what we did here was we took the  
2 lowest LC50 value provided by the Applicant  
3 for the three families tested, and we divided  
4 that by 8, and that is the number that you see  
5 in the SAV column, Secondary Acute Value. So  
6 that is what that number means. (Indicating)

7 The last column over, we have the  
8 Applicant's proposal, and I have to qualify  
9 this. Table 7, one of the DEIS volumes has a  
10 list of pesticides proposed, and the Applicant  
11 proposed action levels. well, we went further  
12 than that, and we made them actual limits in

13 the permit, and not just action levels. But  
14 nonetheless, the draft limits -- the Applicant  
15 proposal, you'll see is .025 milligrams per  
16 liter, or 25 parts per billion in most cases.  
17 A little lower in some cases. (Indicating)

18 So we have DEC groundwater criteria,  
19 DEC surface water criteria, which very little  
20 exists at this point, DOH drinking water  
21 criteria, toxicity data, and the Applicant's  
22 proposal all thrown together in the system  
23 that we used or the approach that we used.  
24 And what we did was we simply took the lowest  
25 number of all of the considerations.

(PESTICIDES ISSUE)

3368

1 (Indicating)

2 Again, applying more conservatism or  
3 more stringency to developing permit limits.  
4 As you will see, the numbers that are in the  
5 draft permit, the proposed limits, are in  
6 bold. We have one proposed limit coming from  
7 the UOC criteria, Health Department drinking  
8 water criteria. That's 5 parts per billion  
9 for chloroneb.

10 ALJ WISSELER: Bill, let me ask you  
11 about that one. The table has .005 and the  
12 Applicant's proposal is .025?

13 MR. MIRABILE: Yeah, in some cases  
14 they were the same.

15 MS. BAKNER: The one in bold is the  
16 actual limit they picked.

17 MR. MIRABILE: I'm sorry, I'm not  
18 sure --

19 ALJ WISSLER: Oh, okay, I understand.  
20 I got it. I go it.

21 MR. MIRABILE: The DOH criteria is  
22 actually more stringent than what the  
23 Applicant proposed, and it's far more  
24 stringent than the EPA approach that we  
25 applied, the toxicity data.  
(PESTICIDES ISSUE)

1 ALJ WISSLER: And the SPEDES permit is <sup>3369</sup>  
2 the lower --

3 MR. MIRABILE: It's the lowest value  
4 of all of the considerations, whether it's the  
5 Applicant's proposal, the toxicity data or  
6 criteria.

7 ALJ WISSLER: What's in the permit is  
8 what's in bold?

9 MR. MIRABILE: Correct.

10 ALJ WISSLER: Got it.

11 MR. MIRABILE: So the SAV, the  
12 toxicity data contributed towards using three  
13 of the pesticides for proposed limits, and the  
14 rest of the proposed limits are the .025  
15 proposal by the Applicant -- actually, with  
16 one of them being even lower than that  
17 proposed by the Applicant. (Indicating)

18 Any questions?

19 MS. KREBS: Thank you, Mr. Mirabile.  
20 That explains the wildacres. There's been a  
21 question raised regarding the Big Indian draft  
22 SPEDES permit, and we don't have the specific  
23 pesticide limits in the Big Indian SPEDES

24 permit. Could you briefly explain why, but  
25 also how the Department is monitoring and  
(PESTICIDES ISSUE)

1 evaluating pesticide use, regardless, in the <sup>3370</sup>  
2 SPEDES permit?

3 MR. MIRABILE: For the Big Indian  
4 permit, again, one of the considerations in  
5 drafting the permit is what is the  
6 classification -- classification I should say  
7 of the receiving water. With Big Indian, we  
8 don't really have any receiving waters for the  
9 pond discharges, the stormwater pond  
10 discharges. Ultimately, if you want to, you  
11 could say that the groundwater is a receiving  
12 water because the discharges are to overland  
13 flow, they're not to any surface waters per  
14 se.

15 So what happens when you have a  
16 discharge to the ground, a number of factors  
17 play into it. You do have some degradation  
18 which takes place from the time of discharge  
19 until its ultimate fate. You have biological  
20 degradation, you have solar degradation, you  
21 have biological uptake. You have a number of  
22 factors that play into it.

23 So to establish a limit for the pond  
24 discharges for Big Indian, the first question,  
25 is, well, what kind of basis do you use for  
(PESTICIDES ISSUE)

1 that limit? We don't have a surface water <sup>3371</sup>  
2 discharge.

3 You could say that we could look at  
Page 204

4 the groundwater criteria. But in my review of  
5 the table here, I believe that the proposed  
6 limits are more stringent than the groundwater  
7 standards. So that wouldn't really make any  
8 sense either.

9 However, we're not saying that there's  
10 no concern about the discharge from -- of  
11 pesticides from the ponds, and what we did was  
12 we did build in toxicity testing requirements  
13 for several of the ponds. And we also -- we  
14 do have pesticide monitoring for the ponds for  
15 the pesticides that have been applied within  
16 the previous 12 months.

17 MS. KREBS: I'll refer your Honor to  
18 page 9, Big Indian Toxicity Testing; page 12  
19 and 13, I believe, are the Surface Water  
20 Ambient Monitoring and the Groundwater  
21 Monitoring. And there are some more  
22 provisions in the wildacres permit as well on  
23 pages 12 through 15.

24 MR. MIRABILE: Again, we do have a  
25 mechanism in the permit for monitoring for  
(PESTICIDES ISSUE)

1 pesticides in the groundwater. That's 3372  
2 basically if it shows up, that's the first --  
3 that's the first thing we want to determine,  
4 will it show up at all. Because, again, there  
5 are other factors involved after the  
6 discharge.

7 If it shows up, at what levels would  
8 they show up at. And we would consider the

9 concentrations that were detected, if they're  
10 detected at all, and a course of action after  
11 that.

12 MS. KREBS: A question has also been  
13 raised regarding the 16 of the 31 pesticides  
14 are listed in the permits for which certified  
15 analytical methods do not currently exist. I  
16 think there's a provision in the permits  
17 regarding that?

18 MR. MIRABILE: Yes, that has been  
19 referred to previously by both the City and  
20 the Applicant. What it refers to is the MDL  
21 study.

22 ALJ WISSLER: Show me where you're  
23 talking about.

24 MS. KREBS: Page 11 of 21, your Honor,  
25 in the Big Indian permit.  
(PESTICIDES ISSUE)

1 MR. MIRABILE: It's in both permits. 3373

2 MS. KREBS: Page 10 of 23 in the  
3 wildacres permit, and I will get the page,  
4 your Honor --

5 MR. MIRABILE: MDL stands for Method  
6 Detection Limit; PQL is Practical Quantitation  
7 Limit. The MDL is when a material or a  
8 compound is the lowest level that's first  
9 detected in a matrix, such as water or  
10 wastewater, whatever is being analyzed. Even  
11 though it's detected, there's not a high level  
12 of confidence that the instrument is detecting  
13 it accurately, as far as precision goes. So  
14 the PQL that we sometimes use for a limit in

15 the permit, that's four times the MDL, to have  
16 a greater level of confidence in the precision  
17 of the analysis.

18 The case has been made that EPA  
19 methodologies do not exist for all the  
20 pesticides. That's absolutely correct. And  
21 that's not an uncommon situation. What the  
22 Department does in that situation is we  
23 typically, but not always, require an MDL  
24 study -- we almost always do. The way it's  
25 worded, at the Department's discretion -- at  
(PESTICIDES ISSUE)

3374

1 its discretion. There may be a situation  
2 where we may feel it is not necessary. It can  
3 be an expensive study. We consult with the  
4 Department's Division of water's chemist and  
5 consult with him in detail on whether or not  
6 such a study would be required. Again, we  
7 almost always do, but I thought we would build  
8 in the flexibility where if there was some  
9 reason the chemist felt it was not necessary  
10 to perform the study, then the Department  
11 would have the authority to state that.

12 An MDL study typically requires adding  
13 -- developing certain concentrations, adding  
14 spikes of the material to distilled water.  
15 You run duplicates, you run planks, and you  
16 run analyses on the different concentrations  
17 that are developed. And you establish curves  
18 with the instrument that's being used. And  
19 from the curves, you develop an adequate

20 confidence in the level that the instrument  
21 can be detected down to. And that  
22 laboratory -- that instrument, the level can  
23 be established that way.

24 As far as certification goes, or  
25 approved methodologies, again, the EPA has  
(PESTICIDES ISSUE)

1 approved methodologies for quite a few organic<sup>3375</sup>  
2 compounds, but for quite a few they don't.  
3 New York State also requires that the  
4 laboratories that do the testing use an  
5 ELAP-certified laboratory method. And our  
6 Health Department goes around and checks  
7 laboratories for this certification yearly.  
8 ELAP stands for Environmental Laboratory  
9 Approval Program.

10 So there is a fairly high level --  
11 very high level of scrutiny that is applied to  
12 the analytical techniques that are used,  
13 whether or not an EPA methodology does exist.

14 ALJ WISSLER: With respect to the  
15 quintozene; is it?

16 MR. MIRABILE: Quintozene.

17 ALJ WISSLER: According to the SPEDES  
18 permit, that's a PQL level that is to be -- or  
19 PQL rather that will be determined, and then  
20 that value will be placed in the SPEDES  
21 permit?

22 MR. MIRABILE: What that says there,  
23 the standard, the DEC criteria is nondetect.  
24 That means that there is no level that's  
25 acceptable. So with the standard of



1 nondetect, it's not the greatest way to  
2 express a standard, but that's what we have to  
3 live with.

4 ALJ WISSLER: As a practical matter,  
5 that means less than .005?

6 MR. MIRABILE: Yes, that's correct  
7 -- it's nondetect. The PQL, we use that as --  
8 again, a detection level with acceptable level  
9 of confidence.

10 ALJ WISSLER: In determining the PQL,  
11 is that something that evolves over time as  
12 technology changes and so forth --

13 MR. MIRABILE: I'm sorry, what?

14 ALJ WISSLER: When a permit comes up  
15 for renewal or something, as Practical  
16 Quantitation Limit, as technology advances, is  
17 that a limit that will be -- can be taken  
18 downward as methods --

19 MR. MIRABILE: Yes, that's absolutely  
20 correct. In fact, when I received the list of  
21 UOCs from one of our division chemists, he  
22 pointed out that one of the compounds was  
23 about to receive some type of standard. And  
24 so these standards are being developed, albeit  
25 very slowly. And as they are developed, and  
(PESTICIDES ISSUE)

1 as new EPA methodologies are approved, these  
2 are taken into consideration at the time of  
3 permit renewal, or at the time of permit  
4 modification.

5 That's a good point to mention that,  
6 or a good time to mention that. If, say, we  
7 detected, or the monitoring of the groundwater  
8 detected pesticides in the groundwater, and  
9 they were at levels which we were concerned  
10 about, we could at that time initiate a permit  
11 modification to address that problem, or we  
12 could do it during the five-year renewal  
13 period. But they are evolving documents.

14 MS. KREBS: I guess we have only two  
15 minor points, your Honor, one of them concern  
16 the wells. I think you agreed regarding the  
17 question regarding the depth of the wells --

18 MR. MIRABILE: The depth sampling, I  
19 believe the City brought this up, it's a very  
20 good point. You do have what we call  
21 chemostratification of organic compounds, a  
22 high variability in chemical and physical  
23 characteristics so they'll settle at different  
24 layers in the water column. So it's a good  
25 idea to perform that sampling. And you really  
(PESTICIDES ISSUE)

1 do need a purpose designed well to do that. 3378  
2 So I would say that that's -- we will put that  
3 in the permit.

4 Okay. The City also brought up the  
5 fact that synergistic effects of various  
6 pesticides are not considered in the structure  
7 of the existing draft SPEDES permits. I don't  
8 agree with that. If you turn to -- the  
9 toxicity testing page, look at the wildacres  
10 permit.

11 MS. KREBS: That's page 12 of 23.

12 MR. MIRABILE: Page 12 of 23; and  
13 again, we have the exact same requirements but  
14 different outfall numbers in the Big Indian  
15 permit.

16 If you look at the table on the top of  
17 this page, "The reason for testing". If you  
18 look at No. 3, the possibility of complex or  
19 synergistic interactions of the chemicals. As  
20 I mentioned earlier, we don't really know what  
21 the fate of these chemicals are when they're  
22 going to be discharged. So this is one way to  
23 at least look at that consideration, with the  
24 acute toxicity testing. So that is in there,  
25 but the toxicity testing will indicate some  
(PESTICIDES ISSUE)

1 sort of effect of the various compounds, the <sup>3379</sup>  
2 pesticides that are existing in the matrix.

3 MS. KREBS: So for instance, I think  
4 the example was if one compound had two active  
5 ingredients, they might have a synergistic  
6 effect. Under the testing, the two things  
7 were not tested together, but in the toxicity  
8 testing, you would find out if there was a  
9 synergistic effect on that compound?

10 MR. MIRABILE: That's absolutely true.  
11 In addition to that, we do have testing for  
12 individual pesticides. The pesticides that  
13 have been applied within the previous 12  
14 months are required to be tested for -- in the  
15 ambient surface waters.

16 MS. KREBS: Which is on page 15 of 23  
17 for the wildacres permit, your Honor. Page 12  
18 of 21 of Big Indian.

19 With that, your Honor, unless you have  
20 any specific questions -- may I have one  
21 moment?

22 ALJ WISSLER: Sure.

23 (4:58 - BRIEF PAUSE.)

24 MS. KREBS: Thank you, your Honor.

25 ALJ WISSLER: Do you have anything?  
(PESTICIDES ISSUE)

3380

1 MR. GREENE: Just briefly, your Honor.  
2 First of all, I just wanted to acknowledge  
3 that the 2.5 acres that we raised in our brief  
4 was a decimal point error -- 2.5 meters, I'm  
5 sorry, I'm still making the mistake. The City  
6 just wanted to prevent any confusion that that  
7 was an error, so we do acknowledge that.

8 As far as the other issues that we  
9 talked about today, we will respond in  
10 writing, if we are so allowed at a later time.

11 ALJ WISSLER: You will be so allowed.

12 MR. GREENE: Thank you, very much,  
13 your Honor.

14 And lastly I would like to reiterate a  
15 point that we made during our stormwater  
16 presentation; that we firmly that believe the  
17 Big Indian permit should have the same  
18 concentration based effluent limitation for  
19 pesticides as the wildacres permit, and we  
20 refer your Honor back to the testimony of that  
21 day.

22 MR. GERSTMAN: Judge, one brief  
23 comment. I would like to reserve the right to  
24 have Dr. Knisel review the offers of proof  
25 made here today, and reply to them once we get  
(PESTICIDES ISSUE)

1 the transcript of the Issues Conference. We <sup>3381</sup>  
2 believe it's fairly clear that his  
3 identification of the problems with the model  
4 have not been addressed, and we'll point that  
5 out in our reply.

6 ALJ WISSLER: Very good. Anything  
7 else?

8 (NO AFFIRMATIVE RESPONSE.)

9 Then we'll conclude for today. And I  
10 believe that we will be meeting back here  
11 again on July the 29 at 9 o'clock for water  
12 supply.

13 (5:00 P.M. - WHEREUPON, THE ISSUES  
14 CONFERENCE PROCEEDINGS ADJOURNED FOR THE DAY.)

15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

(PESTICIDES ISSUE)

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

C E R T I F I C A T I O N

I, THERESA C. VINING, hereby certify  
and say that I am a Shorthand Reporter and a Notary  
Public within and for the State of New York; that I  
acted as the reporter at the Issues Conference  
proceedings herein, and that the transcript to which  
this certification is annexed is a true, accurate  
and complete record of the minutes of the  
proceedings to the best of my knowledge and belief.

THERESA C. VINING

DATED: September 8, 2004.

□