

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

ISSUES CONFERENCE

VOLUME 13

In the Matter of the Applications of
CROSSROADS VENTURES, LLC
for the Belleayre Project at Catskill Park
for permits to construct and operate pursuant to
the Environmental Conservation Law

Margaretville Fire House
Margaretville, New York
July 21, 2004

B E F O R E :

HON. RICHARD WISSLER,
Administrative Law Judge

A P P E A R A N C E S :

WHITEMAN, OSTERMAN & HANNA, LLP.
Attorneys for Applicant,
CROSSROADS VENTURES, LLC
One Commerce Plaza
Albany, New York 12260

BY: DANIEL A RUZOW, ESQ., of Counsel
BY: TERRESA M. BAKNER, ESQ., of Counsel

NEW YORK STATE DEPARTMENT
of ENVIRONMENTAL CONSERVATION
Region 3
21 South Putt Corners Road
New Paltz, New York 12561

BY: CAROL BACKMAN KREBS, ESQ., of Counsel
Assistant Regional Attorney
BY: VINCENT ALTIERI, ESQ., of Counsel
Regional Attorney

□

A P P E A R A N C E S, Continued:

LAW OFFICE OF MARC S. GERSTMAN
Attorneys for
CATSKILL PRESERVATION COALITION,
Robinson Square
313 Hamilton Street
Albany, New York 12210

5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

BY: MARC S. GERSTMAN, ESQ., of Counsel
BY: CHERYL A. ROBERTS, ESQ., of Counsel
BY: MARC YAGGI, ESQ., of Counsel

NEW YORK CITY LAW DEPARTMENT
OFFICE OF CORPORATION COUNSEL
100 Church Street
New York, New York 10007-2601

BY: DANIEL GREENE, ESQ., of Counsel
BY: MICHAEL BURGER, ESQ., of Counsel

YOUNG, SOMMER...LLC
Attorneys for THE COALITION
OF WATERSHED TOWNS
DELAWARE COUNTY,
TOWN OF MIDDLETOWN,
TOWN OF SHANDAKEN
Executive Woods - 5 Palisades Drive
Albany, New York 12205

BY: KEVIN M. YOUNG, ESQ., of Counsel

□

1	APPLICANT'S PRESENTERS	3126
2		PAGE
3	STEPHEN RUSHMORE	3141
4	ERICH BAUM	3180
5	KEVIN FRANKE	3286
6	A. MARTIN PETROVIC	3288
7		
8		
9	COALITION OF WATERSHED TOWNS, ET AL.	
10		

7-21-04crossroadsf

11 KEITH S. PORTER 3218
 12 DEAN FRAZIER 3226
 13
 14
 15 DEP
 PRESENTER
 16
 17 CRAIG SEYMOUR 3215
 18 CHARLES CUTIETTA-OLSON 3268
 19
 20
 21 DEC
 PRESENTER
 22
 23 WILLIAM MIRABILE 3362
 24
 25

3127

1 CPC
 EXHIBITS - (Marked previously on 6-29-04)
 2
 3 75 8 1/2 BY 11 PHOTOGRAPH 3130
 4 "TRAIL TO BELLEAYRE DAY
 USE AREA FROM PINE HILL
 5 TO WEST BRANCH TRAIL"
 (BLUE-BLAZED)
 6 76 BELLEAYRE BROCHURE 3130
 7
 8 APPLICANT'S
 EXHIBITS
 9
 10 87 CV OF STEPHEN RUSHMORE 3130
 11 88 SPRING ISLAND, SOUTH 3130
 CAROLINA WEB PRINTOUT
 12
 13 89 HILLIER & ASSOCIATES, PA 3130
 WEB PRINTOUT
 14 90 CV OF EDWIN MCMULLEN 3130
 15 91 CV OF RICHARD RAGATZ AND 131
 RAGATZ ASSOCIATES

16 7-21-04crossroadsf
 RELATED INFORMATION
 17 92 CV OF A. MARTIN PETROVIC 3282
 18
 19 93 "NEW YORK CITY 3282
 DEPARTMENT OF
 20 ENVIROMENTAL PROTECTION
 BUREAU OF WATER SUPPLY
 21 DATED 5/15/03"
 22 94 "GOLF COURSE IMPACTS TO 3282
 SHALLOW GROUNDWATER
 23 SUFFOLK COUNTY, NY,
 DECEMBER 2002"
 24
 25

□

1 95 "GROUND WATER QUALITY 3282 3128
 WATER QUALITY IMPACTS BY
 2 GOLF COURSES"
 3 96 "TURFGRASS AND 3282
 ENVIRONMENTAL RESEARCH
 4 ONLINE - USGA"
 5
 6 WATERSHED
 7 COMMUNITIES
 EXHIBITS
 8
 9 7 RESUME OF KEITH S. 3211
 PORTER
 10 8 DELAWARE COUNTY 3212
 11 COMPREHENSIVE STRATEGY
 12 9 "DELAWARE COUNTY ACTION 3212
 13 PLAN DCAP II FOR
 WATERSHED PROTECTION AND
 14 ECONOMIC VITALITY"
 15 10 DCAP REPORT TO THE 3212
 PHOSPHORUS STUDY
 16 COMMITTEE AND PARTNER
 AGENCIES DECEMBER 2002
 17 11 "PROPOSED PHASE II 3212
 18 PHOSPHORUS TMDL
 CALCULATIONS FOR ASHOKAN
 19 RESERVOIR MARCH 1999"
 20 12 "PROPOSED PHASE II 3212
 21 PHOSPHORUS TMDL
 CALCULATIONS FOR
 PEPACTON RESERVOIR MARCH

1999" 7-21-04crossroadsf

22
23
24
25

3129

1 CITY
EXHIBIT

2 28 LIST OF PESTICIDES 3278
3 PERMITTED FOR USE ON
4 PP8-11 OF THE WILDACRES
5 DRAFT SPEDES PERMIT & PG
6 18 OF THE BIG INDIAN
7 SPEDES PERMIT FOR WHICH
8 CERTIFIED ANALYTICAL
9 METHODS DO NOT CURRENTLY
10 EXIST

8 DEC EXHIBIT

9

10 8 "WILDACRES RESORT - 3361
11 SPDES PERMIT NO. NY 027
12 0661 PESTICIDES LIMITS
13 EVALUATION"

13
14
15
16
17
18
19
20
21
22
23
24
25

3130

1 (JULY 21, 2004)

2 (9:28 A.M.)

3 P R O C E E D I N G S

4 (8 1/2 BY 11 PHOTOGRAPH "TRAIL TO
5 BELLEAYRE DAY USE AREA FROM PINE HILL TO WEST
6 BRANCH TRAIL" (BLUE-BLAZED) RECEIVED AND
7 MARKED AS CPC EXHIBIT NO. 75, ON JUNE 29,
8 2004.)

9 (BELLEAYRE BROCHURE RECEIVED AND
10 MARKED AS CPC EXHIBIT NO. 76, ON JUNE 29,
11 2004.)

12 (CV OF STEPHEN RUSHMORE RECEIVED AND
13 MARKED AS APPLICANT'S EXHIBIT NO. 87, THIS
14 DATE.)

15 (SPRING ISLAND, SOUTH CAROLINA WEB
16 PRINTOUT RECEIVED AND MARKED AS APPLICANT'S
17 EXHIBIT NO. 88, THIS DATE.)

18 (HILLIER & ASSOCIATES, PA WEB
19 PRINTOUT RECEIVED AND MARKED AS APPLICANT'S
20 EXHIBIT NO. 89, THIS DATE.)

21 (CV OF EDWIN MCMULLEN RECEIVED AND
22 MARKED AS APPLICANT'S EXHIBIT NO. 90, THIS
23 DATE.)

24 (CV OF RICHARD RAGATZ AND RAGATZ
25 ASSOCIATES RELATED INFORMATION RECEIVED AND
(ALTERNATIVES ISSUE)

1 MARKED AS APPLICANT'S EXHIBIT NO. 91, THIS
2 DATE.)

3131

3 ALJ WISSLER: Appearances of counsel
4 for the record.

5 MR. RUZOW: Dan Ruzow and Teresa
6 Bakner for the Applicant.

7 MR. ALTIERI: Vincent Altieri and
8 Carol Krebs for Staff.

9 MR. GERSTMAN: Marc Gerstman, Eric
10 Goldstein and Marc Yaggi for the Catskill
11 Preservation Coalition.

12 MR. BURGER: Michael Burger for the
13 New York City Law Department.

14 MR. YOUNG: Kevin Young for the
15 watershed communities.

16 ALJ WISSELER: I know the agenda that
17 was tentatively set today. Has there been
18 some discussion among counsel as to how you
19 want to proceed this morning?

20 MR. RUZOW: Our assumption is
21 alternatives first, and then --

22 MR. YOUNG: We would like to go
23 second. We have the stormwater issues.

24 ALJ WISSELER: After alternatives?

25 MR. YOUNG: After alternatives.
(ALTERNATIVES ISSUE)

□

1 MR. RUZOW: Then pesticides in one
2 block, I guess, is just continuing.

3 ALJ WISSELER: Marc, is that your
4 understanding where we are?

5 MR. GERSTMAN: Yes, Judge.

6 ALJ WISSELER: Mr. Ruzow, go ahead.

7 MR. RUZOW: Your Honor, we have had
8 premarked five exhibits regarding our
9 alternative presentation today. Applicant's
10 Exhibit 87 is the curriculum vitae of Stephen
11 Rushmore of HVS International. Applicant's

3132

12 Exhibit 88 is a printout, web printout on
13 Spring Island, South Carolina, project
14 -- referred to by Dr. Alschuler in his
15 presentation on -- I believe it was June 10th.

16 Applicant's Exhibit 89 is an exhibit
17 -- is a web printout and information on
18 Hillier & Associates that prepared one of the
19 studies that are found in Appendix 27 of the
20 DEIS.

21 Applicant's Exhibit 90 is a curriculum
22 vitae of Edwin McMullen whose letter can be
23 found also in Appendix 27 under the "Letters"
24 tab there.

25 And Applicant's Exhibit 91 is both the
(ALTERNATIVES ISSUE)

1 CV of Richard Ragatz and a printout of the ³¹³³
2 services of Ragatz Associates, formerly RCI
3 Consulting. And RCI's report is also found in
4 Appendix 27.

5 I would like to start this morning on
6 placing the context of our alternative
7 discussion and debate in terms of the SEQRA
8 requirement. Consideration of reasonable and
9 feasible alternatives to an action under
10 SEQRA, provision found in Section 617.9,
11 little letter "b", No. 5, Roman 5, starts with
12 an understanding of the objectives of the
13 project sponsor, which are clearly stated in
14 DEIS Section 1.3.3 found at page 1-21 of the
15 DEIS.

16 And I quote, "To develop a
17 recreation-oriented resort that will

18 compliment the current recreational
19 opportunities at the Belleayre Mountain Ski
20 Center, and together provide a four-season
21 destination resort in the central Catskills
22 region, as outlined in the various studies
23 discussed in DEIS Section 1.3.2."

24 Many of those studies which we have
25 referred to and include as exhibits, including
(ALTERNATIVES ISSUE)

3134

1 the Route 28 Corridor study, the Central
2 Catskill Planning Alliances, Tourist
3 Destination and the various exhibit numbers
4 you recall from last week, including the west
5 of Hudson Economic Development studies, which
6 were also included, among others.

7 These studies have formed the basis
8 for both local and regional planning for over
9 40 years, emphasizing that tourism and
10 increased tourism visitation is the primary
11 economic goal for this region.

12 State agencies, DEC in particular, as
13 well as local government and not-for-profit
14 organizations, have recognized and taken steps
15 to achieve this goal. And we have heard of
16 many in this proceeding so far, various
17 efforts taken by various entities to try to
18 make the area more attractive to tourists, et
19 cetera.

20 while some improvement and investment
21 has been achieved, the central Catskills still
22 suffer economically with limited employment

23 opportunities and many business failures,
24 despite its proximity to the New York
25 metropolitan market and the vast protected
(ALTERNATIVES ISSUE)

3135

1 open space that exists here.

2 There is a recognized public need for
3 improving the local economy, local and
4 regional economy. New facilities and
5 amenities to attract visitors and to provide a
6 more sustainable year-round employment have
7 been identified as needed, including golf
8 courses and destination resorts. They are in
9 the mix of opportunities that are being
10 sought. These goals have been consistently
11 ratified by resolution in their respective
12 towns as development policies in Shandaken and
13 Middletown. And their zoning allows for these
14 uses.

15 The developers of the proposed
16 Belleayre Resort have participated in and
17 actively followed the local and regional
18 economic and planning studies over the last 12
19 years. It's their desire to attract a new
20 source of visitor to the region by providing
21 resort facilities not otherwise available
22 locally or regionally.

23 The project is not simply an
24 investment choice for these individuals. I
25 think this is perhaps where we have our
(ALTERNATIVES ISSUE)

3136

1 greatest odds with Dr. Alschuler's comments
2 and some of the other comments on the DEIS.

3 They have included -- the project
4 developers have included new amenities and
5 features that are designed to attract
6 visitation year-round and to increase the
7 length of stay over current visitation
8 experience. Such facilities include
9 championship golf courses designed by
10 world-acclaimed professionals, hotels of
11 world-class design and ambience,
12 European-style health spas.

13 Timeshare and club share elements to
14 be managed by the hotels are modern features
15 of resort development. You'll hear some more
16 about that this morning. And if successful,
17 will help provide the year-round flow of
18 extended visitation to the region, which has
19 been identified as needed.

20 The recreational and cultural program
21 to be coordinated with state and local
22 facilities and interests will provide
23 opportunities for guests and their families to
24 enjoy the incredible natural beauty and
25 resources available, but largely underutilized
(ALTERNATIVES ISSUE)

□

1 in the central Catskills. The inclusion of ³¹³⁷
2 each of the project's facilities and features
3 have been carefully considered to address
4 identified opportunities and to maximize the
5 likelihood of the project's programmatic and
6 economic success.

7 An internationally recognized group of

8 professionals, whose principal business is
9 related to the development of hotels, resorts
10 and fractional interest and timeshare
11 component, were retained to guide the project
12 sponsors in creating the proposed Belleayre
13 Resort.

14 These expert advisors include SE
15 Engineering and Walter Elander, who you heard
16 last week; HVS International and Steven
17 Rushmore and Erich Baum. You will be
18 introduced to Mr. Rushmore in just a few
19 minutes. RCI Consulting and Richard Ragatz,
20 whose resume is included here and whose report
21 is included in the DEIS. Edwin McMullen,
22 again, whose resume is here. And the letter
23 from Mr. McMullen has been included in the
24 report. He's been an advisor to the project,
25 though his report has been fairly limited for
(ALTERNATIVES ISSUE)

3138

1 DEIS purposes. As well as Hillier &
2 Associates, PA, a law firm that specializes in
3 club memberships and marketing of memberships
4 nationwide. Their work is also in Appendix
5 27. The resumes are included, as I said, in
6 the exhibits before you.

7 SEQRA's consideration of alternatives
8 to avoid or minimize significant adverse
9 environmental effects that may arise from a
10 proposal must be viewed in the context of the
11 project sponsor's objective. Suggestions that
12 consideration or further study of an exclusive
13 purported "ecosensitive" residential

14 development, such as Spring Island, South
15 Carolina, suggested by Dr. Alschuler, will
16 achieve neither the project sponsor's goals,
17 nor the local and regional goals of increased
18 employment and tourist visitation.

19 Nowhere in the Route 28 Corridor
20 study, Applicant's Exhibit 83; the Tourist,
21 Development Plan for the Central Catskill
22 Planning Alliance, Applicant's Exhibit 8; or
23 the West of Hudson Economic Development
24 Studies, Applicant's Exhibits 70, 71 or 72 and
25 CPC Exhibit 18, is there a recommendation that
(ALTERNATIVES ISSUE)

1 second-home development be the cure for the ³¹³⁹
2 regional economic ills.

3 Neither will a project that depends
4 primarily on horseback riding or hiking. Both
5 activities have long been available to this
6 region with only modest economic effect. And
7 there's no reasonable basis to suggest that a
8 luxury hotel or first-class hotel might draw
9 guests seeking such recreational opportunities
10 in the region.

11 There are other forms of development
12 that have taken place and could take place on
13 a much smaller scale to attract tourists to
14 the area, but they don't have the same
15 profound economic opportunities that a resort
16 hotel provides.

17 The analysis undertaken by HVS
18 International and included in the DEIS,

19 7-21-04crossroadsf
undertaken by HVS International at Appendix
20 27, was in response to a comment letter from
21 NRDC, and later DEC's Staff's direction that
22 the Applicant consider a smaller resort or
23 demonstrate that the proposed project, its
24 scale was needed, and that a smaller project
25 was financially infeasible.

(ALTERNATIVES ISSUE)

3140

1 Specifically, DEC asked that we
2 consider building only the Big Indian Spa and
3 Country Club or the Wildacres Resort, east
4 side or west, or alternatively we can consider
5 eliminating one of the golf courses in either
6 location.

7 HVS was asked to advise the Applicant
8 on whether such a suggestion was feasible.
9 That is, could the project still be viewed as
10 viable from the perspective of either further
11 equity participants and downstream
12 institutional lenders who would participate in
13 resort financing with or without these
14 components.

15 Their perspective, their particular
16 expertise, is from the hotel resort
17 development industry. And so their ability to
18 provide that glimpse into how this project
19 would be viewed was, we viewed, as most
20 telling. And that's the basis of their
21 analysis of their input to this proceeding.

22 HVS's conclusion following their
23 careful analysis was that the proposal, as
24 currently conceived with two hotels and

25 associated golf courses, was the only
(ALTERNATIVES ISSUE)

3141

1 alternative that was viable in a resort
2 context on these sites.

3 with that, let me introduce Stephen
4 Rushmore, and ask Mr. Rushmore to describe
5 your educational background and your
6 experience. His resume is Applicant's Exhibit
7 87. It is particularly lengthy, but it is
8 also instructive in terms of the breadth and
9 depth of his experience in this field.

10 MR. RUSHMORE: Good morning. I have
11 -- my education, I have a degree in hotel
12 administration from Cornell University. I
13 have an MBA in finance from the University of
14 Buffalo.

15 My employment history started in 1971
16 when I was employed as a consultant for
17 Helmsley-Spear in New York City working in
18 their hospitality division doing feasibility
19 studies, market studies, valuations of hotels.

20 I left Helmsley-Spear three years
21 later in the '70s, and worked for a real
22 estate development trust that was controlled
23 by Bankers Trust. I was a hotel foreclosure
24 specialist. I would go out -- this was during
25 the bust years for real estate investment
(ALTERNATIVES ISSUE)

3142

1 trust in the '70s-- I would go out and
2 foreclose hotels, then I'd change the
3 management and sell the hotels for the trust.

4 I returned to Helmsley-Spear, headed
5 up their valuation section from the late '70s
6 until 1980 when I established HVS
7 International. That initially stood for
8 Hospitality Valuation Services.

9 I am president and founder of HVS
10 International. We are a global hotel
11 consulting firm. We have 22 offices around
12 the world, including New York, San Francisco,
13 Vancouver, Sao Paulo, Buenos Aires, London,
14 Singapore, New Delhi, Sydney, amongst offices
15 around the world.

16 Our specialty is doing hotel market
17 studies and valuations and investment analysis
18 for investors. We offer a wide range of
19 services. We do executive search. We do
20 mortgage financing. We do brokerage. We do
21 interior design. We help hotels obtain
22 casinos. We do restaurant consulting. We do
23 marketing consulting for hotels, and we
24 operate hotels for third parties.

25 Along the way, I am a member of the
(ALTERNATIVES ISSUE)

1 Appraisal Institute. I began being a member
2 of the Appraisal Institute back in 1976, and I
3 was the first appraiser member that had a
4 degree in hotel administration.

5 I focused on valuing hotels and doing
6 market studies of hotels. I've written
7 extensively -- I've written all four textbooks
8 for the Appraisal Institute on the valuation
9 of hotels and motels and market studies and

3143

10 investment analysis. I have written books on
11 how to perform feasibility studies, market
12 studies. I've written approximately 300
13 articles that appeared in various trade
14 journals, including the Cornell Quarterly, the
15 Real Estate Finance Journal, Real Estate
16 Review, many different types of journals.

17 I write a monthly column for Hotels
18 Magazine. I teach at Cornell in their summer
19 session on hotel valuations and market
20 studies. I've done that for the past 15
21 years. I developed a course on hotel
22 valuations and market studies for the
23 Appraisal Institute. I have taught it
24 approximately 75 times around the country.

25 I have literally trained pretty much
(ALTERNATIVES ISSUE)

1 all the appraisers and people that do hotel ³¹⁴⁴
2 market studies on the process for performing
3 these types of studies, analyzing hotel
4 investments.

5 ALJ WISSLER: Yet you've found time to
6 do this?

7 MR. RUZOW: And we thank your Honor
8 and the other parties for accommodating the
9 schedule that will allow him to come today.

10 MR. RUSHMORE: We have about 200
11 professionals around the world, and we work on
12 approximately 1500 hotels a year. I have
13 worked on pretty much every major hotel in the
14 United States. I have been involved with them

15
16
17
18
19
20
21
22
23
24
25

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20

in some form through HVS.

A second aspect of my life is that I'm also a hotel investor. Through a company called HEI Hospitality, we started buying hotels in 1985. We did hotel syndications during the '80s. During the '90s, we bought distressed hotels. During the mid-'90s, we joint ventured with Prudential in their Prissa 2 account.

MR. RUZOW: How do you spell that?

MR. RUSHMORE: It's their pension fund (ALTERNATIVES ISSUE)

3145

account, P-R-I-S-S-A.

And we built up a portfolio of 20 hotels that we owned and operate. One of the hotels is the Marriott Seaview Country Club in Absecon, New Jersey, which is right across the harbor from Atlantic City. Very similar to this hotel we're looking at here in the Catskills, it's a 300-room Marriott hotel with two 18-hole golf courses. We own that, and it was operated by Marriott.

We sold our entire portfolio to Starwood in 1997, and we have started acquiring hotels again in the last 12 months. And we have bought 20 hotels, all full-service, first-class hotels. They include Westin Hotels, Marriott Hotels, Hilton Hotels. Similar hotel with golf courses is the Sheraton Ferncroft outside of Boston, a 300-room hotel with an 18-hole golf course that we own and operate.

21 So the combination of being totally
22 emerged for the last 35 years in the hotel
23 business, and also participating actively as
24 an investor buying hotels, negotiating to
25 transact hotels and also selling hotels, I've
(ALTERNATIVES ISSUE)

3146

1 picked up a lot of experience.

2 ALJ WISSLER: Mr. Rushmore, have you
3 ever been involved in the development of
4 environmental impact statements before?

5 MR. RUSHMORE: Have I ever done an
6 environmental impact study?

7 ALJ WISSLER: Yes.

8 MR. RUSHMORE: No.

9 MR. RUZOW: When Mr. Baum was here on
10 the 10th, he had given us a brief explanation
11 of some of the analytical work that HVS does
12 in terms of appraisal work and marketing
13 feasibility. The breadth of your clients are
14 included in here, and you have indicated that.
15 As I read them, there's a mix of both
16 financial institutions, as well as hotel
17 management. The nature of the work you do is
18 all focused on hotel hospitality, but for a
19 variety of different types of clients; is that
20 correct?

21 MR. RUSHMORE: That's correct. We
22 work for virtually every major hotel owner,
23 lender and operator throughout the world.

24 MR. RUZOW: Can you explain some of
25 the nature of the marketing and the
(ALTERNATIVES ISSUE)

1 feasibility analysis that you have done for
2 other projects?

3 MR. RUSHMORE: As I said, we work on
4 about 1500 hotels a year, of which probably
5 10 percent are proposed hotels, and 90 percent
6 are existing hotels that we're doing some type
7 of consulting work for. Some of the hotels
8 that we've worked on over the years, resort
9 hotels, we've done the Equinox Hotel --

10 MR. RUZOW: In Manchester?

11 MR. RUSHMORE: In Manchester, Vermont.
12 we did the Sagamore Hotel up in upstate --

13 MR. RUZOW: Lake George.

14 MR. RUSHMORE: -- Lake George. We
15 have worked on the Greenbriar Hotel, Mount
16 Washington Hotel. Those are some of the major
17 resort hotels that we have worked on over the
18 years.

19 MR. RUZOW: Can you explain a little
20 bit of the work of HVS International outside
21 of the U.S.? You mentioned the offices you
22 have. What's the nature of the work you have
23 around the world?

24 MR. RUSHMORE: Very similar. Our
25 London office is our second largest office,
(ALTERNATIVES ISSUE)

1 and they work in Europe and the Mideast and
2 Africa. And they do market studies and
3 feasibility studies and brokerage and
4 financing.

5 MR. RUZOW: You have had an
Page 20

6 opportunity to review the resume of Dr. John
7 Aulschuler that was included in the petition,
8 CPC's petition as -- that was attached to the
9 petition. Are you familiar with
10 Dr. Aulschuler of Hamilton, Rabinowitz and
11 Aulschuler, and their firm's work?

12 MR. RUSHMORE: No, I am not.

13 MR. RUZOW: We've included as
14 Applicant's Exhibit 89 the resume of Hillier
15 and Associates, PA, and you have had an
16 opportunity to review their report in the
17 DEIS. Have you been familiar with their work?

18 MR. RUSHMORE: Yes.

19 MR. RUZOW: Just -- just in this
20 matter or other matters?

21 MR. RUSHMORE: We have heard of them.
22 Never worked directly with them, but we have
23 seen their work product over the years.

24 MR. RUZOW: Are you familiar with
25 Richard Ragatz and RCI International?
(ALTERNATIVES ISSUE)

1 MR. RUSHMORE: Very familiar. Richard ³¹⁴⁹
2 is my primary competitor in consulting on
3 timeshare-s.

4 MR. RUZOW: Are you familiar with
5 Edwin McMullen, Sr.?

6 MR. RUSHMORE: Very much.

7 MR. RUZOW: Mr. McMullen's role
8 -- Applicant's Exhibit 90, Mr. McMullen's role
9 in the industry, is he a senior sort of a
10 person in the industry?

11 MR. RUSHMORE: He's a very
12 distinguished, very experienced and very
13 ethical gentleman involved in the timeshare
14 business. He is one of the persons -- people
15 that have taken a rather sleazy industry that
16 had a very poor reputation, and he worked very
17 hard to make it a very prominent business with
18 very good morals and ethics.

19 MR. RUZOW: You have had an
20 opportunity to review the DEIS, the letter
21 from Mr. McMullen, the two reports, the
22 Hillier & Associates report in the DEIS and
23 the RCI report in preparing your report?

24 MR. RUSHMORE: Yes.

25 MR. RUZOW: Is it fair to characterize
(ALTERNATIVES ISSUE)

3150

1 these nationally recognized experts as
2 enthused about -- enthused is probably a good
3 word -- enthused about the economic prospects
4 of the Belleayre Resort at this stage in its
5 development?

6 MR. RUSHMORE: Yes, my reading of
7 their reports indicate that they had a
8 positive outlook for the feasibility of this
9 resort, even though it's still in very
10 preliminary stages.

11 MR. RUZOW: Dr. Alschuler, when he was
12 here on, I believe, June 10th, was -- I would
13 characterize or ask you to accept that he
14 characterized the resort's chances of being
15 associated with a flag, such as the
16 Ritz-Carlton, as remote and was more

17 pessimistic, I suspect, than these
18 consultants. Is that your read of these other
19 consultants and your own view of the project?
20 Is there an opportunity -- they talk perhaps
21 maybe about a flag, what I have just referred
22 to?

23 MR. RUSHMORE: The flag, as its known
24 in the hotel industry, is the franchise or the
25 referral organization that you align with to
(ALTERNATIVES ISSUE)

1 give your hotel instant identity. These are ³¹⁵¹
2 relatively easy to obtain, if you have a
3 quality hotel that fits their standards.

4 For example, if you construct a
5 five-star hotel, it's pretty easy to get Four
6 Seasons or Ritz-Carlton to flag the hotel or
7 put their brand on it, and also to operate it.
8 In both of those cases, Four Seasons,
9 Ritz-Carlton, they will not brand your hotel
10 unless they operate it.

11 They will give you a management
12 contract to manage your hotel. They typically
13 don't put up any monies so they don't really
14 have any money at risk in the property itself.
15 They obviously have their brand image at risk
16 and their name at risk, so they need to
17 maintain the hotel at certain standard levels.

18 But as far as a hotel like this with
19 the type of amenities that this hotel will
20 have, will be very attractive to, I would say
21 Ritz-Carlton, Four Seasons for the five-star

22 hotel. Starwood would be very interested.
23 They would do a St. Regis for the five-star,
24 and probably Sheraton or Westin for the
25 four-star hotel. They would love to operate
(ALTERNATIVES ISSUE)

3152

1 this.

2 It would not compete with any of their
3 hotels in the area because there are not any
4 hotels like this in the area. Usually the
5 problems you run into in trying to get a flag
6 is that if you have a competing hotel in the
7 same market area, you may not be able to get a
8 flag. This occurred out in California. For
9 example, Marriott wanted to brand a hotel that
10 was within ten miles of their Ritz-Carlton
11 Laguna Niguel Hotel, and they couldn't do it
12 because the owner of the Ritz-Carlton wouldn't
13 allow that.

14 This doesn't occur in the northeast.
15 There are really no five-star resort hotels in
16 the northeast, so obtaining a brand would not
17 be difficult at all.

18 ALJ WISSLER: What are the minimum
19 amenities that a hotel has to have in order to
20 be five-star or four-star? Must it have. Can
21 you give me a punch list of, you have to have
22 this, you have to have that? Tell me what
23 makes a five-star.

24 MR. RUSHMORE: Amenity-wise for a
25 five-star hotel, you have to have a restaurant
(ALTERNATIVES ISSUE)

3153

1 that serves three meals a day. You would have

2 to have --

3 ALJ WISSLER: McDonald's?

4 MR. RUSHMORE: No, a good dining room
5 that would serve three meals a day.

6 ALJ WISSLER: Tell me what that means.
7 I'm being flip. Does that mean an executive
8 chef with some reputation? What does that
9 mean?

10 MR. RUSHMORE: Yes, it would have to
11 be a good executive chef, and it would have to
12 be a four- to five-star dining room. You
13 would have to have room service for a
14 five-star hotel, and also a four-star hotel.
15 A four-star hotel probably would not need to
16 have as good a dining room as a five-star
17 hotel. And really, just the other -- those
18 are really the only amenities that you need to
19 attract an operator of a five-star hotel.

20 You asked me a very specific question,
21 so if this was in the middle of Manhattan,
22 really all you need are the level of quality
23 of finishes, the size of the guest rooms and
24 the service levels, and a restaurant, and the
25 ability to serve liquor. That would be the
(ALTERNATIVES ISSUE)

□

1 minimum that you would need to attract the
2 brand.

3154

3 Up here you are going to need more
4 amenities. You'll attract the brand, but
5 you're not going to be feasible unless you
6 attract the client, the customer.

7 ALJ WISSLER: Which means what? Means
8 I don't have to have a golf course in
9 Manhattan but I probably ought to have one up
10 here? Is that what you're saying?

11 MR. RUSHMORE: Exactly.

12 ALJ WISSLER: Tell me what else has
13 got to be on that list.

14 MR. RUSHMORE: Up here -- what you
15 want to look at when you get into a resort
16 area, particularly a seasonal resort area, is
17 how are you going to fill up your hotel at
18 least two seasons of the year. That is really
19 the critical part of making a resort hotel
20 that's seasonal feasible. So you need to have
21 two good seasons a year.

22 Up here you have skiing in the
23 wintertime, and you will have -- you need
24 something to do in the summertime. The most
25 logical thing to put would be a golf course --
(ALTERNATIVES ISSUE)

1 at least one golf course. We think two golf³¹⁵⁵
2 courses for this type of project in this area
3 and the type of business that you're going
4 after is essential.

5 ALJ WISSLER: But as a minimum, one
6 golf course?

7 MR. RUSHMORE: No, we're saying a
8 minimum of this would be two. The reason for
9 this is because unlike a lot of resort areas
10 where during the summer period people come
11 seven days a week, up here they seem to only
12 come on weekends. So you need to have enough

13 amenity that is going to hold people here for
14 the five days during the week.

15 This hotel -- the only way this hotel
16 is going to survive during the weekdays on a
17 year-round basis is to attract groups. Groups
18 typically want a golf experience.

19 I belong to a number of real estate
20 groups, and we will not go to -- when we go to
21 a meeting, we will not go to a hotel unless
22 they have a golf amenity.

23 MR. RUZOW: You don't play golf?

24 MR. RUSHMORE: And I don't play golf,
25 right, but that's just the way the group
(ALTERNATIVES ISSUE)

3156

1 operates. The golf amenity is essential.
2 Having two golf courses typically, how that
3 typically impacts a hotel operation, it
4 typically takes a group and makes the group
5 stay an extra day.

6 Typically, a group will come into a
7 resort for -- if they have one golf course,
8 would probably come in for three days. So you
9 have Monday, Tuesday and Wednesday filled,
10 you're going to die Thursday and Friday. By
11 having that extra golf course, what happens is
12 that group will probably stay an extra day.
13 It's a lot easier to sell a four- and five-day
14 stay. So you'll have that Monday through
15 Friday filled up, and that's going to be the
16 key to the feasibility of this property, is
17 the ability to fill up the midweek period of

18 time.

19 The weekends are pretty easy to fill
20 in this area in the summertime, the shoulder
21 seasons and certainly in the wintertime.

22 ALJ WISSLER: The shoulder seasons?

23 MR. RUSHMORE: The shoulder seasons
24 would be the spring and the fall season. The
25 fall season, that is really the strong season
(ALTERNATIVES ISSUE)

1 for groups. So September, October, beginning³¹⁵⁷
2 of November, you really want to fill that
3 hotel up seven days a week with groups.

4 MR. RUZOW: You have been involved, as
5 your resume indicated, for many years now at
6 the highest level of hotel and resort
7 financing issues as well?

8 MR. RUSHMORE: Right.

9 MR. RUZOW: Have you ever seen a hotel
10 feasibility or financing evaluation by either
11 Dr. Alschuler in the firm of HR&A or RKG
12 Associates or Cashin Associates?

13 MR. RUSHMORE: No, I have not.

14 MR. RUZOW: To your knowledge, does
15 Dr. Alschuler or RKG or Cashin Associates
16 share a similar reputation in the hospitality
17 field to that of Hillier & Associates, Ragatz
18 and McMullen?

19 MR. RUSHMORE: I have never seen them
20 in the hospitality -- at industry events.
21 They really don't have any profile in the
22 industry that I'm aware of.

23 MR. RUZOW: You've seen
Page 28

24 Dr. Aulschuler's resume which indicates -- and
25 I have worked with Dr. Alschuler on projects,
(ALTERNATIVES ISSUE)

1 he's very well-respected in the real estate ³¹⁵⁸
2 development field here in New York, but he
3 appears to be a generalist when it comes to
4 real estate development and valuation and
5 feasibility compared to your work in HVS.

6 Is there an advantage that you see in
7 focussing exclusively on the hospitality
8 industry in terms of doing both the analysis
9 and an understanding of decision-making by
10 investors?

11 MR. RUSHMORE: The hospitality
12 industry, particularly the hotel aspect, is a
13 very complicated industry because you are
14 dealing with a real estate component, and you
15 are dealing with a business component.

16 The real estate component is pretty
17 easy to understand after a while, but the
18 business component is very difficult because
19 you have a labor force you have to deal with,
20 you have management, you have marketing,
21 sales. You have to basically fill your hotel
22 up every four or five days, so you have
23 constant renters coming in. You have
24 marketing. All different types of issues.

25 To really stay up to date on what's
(ALTERNATIVES ISSUE)

1 happening in the business of operating hotels ³¹⁵⁹
2 is really a full-time endeavor. And I spend

3 all my time emerged in the hotel industry
4 speaking, writing, teaching, reading trades,
5 interacting with hotel executives on all
6 levels, and I'm not totally up to speed on
7 everything that's happening.

8 So I can't imagine how a generalist
9 practice can really understand the intimate
10 details of how hotels operate and what the
11 latest trends are.

12 MR. RUZOW: You drew a distinction in
13 terms of leasing, in effect, or renting to
14 bringing people in every few days. In an
15 office development, the leasing component is
16 done on a different schedule?

17 MR. RUSHMORE: Right. You lease
18 office space for five to 15 years, and once
19 you've done that, you're finished. A hotel,
20 it's a business you constantly have to work
21 at.

22 MR. RUZOW: Is real estate development
23 for second-home market different than
24 hotel-resort development?

25 MR. RUSHMORE: Very much so. Again,
(ALTERNATIVES ISSUE)

1 it's only one component, the real estate
2 component. You build the house, you sell it
3 and you walk away and do nothing. So you're
4 not really operating the business.

5 MR. RUZOW: From an economic point of
6 view, the second-home market has a different
7 economic effect, in terms of some of the goals
8 that we talked about being sought here in

3160

9 terms of employment and visitation?

10 MR. RUSHMORE: Second homes are
11 typically a weekend use, by definition is a
12 second home. So you're not going to benefit
13 the area with anybody coming in or a lot of
14 people coming in midweek that a
15 convention-oriented hotel would attract.

16 MR. RUZOW: In terms of employees and
17 activity, second home --

18 MR. RUSHMORE: Far fewer employees. A
19 hotel is very labor intensive. Typically,
20 you'll have one employee for each room in a
21 hotel, at least.

22 MR. RUZOW: Can you explain the
23 relationship of the timeshare, club share
24 market, this fractional interest market, to
25 resorts in today's market? You talked about
(ALTERNATIVES ISSUE)

1 its reputation in the late '80s as being sort ³¹⁶¹
2 of seedy. What has happened and why has it
3 become important today?

4 MR. RUSHMORE: What's happened is that
5 it's become legitimized by the major hotel
6 brands going into the timeshare business.
7 Timeshares is a major component of Marriott's
8 profits these days. Disney sells hundreds and
9 hundreds of timeshare units a month. Hilton
10 is involved in timeshare. Westin does -- I'm
11 sorry, Starwood does a lot of timeshare work.
12 And even Ritz-Carlton, Four Seasons have
13 timeshare projects. So these have become

14 mainstream now. Very credible people running
15 them, not seedy and illegitimate like it was
16 20 years ago. They form an important
17 component of a resort --

18 ALJ WISSLER: Excuse me. When you say
19 "seedy and illegitimate," what was the evil
20 that was visited upon them?

21 MR. RUSHMORE: The evil was that if
22 somebody developed a resort hotel, independent
23 resort hotel, and it didn't work as a resort,
24 it was poorly managed or not in the right
25 location, didn't have amenities, what they did
(ALTERNATIVES ISSUE)

3162

1 to try to bail themselves out, because they
2 couldn't make money operating as a hotel, they
3 would timeshare the. And they would take
4 these projects that were ill-conceived and not
5 have the right amenities and timeshare it and
6 sell it to unsuspecting buyers who would not
7 -- after a while --

8 ALJ WISSLER: They would timeshare the
9 rooms in the hotel?

10 MR. RUSHMORE: Exactly. Right.

11 MR. RUSHMORE: There are also timeshare
12 developments that were -- didn't have a based
13 resort hotel but just were in a nice area and
14 people were trying to sell them as well; isn't
15 that true?

16 MR. RUSHMORE: There were some, but
17 during the '80s, most of them were hotels that
18 didn't work as hotels so they timeshared them.

19 ALJ WISSLER: And that does not happen

20 now?

21 MR. RUSHMORE: No. If you were to buy
22 a Marriott timeshare or Disney, the units that
23 you would buy would be built specifically for
24 timeshare.

25 A timeshare unit today looks like a
(ALTERNATIVES ISSUE)

1 two- or three-bedroom apartment. It has a ³¹⁶³
2 full kitchen, it has a large living room, has
3 a dining area, it has large bedrooms. It's
4 certainly much more elaborate than a typical
5 hotel room, from a size point of view.

6 So it caters to a different type of
7 market here. It's like a second home that you
8 are selling. But instead of selling it to one
9 owner, you're selling it to 50.

10 ALJ WISSELER: Is the fractional
11 interest always just a couple weeks or can it
12 be longer? Can it be a second home?

13 MR. RUSHMORE: When you're talking
14 timeshare, you're talking one-week intervals.
15 When you talk fractionals, it can be whatever
16 you want. You can have a quarter share --

17 ALJ WISSELER: Which means three months
18 of the year?

19 MR. RUSHMORE: Correct.

20 ALJ WISSELER: So I could be a Florida
21 snowbird with my condo in the Catskills; is
22 that what you're saying?

23 MR. RUSHMORE: Yes.

24 MR. RUZOW: Erich, when you were here

25 last, you described the way in which the
(ALTERNATIVES ISSUE)

1 fractional shares, there's certain number of ³¹⁶⁴
2 weeks in different periods of the year
3 actually sold rather than a block of just one
4 season?

5 MR. RUSHMORE: And that varies. It
6 all depends on the market. What you try to do
7 in a fractional -- as a seller of fractional
8 is that you sell maybe one week in the high
9 -- let's say you have -- you're selling 12
10 fractions, so you're selling four weeks. So
11 you would sell one week in the high season,
12 one week in the -- two weeks in the shoulder
13 season, one week in the low season.

14 But it really differs from fractional
15 to fractional, the markets, the seasonality
16 and so forth. With this, with two seasons,
17 with the golf and the skiing, you have a lot
18 more flexibility on what you are going to
19 sell.

20 MR. RUZOW: Does the time -- does the
21 availability of these lodging units and the
22 fractional interest and the timeshares help
23 the management of the hotel as well?

24 MR. RUSHMORE: It helps the hotel a
25 lot. If you sell a fractional or a timeshare,
(ALTERNATIVES ISSUE)

1 there will be periods of time when the people ³¹⁶⁵
2 don't want to use it and then that goes into
3 your hotel inventory to sell as guest rooms.

4 As I said, these rooms are equivalent
Page 34

5 to large suites in hotels. So they're very
6 desirable for individuals who want more room
7 in their accommodations.

8 The second thing is that if you sell
9 out your fractionals, you will have occupancy
10 in the fractionals on a year-round basis, even
11 during some low seasons. And they will use
12 your amenities. They will play golf and pay
13 to play golf at your resort. They will use
14 your dining room, your food service. So you
15 won't have the peaks and valleys that a
16 seasonal hotel will have if you have a
17 timeshare or fractional component to it.

18 MR. RUZOW: I believe it was
19 Mr. Ellsworth of Cashin Associates'
20 presentation, and in their comments on the
21 DEIS, he noted that in the tables that were
22 included in the Hillier report and the RCI
23 report, that not all of the comparables that
24 were listed in those reports had timeshare
25 components to them. What do you think that's
(ALTERNATIVES ISSUE)

□

3166

1 a function of?

2 MR. RUSHMORE: It's probably a
3 function of timing. As I said, timeshare
4 really has not been adopted in a lot of resort
5 hotels more than 10 years ago. It's a recent
6 phenomena that you see timeshare being a
7 component of a hotel or more of a mixed-use
8 development, they're called now.
9 Ritz-Carlton, Four Seasons have only been

10 selling timeshares for the last five years or
11 so.

12 MR. RUZOW: Is there anything to
13 suggest that this trend is going to go the
14 other way, back to not having timeshares as a
15 component, based on your crystal ball?

16 MR. RUSHMORE: No, it's going to be a
17 more important part of hotel development, more
18 -- particularly upscale hotels. We're seeing
19 this even in center city hotels. You look at
20 related companies that developed the
21 Ritz-Carlton in Boston, the Ritz-Carlton in
22 New York and the Ritz-Carlton in Washington,
23 D.C., they all have residential components.
24 And they're called Condominiums by
25 Ritz-Carlton. They have all the amenities

(ALTERNATIVES ISSUE)

1 -- use of all the services that a Ritz-Carlton³¹⁶⁷
2 hotel would have. So you could buy a
3 condominium and order room service from the
4 Ritz-Carlton restaurant to come up to your
5 condominium.

6 MR. RUZOW: But here we're not talking
7 about a condominium-type ownership, we're
8 focused on the fractional interest shares and
9 timeshares?

10 MR. RUSHMORE: Right.

11 MR. RUZOW: In preparing your report,
12 you relied on the RCI and Hillier Associates
13 reports that were in the DEIS, and then you
14 indicated that these firms are in the
15 -- they're expert in the timeshare marketing.

16 Have you relied on their reports of these
17 firms in the past?

18 MR. RUSHMORE: We have relied on
19 Ragatz reports, where we have -- that's formed
20 the timeshare component of a resort
21 development.

22 MR. RUZOW: We've talked about the
23 changes. These reports were prepared -- the
24 RCI was 2001 and Hillier was in 1999, and
25 you've indicated, has the timeshare market
(ALTERNATIVES ISSUE)

1 changed even in the last two or three years?³¹⁶⁸

2 MR. RUSHMORE: Yes, it has grown in
3 strength. What we noticed after 9/11 was the
4 hotels with the timeshare component might have
5 lost some occupancy for their transient base,
6 but all the timeshare owners came. So as far
7 as the -- the timeshare occupancy was
8 virtually not affected by 9/11.

9 MR. RUZOW: As you know, the Belleayre
10 Resort has these two components, the five-star
11 and four-star hotels that we have talked about
12 in the past. Can you give us an understanding
13 of the factors that will affect the success of
14 establishing a new hotel here in the
15 northeast, sort of the key issues as you see
16 it that you're familiar with? You've been at
17 the site, you've been in the area. You talked
18 about the two-season component. Perhaps talk
19 also about the relationship to the market and
20 the location itself.

21 MR. RUSHMORE: AS I described, the
22 seasonality is important, and whenever you
23 design a hotel, you design to try to maximize
24 the seasons that you can draw people from. So
25 the golf component is a critical component of
(ALTERNATIVES ISSUE)

1 this project. Being a group-oriented hotel ³¹⁶⁹
2 and having enough meeting space is important.
3 Spa is also important because the golf
4 component tends to attract the male customer,
5 the spa tends to attract the female customers.
6 You have some synergies there.

7 The secondary area that is positive is
8 the proximity to large population bases, being
9 New York and Boston and Philadelphia, and some
10 of the secondary cities of Albany.

11 It's relatively easy to get up here.
12 The transportation is good. The driving is
13 easy. That's very important for a resort
14 location is to have access.

15 A lot of resorts depend on airlift to
16 get people there. That would be all the
17 Caribbean resorts, that would be a lot of the
18 Florida resorts, certainly the Hawaiian
19 resorts.

20 If you eliminate that airlift factor,
21 that eliminates one of the risks. Hawaii
22 suffered terribly after the crash of a DC-10
23 approximately 15 years ago because it lost its
24 airlift for three or four months.

25 Another area that is positive for this
(ALTERNATIVES ISSUE)

1 site is the lack of competition, the fact that
2 there is no five-star resort of this type in
3 the northeast. The lack of the golf resorts
4 in the northeast also is a positive for this
5 project.

6 MR. RUZOW: The letter from the
7 National Golf Foundation, in the "Letters"
8 section of Appendix 27 talked of the New York
9 metropolitan area being the 314th out of 314
10 markets in terms of golf, enough golf
11 facilities.

12 MR. RUSHMORE: It's very under-served
13 as far as golf. So the combination of very
14 strong demographics of possible users of this
15 hotel, ease of access, lack of competition and
16 their contemplated facilities, I think makes
17 this an attractive project.

18 MR. RUZOW: The fact it is located in
19 the Catskill Park with some 276,000 of
20 protected forested acres owned by the State,
21 and an increasing number of acres owned by New
22 York City, in terms of protecting the
23 watershed, does that amenity -- obviously the
24 natural beauty of the area -- help the project
25 and help its attractiveness to potential
(ALTERNATIVES ISSUE)

1 visitors?

2 MR. RUSHMORE: Certainly it does.
3 What is even -- I'm not sure more important
4 but equally important is the fact that you
5 have skiing, but you don't have the liability

6 of operating a ski area. So you have the
7 benefit of skiing without incurring the cost
8 of operation.

9 MR. RUZOW: So the State's operation
10 of the Belleayre Ski Center provides a
11 valuable amenity to the resort without the
12 liability of having to operate it, the cost of
13 operating it?

14 MR. RUSHMORE: Correct.

15 MR. RUZOW: Is that an unusual
16 setting, in your experience?

17 MR. RUSHMORE: Not really. There are
18 a lot of hotels that benefit from having a ski
19 area nearby, such as Vail and Aspen. You can
20 have a hotel there and somebody else is
21 operating the ski area for you, so it's not
22 unusual that this occurs, but it's nice when
23 you have it.

24 MR. RUZOW: Is the proximity of the
25 two hotels to the ski center a valuable thing
(ALTERNATIVES ISSUE)

1 in terms of making the -- the hotel successful³¹⁷²
2 during the wintertime?

3 MR. RUSHMORE: Absolutely, they're
4 going to be the closest lodging facilities to
5 the mountain.

6 MR. RUZOW: Are shuttle buses, shuttle
7 vans a technique used by hotels to bring
8 people around in other resort settings?

9 MR. RUSHMORE: All the time, yes.

10 MR. RUZOW: If there's a greater need,
11 in effect, or demand on shuttles, would hotel

12 management provide that in response to -- if
13 guests were -- didn't want to wait too long,
14 et cetera?

15 MR. RUSHMORE: Typically, if the
16 resort allows it, then the hotel will provide
17 that as a service, particularly the five-star.

18 MR. RUZOW: I see. We've talked about
19 the meeting space and the midweek convention,
20 the spa, inclusion in the Big Indian Resort, a
21 spa designed for the market. You're familiar
22 with the Emerson operation as well?

23 MR. RUSHMORE: Yes.

24 MR. RUZOW: Is the attractiveness of
25 spas and their inclusion in a resort becoming
(ALTERNATIVES ISSUE)

3173

1 more commonplace at the higher end of the
2 market?

3 MR. RUSHMORE: Yes, it's very unusual
4 today to have a five-star resort without a
5 fairly substantial spa. And particularly, if
6 you have a golf course -- as I explained, a
7 woman typically wants to go to a resort with a
8 spa, men typically want to go to a resort for
9 golf. So if you have one, you really need the
10 other.

11 ALJ WISSLER: You should be careful,
12 Mr. Rushmore.

13 MR. RUZOW: Your Honor, I believe he's
14 just calling them as he sees it. He's not
15 offering an opinion one way or the other on
16 whether it's a good or bad thing. He's just

17 observing it.

18 The mix of amenities, from a business
19 plan perspective, the resort offers golf,
20 skiing at Belleayre, health spa, business
21 conference facilities, the family recreation
22 component, which is the wildacres, and that --
23 you have had a chance to look at that
24 recreational piece as well?

25 MR. RUSHMORE: Yes.
(ALTERNATIVES ISSUE)

3174

1 ALJ WISSLER: Is that something that
2 would be attractive -- and Mr. Elander when he
3 was here from Snow Engineering, Walter
4 Elander -- talked about resort development in
5 mountainous areas having a managed program by
6 the hotel for these types of activities for
7 children or people who want to have wilderness
8 adventures, et cetera. Is that commonplace in
9 your experience at resorts?

10 MR. RUSHMORE: Yes, it's very
11 important to offer a wide range of activities.

12 For example, when I travel with my
13 groups, I don't play golf, so I need some
14 other type of amenity that's going to keep me
15 happy during the time the rest of the group is
16 playing golf.

17 Also, you need to look at -- I keep
18 saying that the key to success is to get a
19 group to extend their stay or get the
20 individual traveler to stay another day. So
21 the more activities that you have, either on
22 the resort or in the surrounding area,

23 benefits everybody; benefits the surrounding
24 area, but also benefits the resort in that
25 somebody has something to do, extending their
(ALTERNATIVES ISSUE)

1 stay, and also during the periods of time when ³¹⁷⁵
2 the weather doesn't permit doing certain
3 activities. So the more activities at the
4 resort, and also the more activities in the
5 area benefits everybody.

6 MR. RUZOW: Is the development of
7 programs and agreements regarding local
8 touring and local touring opportunities,
9 again, outside the resort, a component these
10 days in resort management, destination resort
11 management?

12 MR. RUSHMORE: Absolutely, you work
13 with all your local recreational-type
14 activities to provide that.

15 MR. RUZOW: And local Chambers of
16 Commerce, you mentioned antiquing and other
17 things when you go to different places --
18 that's something that the hotel or resort
19 would identify for folks and provide them with
20 guidance on?

21 MR. RUSHMORE: Correct.

22 MR. RUZOW: Dr. Alschuler, in his
23 written comments that were part of CPC's, I
24 believe it was attachment or Exhibit P to the
25 petition, identified three facilities that he
(ALTERNATIVES ISSUE)

1 characterized as more ecosensitive or ³¹⁷⁶

2 ecotourism-based resort. Those three
3 facilities were, one in Spring Island, South
4 Carolina, which was a residential community,
5 and Applicant's Exhibit 88 is a printout of a
6 description of Spring Island. I'm assuming
7 it's the same Spring Island development that
8 Dr. Alschuler was referring to. Something
9 called the Reserve, another residential
10 community in Indian Wells, California. He
11 also mentioned the Fairmont Sonoma Mission
12 Inn. With respect to the residential
13 communities, do they bear any comparable
14 relationship to a resort hotel?

15 MR. RUSHMORE: No, they don't. These
16 appear to be second-home developments.

17 MR. RUZOW: With golf?

18 MR. RUSHMORE: With golf. And I
19 pretty much know every hotel in the United
20 States, and I'm not aware that these
21 residential communities have any hotel
22 component to them.

23 MR. RUZOW: Are you familiar with the
24 Fairmont Sonoma Mission Inn and Spa?

25 MR. RUSHMORE: Yes, we have done work
(ALTERNATIVES ISSUE)

3177

1 on that property over the years.

2 MR. RUZOW: Can you describe for us
3 its setting, in terms of it being comparable
4 to this type of resort?

5 MR. RUSHMORE: The Sonoma Mission Inn
6 is located in downtown Sonoma, California,
7 which is a wine country of California. The

8 surrounding outskirts are very attractive.
9 This facility is in -- not the most desirable
10 part of Sonoma. It's a downtown property,
11 it's completely surrounded by residential and
12 retail development. I don't consider it a
13 resort whatsoever. It's a nice hotel with a
14 large spa component, so it would be more of a
15 spa than a resort.

16 MR. RUZOW: Is the -- the issue of
17 ecotourism, and this area being attractive for
18 ecotourism, are you familiar with any hotel
19 resorts that have been built in the northeast,
20 or the U.S. even, in the last five years that
21 have had as its center rather than a golf
22 attraction, an ecotourism type of attraction?

23 MR. RUSHMORE: I'm not aware of any,
24 and we have a division of our company that --
25 actually my daughter started -- it's called
(ALTERNATIVES ISSUE)

1 HVS EcoServices, that helps hotels become 3178
2 environmentally sensitive. But I'm not aware
3 of any ecoresorts that are looking to attract
4 ecovisitors.

5 MR. GERSTMAN: I'm sorry, I'm really
6 having a hard time hearing.

7 MR. RUSHMORE: I'm not aware of any
8 ecoresorts that are designed to attract the
9 eco-conscious visitor.

10 MR. RUZOW: In terms of your division,
11 it deals with management techniques and issues
12 that can help hotels be more sensitive?

13

MR. RUSHMORE: Correct.

14

MR. RUZOW: Sewage treatment plant or diminishing water use or reuse of water, et cetera, so those are the types of things?

15

16

17

MR. RUSHMORE: Right. Diminishing water use, recycling programs for hotels, waste management, we set up those programs for hotels.

18

19

20

21

MR. RUZOW: And those programs for hotels are typically designed once you have, you know, in effect, more details than you have today for this hotel?

22

23

24

25

MR. RUSHMORE: That's correct.
(ALTERNATIVES ISSUE)

□

3179

1

MR. RUZOW: From your experience with hotels throughout the U.S. and internationally, is it reasonable to expect the central Catskills to evolve into the kind of ecological destination of either national or international acclaim because -- akin to the rainforests of Central or South America?

2

3

4

5

6

7

8

MR. RUSHMORE: I don't believe so.

9

10

MR. RUZOW: Why is that? It's clearly an area of tremendous natural beauty with a large demographic nearby. From the hotel industry perspective, is there a factor?

11

12

13

MR. RUSHMORE: I don't think the market is deep enough to attract enough people to make a hotel sustainable as strictly an ecoresort.

14

15

16

17

MR. RUZOW: Would a small lodging unit -- we've seen lots of small lodging units

18

19 around here. Last week we heard from the
20 owner whose family's had a 24-unit inn since
21 1936. Would something on that scale be more
22 possible?

23 MR. RUSHMORE: That would be more
24 possible, that a hotel like that would sustain
25 it, but I would have doubt that that type of
(ALTERNATIVES ISSUE)

3180

1 hotel would be economically feasible to
2 survive, just as a small hotel.

3 MR. BAUM: Can I add to that?

4 MR. RUZOW: Yes, sure.

5 MR. BAUM: I think also the type of
6 people who would be coming to this hotel could
7 have a natural experience of the sort you have
8 here in an area probably close to their own
9 homes simply by going on a hike. When you're
10 talking about an actual ecological
11 destination, you're talking about a completely
12 different setting, leaving the country or
13 something you wouldn't be able to see in your
14 surroundings.

15 MR. RUZOW: So the experience of the
16 region to date, which is day-trippers coming
17 in and out to hike, or some folks staying at
18 some of the local lodges for a few days or a
19 weekend, is as much as one would expect? Is
20 that fair?

21 MR. BAUM: I'm saying you wouldn't
22 have to pay to get in your car to go and drive
23 to the mountains to take a hike. It's

24 something you can do that would be an
25 alternative to coming to the Catskills. You
(ALTERNATIVES ISSUE)

3181

1 wouldn't pay for the five-star hotel
2 experience to have that.

3 MR. RUZOW: So the market, in effect,
4 as you said, the market isn't there; right?

5 MR. BAUM: Yes.

6 MR. RUZOW: Some commentators have
7 questioned the need for the proposed size of
8 the Belleayre Resort, whether it's 150 and
9 200-room hotel, and the additional 330 lodging
10 units. How does that relative scale compare
11 with the industry and the kinds of places that
12 would be, not perhaps in this immediate
13 region, but outside that would be competitive?

14 MR. RUSHMORE: With 400 lodging units,
15 I would consider that a large hotel. It's not
16 a mega hotel, but certainly not a small hotel.
17 So I would characterize it as a large hotel.

18 MR. RUZOW: So the 400 rooms, plus the
19 330 lodging units?

20 MR. RUSHMORE: That's right.

21 MR. RUZOW: Both of those components?

22 MR. RUSHMORE: Right.

23 MR. RUZOW: You talked before about
24 the advantages of having the lodging units,
25 when they're vacant, to the hotel. Are there
(ALTERNATIVES ISSUE)

3182

1 particular seasons where that becomes more
2 important in the economic -- in the cash flow
3 of a hotel?

4 MR. RUSHMORE: For a seasonal hotel
5 where you have high peaks and valleys, you
6 need to create more rooms in order to make
7 more money during the peak periods, because
8 during the low periods, most your rooms are
9 going to be empty. So you need to have enough
10 inventory or rooms to sustain yourself during
11 the relatively short peak periods in order to
12 survive the nonpeak periods. So having more
13 rooms than you would typically have are
14 usually required for seasonal-type properties.

15 MR. RUZOW: And that would be true
16 -- and this is a seasonal property in that
17 sense?

18 MR. RUSHMORE: Absolutely.

19 MR. RUZOW: And mountainous areas tend
20 to be seasonal?

21 MR. RUSHMORE: Correct.

22 MR. RUZOW: Going back for just a
23 second in terms of your comments about the
24 occupants and getting someone to stay an extra
25 day; in the economics of managing the hotel,
(ALTERNATIVES ISSUE)

1 is there a different labor need when you have³¹⁸³
2 a high turnover of the room compared to more
3 extended-stay hotels?

4 MR. RUSHMORE: Extended-stay hotel is
5 more profitable than a hotel where guests turn
6 over all the time. You have a Residence Inn,
7 that's a product where people stay two or
8 three weeks, would be a lot more profitable

9 than a, say, a Courtyard which is a similar
10 product where there's turnover.

11 So when somebody comes to a hotel and
12 then leaves the hotel, it takes a maid longer
13 to make up a room when somebody leaves.
14 There's more things to check and clean. You
15 have to have more people at the front desk.
16 You have to have more bell people, you need
17 more accounting people, you have more folios
18 coming through.

19 MR. RUZOW: What's a folio?

20 MR. RUSHMORE: The folio is an
21 accounting sheet that shows what you've spent.
22 So there's more accounting needs for -- if you
23 have more people staying in your hotel over
24 shorter periods of time.

25 So anytime you can increase that
(ALTERNATIVES ISSUE)

1 length of stay one day, two days, that makes
2 your hotel more economic, from a labor point
3 of view and operational point of view.

3184

4 MR. RUZOW: It is also a corollary
5 benefit to the region of having people who
6 will visit, in effect, will have a longer
7 opportunity to visit other places at the same
8 time?

9 MR. RUSHMORE: Right.

10 MR. RUZOW: So it's a win-win?

11 MR. RUSHMORE: It goes hand-in-hand,
12 absolutely.

13 MR. RUZOW: Another commentator
14 suggested that the timeshare lodging units

15 could somehow be eliminated or reduced in
16 number, since in your analysis of the
17 feasibility of the project from a hotel
18 investor perspective will ignore the return on
19 the timeshare facilities in making a judgment
20 about whether it's feasible. Is that a valid
21 point, eliminating -- can you eliminate
22 consideration of lodging units simply because
23 your methodology for assessing feasibility
24 doesn't look to them in the first instance for
25 crossing that threshold or making that first
(ALTERNATIVES ISSUE)

3185

1 hurdle?

2 MR. RUSHMORE: Under our Scenario 1,
3 we came up with an internal rate of return of
4 14.7 percent. And we stated that the cutoff
5 for this type of resort in this area would be
6 about 14 percent. It's marginally -- it's
7 feasible, but it's not -- it's marginally
8 feasible. My opinion, you'll get investors
9 interested, you'll get lenders interested in
10 coming in, based on the IRRs that we came up
11 with in Scenario 1.

12 ALJ WISSLER: That 14 percent rate of
13 return is return on your investment; right?

14 MR. RUSHMORE: Correct. It's their
15 total investment. So it could be a
16 combination of debt, it could be a combination
17 of equity. You have leverage. You have debt
18 and equity, but we looked at it as a combined
19 debt and equity, which is 14.7 percent.

20 As I said, that's feasible, but it's
21 not a home run. There will be a lot of
22 investors that won't touch it for that type of
23 return. It's simply not high enough for some
24 investors.

25 By adding the timeshare, you're going
(ALTERNATIVES ISSUE)

3186

1 to get more investors interested in this.
2 You'll probably be able to raise more capital.
3 Probably initially you'll offer them a lower
4 rate of return. By having that extra rate of
5 return that you might get from a timeshare --
6 and at this point in time, without getting the
7 hotel up and operating, no one can really say
8 with any certainty that the timeshare
9 component will be totally feasible. But
10 assuming that it is, that will attract more
11 investors and give this project a better
12 chance of succeeding over an extended period
13 of time. It will -- by having more
14 investment, more capital coming in, because
15 you have an opportunity to have a higher rate
16 of return, I think the downside of having the
17 resort get into financial trouble during its
18 early years will be reduced.

19 MR. RUZOW: We're going to get into
20 this a little more in a moment. You have
21 talked about the importance of having a flag,
22 a brand associated with it. And it's indeed
23 the Applicant's objective is to obtain that.
24 But are the prospects of getting a brand, a
25 flag, associated with a five- or four-star

3187

1 hotel improved by having the number of lodging
2 units that we have proposed? In other words,
3 they see, as part of the project contemplates,
4 some 330 lodging units?

5 MR. RUSHMORE: Marginally improved.
6 As I said initially, I think it's going to be
7 very easy to get a flag. So having the
8 lodging units, I don't think will impact
9 obtaining the flag significantly. What it
10 will do is assist in obtaining financing.

11 ALJ WISSLER: It will draw investors?

12 MR. RUSHMORE: Yes.

13 MR. RUZOW: Let's talk about the
14 risks. We've had -- both when Erich was here
15 and subsequently -- concerns raised about
16 bearing risks associated with a project like
17 this. And indeed from the Applicant's
18 perspective, the reason that it retained you
19 and retained Mr. Ragatz and Mr. McMullen and
20 Hillier Associates was to have a better
21 understanding going into the development of
22 this of where you can -- what hurdles or traps
23 or pitfalls might occur, in general, as well
24 as when placed in this particular area, given
25 its history and the struggles for increased
(ALTERNATIVES ISSUE)

3188

1 tourism.

2 Let me turn to you to sort of educate
3 us a little bit about the series of risks in
4 the hotel hospitality business that you have

5 to face and provide for.

6 MR. RUSHMORE: The initial risk for
7 this property, I think the most significant
8 risk is the permitting risk. The risk that
9 we're not going to be able -- the owners are
10 not going to get the permit to actually build
11 this hotel. And that is a risk that you
12 really can't bond or insure or whatever.
13 You're out there, you make your case and you
14 either get it or you're not going to get it.

15 To me, that is the biggest risk at
16 this point in time looking at this project.

17 MR. RUZOW: And there's a series of
18 investors who, notwithstanding that risk, have
19 put up money?

20 MR. RUSHMORE: That's right. So they
21 evaluated the risk and they're accepting it
22 and they're going forward at this phase.

23 Once you get permitted, you face
24 another risk, and that's your development
25 risk, your risk of having cost overruns when
(ALTERNATIVES ISSUE)

1 you actually build the hotel, the risk that ³¹⁸⁹
2 you don't get it open on time. So that -- we
3 call that the development risk. That's the
4 construction and getting the hotel to a point
5 of opening. That risk can be mitigated by
6 hiring a good contractor, good architects,
7 good construction management. You can bond
8 that risk. So that risk is fairly
9 controllable if you really understand what
10 you're doing.

16 penetrate the market and create an instant
17 identity with the traveler, but more
18 importantly with the groups. What Marriott
19 has, what Hyatt has, what Starwood has, all
20 the chains, they know every group in the
21 United States, and also around the world in
22 many cases. They know who the decision-maker
23 is that's going to place that group in a hotel
24 sometime during the year. They know when the
25 decision is going to be made, and they're in
(ALTERNATIVES ISSUE)

3191

1 front of that decision-maker to get them to
2 come to your hotel. That infrastructure you
3 get automatically when you go with a chain.
4 If you try to do this independently on your
5 own, you have to create that infrastructure by
6 yourself, and that takes a long time.

7 ALJ WISSLER: What kind of periodic
8 review is there by Ritz-Carlton or Four
9 Seasons to know the resort maintains their
10 standards?

11 MR. RUSHMORE: Ritz-Carlton puts their
12 own management team into the hotel, so they're
13 there every day.

14 MR. RUZOW: In terms of other risks,
15 your resume indicates that you have been
16 -- you indicated you've done workouts, you
17 appeared before the bankruptcy court, as I
18 counted over 20 times, as an expert witness.
19 You have categorized various types of risks
20 and how you can mitigate them. Capitalization
21 and having cash and understanding how much

22 cash you're going to need or how long you are
23 going to need a backup cash to operate before
24 you reach a stabilized level of occupancy, it
25 seems to be a fundamental issue?
(ALTERNATIVES ISSUE)

3192

1 MR. RUSHMORE: Correct.

2 MR. RUZOW: Explain -- I think, Erich,
3 you did when you were here last, the
4 stabilization, how long it takes to get to a
5 stabilized point for a resort like this.

6 MR. RUSHMORE: For our hotels, we have
7 a term called "stabilized occupancy rate," and
8 that's a point in time where a hotel reaches
9 what we consider an occupancy and rate based
10 on local market conditions that we call
11 "stabilized." And typically, for a resort
12 like this, it would be in the high 60s, low
13 70s for occupancy. And I imagine that the
14 rate would be, depending on which property, 2-
15 to \$300 a night, once it opens. It takes a
16 while --

17 ALJ WISSLER: That occupancy rate is
18 an annualized rate, that 60 percent?

19 MR. RUSHMORE: That's correct. It
20 will take a while to build up to that level.
21 It may start in the 40s, 50s the first year,
22 and maybe 60s, and then maybe 70 the third or
23 fourth year.

24 So it typically takes, for a hotel
25 like this, three to four years, particularly
(ALTERNATIVES ISSUE)

3193

1 group-oriented hotels that head the book
2 several years out in advance. As a result,
3 you need to be able to carry the hotel, pay
4 the debt service, pay the management company,
5 maintain the hotel during this period of time
6 that it may be unprofitable during the
7 buildup. If that buildup extends out five to
8 six years, then that means you need to have
9 more money to cover the shortfalls during that
10 period of time.

11 This is all calculated in the
12 feasibility -- full feasibility study that you
13 ultimately do, the full financial projections.
14 Once you have the operator, you do all this.
15 But you may run into situations such as a
16 downturn in the economy, such as a terrorist
17 attack, that can impact your cash flow and
18 impact the time it takes you to reach
19 stability, and you need capital to carry that.

20 And some developers have capital to do
21 it and some don't have capital. The ones that
22 don't have the capital are the ones that get
23 in trouble with their lenders and go through
24 foreclosure and maybe bankruptcy as part of
25 the foreclosure process.

(ALTERNATIVES ISSUE)

□

1 ALJ WISSLER: As an aside, is there an ³¹⁹⁴
2 industrywide formula for what kind of working
3 capital you need to have set aside
4 depending -- as a function of the size of
5 project that you're undertaking? Do you
6 understand what I'm saying?

7 I mean, is there a number that you
8 come up with, say, we need 30 million a year
9 to operate this thing; we need to know we have
10 got letters of credit for 90 million or
11 something like that that will carry us three
12 years?

13 MR. RUSHMORE: Yes. Before the lender
14 commits, they are going to want to see a full
15 market study and financial projection going
16 out eight to ten years. And that projection
17 will tell you the type of reserves you are
18 going to need to fund the initial operating
19 loss during the buildup period. That's all
20 taken into account by the lender.

21 The lender will actually ask
22 -- they'll keep the debt service, they're
23 going to keep the reserve for replacement,
24 they'll sweep out some of the profits during
25 the peak seasons. They all have control over
(ALTERNATIVES ISSUE)

1 that money, so it's not given to the owner 3195
2 prematurely and not be there to cover a
3 downturn or cover the off-season or so forth.
4 So that's all planned out.

5 And in today's economy, I would be
6 surprised if a lender gave you much more than
7 a 60 percent loan to value -- or debt coverage
8 ratio of much more than 1.4 times. So the
9 lender will be very conservative, which will
10 mean you will have to raise a lot of equity to
11 do this deal, which means that there will be a

12 cushion in order to pay the debt service to
13 get the deal done.

14 MR. RUZOW: The type of analysis or
15 pro forma that would be developed for a lender
16 is not something that is capable of being done
17 at this stage?

18 MR. RUSHMORE: Absolutely not. You
19 don't know what facilities there are going to
20 be. You don't know who the operator, what
21 chain. All that needs to be done before you
22 will attract a lender or investor.

23 MR. RUZOW: Dr. Alschuler had
24 suggested that what you have done in
25 determining your feasibility was never
(ALTERNATIVES ISSUE)

1 something he would use or provide to an
2 investor to determine an investment choice.

3196

3 MR. RUSHMORE: I wouldn't either, but
4 it's too premature at this point to do that
5 type of analysis without knowing exactly what
6 project you are analyzing.

7 MR. RUZOW: So the pro forma that he
8 is talking about and that you're talking about
9 presenting to a bank is something that is done
10 at a different stage of the review than at
11 this stage?

12 MR. RUSHMORE: Absolutely.

13 ALJ WISSLER: They're all part of the
14 same continuum; financial analysis?

15 MR. RUSHMORE: Yes.

16 MR. RUZOW: Can you explain the
17 difference between an appraisal and a

18 feasibility analysis?

19 MR. RUSHMORE: An appraisal is really
20 the last part of a feasibility analysis. We
21 do a lot of appraisals, but every one of our
22 appraisals has a feasibility analysis. We
23 call it a market study, where you analyze the
24 market, the supply, the demand, you do a
25 forecast of income and expense. You can call
(ALTERNATIVES ISSUE)

3197

1 that a market study, you can call that a
2 feasibility study; but you need to do that in
3 order to do an appraisal.

4 So an appraisal is really a
5 feasibility study taken one step further where
6 you value the cash flows of the feasibility
7 study.

8 MR. RUZOW: How does a market
9 analysis, investment demand, valuation, how
10 does that all interact in the context of
11 performing an analysis on feasibility?

12 MR. RUSHMORE: Very simply you have to
13 do a market study in order to forecast your
14 income and expense, your cash flow. Once you
15 get your cash flow, you can either value that
16 cash flow and come up with a value, or you can
17 do an IRR and come up with your -- essentially
18 your discount rate or your IRR.

19 If you value it, then what you do is
20 you compare the value, come up with the market
21 value of how much your hotel is going to be
22 worth, and you compare that to the cost of the

23 building. So if you come up with a -- if it's
24 going to cost you \$75 million to build the
25 hotel and you come up a value of \$100 million,
(ALTERNATIVES ISSUE)

1 it's feasible. That's one way of looking at ³¹⁹⁸
2 feasibility.

3 Or if instead of valuing it, you do an
4 IRR based on cost and come up with a
5 14.7 percent IRR, that's another way of saying
6 it's feasible. So we're saying the same
7 thing, we're just looking at the equation --

8 ALJ WISSLER: Part of that analysis
9 depends upon what comes out at the end of the
10 pipe. In other words, it has to be a
11 five-star resort that comes out at the end of
12 the pipe. You wouldn't do this for Motel 6,
13 not that there's anything wrong with Motel 6?

14 MR. RUSHMORE: Right.

15 MR. RUZOW: In your choice, in
16 response to the assignment that you were given
17 to determine the feasibility of eliminating
18 one or more of the components of the project,
19 you relied on the IRR methodology?

20 MR. RUSHMORE: Correct.

21 MR. RUZOW: Is this a methodology
22 -- this is for a proposed resort. I want to
23 draw a distinction. You use different
24 methodologies for purposes of looking at
25 feasibility, perhaps for proposed resorts
(ALTERNATIVES ISSUE)

1 versus existing facilities -- existing ³¹⁹⁹
2 facilities you have more information available

3 to you --

4 MR. RUSHMORE: Right. The methodology
5 is basically the same. As you say, for an
6 existing hotel, you have how it's actually
7 operating. You know what the income and
8 expense historically is, and you're taking a
9 historic point and projecting out into the
10 future. The proposed hotel, you don't have
11 that buildup of operating history that you can
12 rely on.

13 MR. RUZOW: You used an IRR of
14 14 percent as a means of testing the
15 feasibility of the project as a whole, with
16 all of its elements, the hotel elements; but
17 separating out the timeshare and subdivision
18 components. Dr. Alschuler, at least at one
19 point, didn't question the 14 percent but
20 questioned your reliance on costs, the costs
21 rather than capital invested. You relied on
22 the cost -- you relied on -- and to my
23 knowledge, other than wages, no one has
24 questioned the cost components that you relied
25 on. They all seemed to be within reasonable
(ALTERNATIVES ISSUE)

1 ranges and reasonable expectations. He said ³²⁰⁰
2 that he would never present this methodology
3 to an investor.

4 why are you comfortable with the
5 methodology that you have used in determining
6 both the IRR and the analysis that projected a
7 14.7 combined result, and less than that for

8 the other components? And Erich Baum --
9 between the two of you.

10 MR. RUSHMORE: I read his testimony,
11 and I think we're saying the same thing.
12 We're just using different terminology.

13 MR. RUZOW: When you said you read his
14 testimony, we had shared with you a rough
15 draft of testimony that the court reporter had
16 provided, so you -- that's what you read?

17 MR. RUSHMORE: That's right, trying to
18 understand what he was saying. I think we're
19 saying the same thing. We're saying -- when
20 you do an IRR in year zero, you have an
21 outflow of capital. And then hopefully year
22 one, two, all the way up to year 10, you have
23 inflows. IRR is basically what is the
24 discount rate that will discount the inflows
25 to equal the outflow. He calls the outflow
(ALTERNATIVES ISSUE)

1 capital, I call the outflow cost. So if it's³²⁰¹
2 going to cost you --

3 ALJ WISSLER: 240 million.

4 MR. RUSHMORE: -- 240 million to build
5 your hotel, you have to have 240 million of
6 capital to build the hotel. Now, he calls
7 that -- maybe there's going to be a debt
8 component and an equity component. And I say,
9 fine, I agree with you. There's going to be a
10 debt component and an equity component. He
11 seems to say that he's only interested in what
12 the equity component return is, which is fine.
13 I have no problem with that. That's how I

14 value a hotel. I value using a weighted cost
15 of capital of debt and equity.

16 If you want to look at just the equity
17 component, what return would the equity
18 component be satisfied with, that return would
19 be probably 20 to 25 percent because of
20 leverage. The equity component would want
21 that as much return.

22 I could have done the calculation the
23 same way and assumed a mortgage and take my
24 cash flow down to equity and look at just an
25 equity IRR, and I would have come up with
(ALTERNATIVES ISSUE)

□

1 probably about 25 percent, which I would
2 justify because that's a good hurdle rate for
3 the equity component.

3202

4 So I think we're saying it the same
5 way. For simplicity, and the fact that the
6 real estate industry and the hotel industry,
7 in particular at this point in the project
8 development cycle, which is very early on,
9 using a combined mortgage equity is a lot
10 simpler and clearer to look at at this point.

11 ALJ WISSLER: Which was your point
12 just before when you said you're, in effect,
13 both right but you're in a different point in
14 the process?

15 MR. RUSHMORE: That's right.

16 MR. RUZOW: In performing this
17 analysis, is the differential between
18 -- assuming for the sake of argument that you

19 were to employ this other technique and you
20 were to then take into account the alternate
21 scenarios, are you likely to see much in the
22 way of any different differential between
23 performance?

24 MR. RUSHMORE: We're going to come up
25 with the same conclusion no matter what
(ALTERNATIVES ISSUE)

1 technique we're using. It's going to come out ³²⁰³
2 that scenario 1 is the only reasonable
3 alternative at this point in time.

4 MR. RUZOW: The differences are so
5 dramatic in terms of the return for these
6 other scenarios, is what you're saying?

7 MR. RUSHMORE: Yeah, but even if they
8 were close --

9 ALJ WISSLER: Which other scenarios,
10 like wildacres only, Big Indian?

11 MR. RUZOW: Right, I'm sorry.

12 MR. RUSHMORE: Even if they were close
13 -- as I said, the techniques we're using are
14 basically the same. He seems to be looking at
15 just the equity component and not the overall
16 debt and equity component.

17 If I just carved out the equity
18 component, as I said, the equity would
19 probably be a return of 25 percent. And the
20 other ones would probably be low 20 percent,
21 which means that scenario 1 would still be the
22 only one that is feasible at this point in
23 time.

24 ALJ WISSLER: We're talking about a
Page 66

25 resort that provides folks, where we can, with
(ALTERNATIVES ISSUE)

1 an extended stay. For the two major seasons, ³²⁰⁴
2 you have got winter and you've got summer.
3 For the summer season, that draw is golf; all
4 right?

5 MR. RUSHMORE: The main draw. And
6 meeting space for groups.

7 ALJ WISSLER: So we have spas for the
8 women and men, we have golf for the women and
9 men, we have conference rooms, we have
10 world-class restaurant that will please the
11 palate of the most demanding gourmand; right?

12 MR. RUSHMORE: Right.

13 ALJ WISSLER: Why can't we do that all
14 in one hotel?

15 MR. RUSHMORE: Because you need --

16 ALJ WISSLER: In other words, you have
17 said that -- you have testified at bankruptcy
18 proceedings, you have watched these operations
19 from start to finish, you have watched them
20 fail.

21 MR. RUSHMORE: Right.

22 ALJ WISSLER: I need to understand,
23 alright -- but again, ultimately related to
24 the environment -- but I need to understand
25 how there is less risk by building two hotels
(ALTERNATIVES ISSUE)

1 than there is in doing everything you want to ³²⁰⁵
2 do but with one hotel.

3 MR. RUSHMORE: I agree with you that

4 there would be -- it would be better to build
5 one hotel, if you were going after just one
6 market. What's happening here is that you're
7 building a five-star hotel and you're -- a
8 five-star hotel with not a lot of meeting
9 space that is catering to the upper-end user,
10 as far as rate goes. This is very important.
11 Really, the key to success of a hotel is not
12 occupancy, it's room rate. You need to be
13 able to get as high a room rate as you can to
14 support the overall project.

15 A five-star hotel cannot be a
16 meeting-oriented hotel. People that want to
17 go to a five-star hotel, they want to be
18 isolated. They want to be by themselves.
19 They don't want a meeting down the hall in the
20 banquet room disturbing their stay.

21 The other hotel is going to be a
22 four-star hotel, and that is going to be the
23 group-oriented hotel. That is critical to get
24 people to come there during the week to build
25 up that week business. You cannot put the
(ALTERNATIVES ISSUE)

1 five-star hotel on top of the four-star hotel³²⁰⁶
2 and have a mix of people.

3 ALJ WISSLER: You can't combine them?

4 MR. RUSHMORE: You can't combine them.

5 ALJ WISSLER: Can you do one or the
6 other in this scenario? What if you just said
7 we're going to build a single four-star hotel?

8 MR. RUSHMORE: Then you're not going
9 to get the revenue that a five-star hotel is

10 going to bring. Remember, rate is very
11 important in order to get enough revenue. You
12 have got a tremendous infrastructure here that
13 you have to support. So that means then you
14 have to have room count, and then you have to
15 have at least one source of real high revenue.
16 Because your five-star hotel, when that is
17 full, is going to generate the profit that is
18 going to support everybody.

19 The four-star hotel is not going to
20 have the room rate, but it's going to get you
21 the occupancy during the midweek so you don't
22 have to lay people off during the middle of
23 the week because you have nobody there.
24 You're going to have a much easier operation
25 during the week because you have that
(ALTERNATIVES ISSUE)

3207

1 four-star hotel.

2 MR. RUZOW: The calculation of the
3 return for the wildacres alone scenario was
4 what?

5 MR. RUSHMORE: wildacres was
6 8.4 percent. It's not going to work.

7 MR. RUZOW: One comment during one of
8 the presentations was that -- a concern over
9 the scale and the suggestion that somehow some
10 condition might be attached to a permanent
11 decision that would make the buildout of the
12 lodging units somehow conditioned on some
13 future event or the future decision by a
14 permitting agency. How would a hotel view

15 that type of condition in terms of looking at
16 the feasibility of the project?

17 MR. RUSHMORE: Depends on the
18 condition.

19 MR. RUZOW: If the condition left the
20 discretion to build further on something other
21 than a point in time or the completion of a
22 physical component of the project, for
23 example, whether monitoring some ecological
24 condition or traffic or something else that
25 was not defined, but just within the
(ALTERNATIVES ISSUE)

3208

1 discretion of the agency?

2 MR. RUSHMORE: I would say, based on
3 my experience, that would make the addition of
4 the lodging units very speculative. And I
5 don't think an investor would factor much into
6 their analysis, assuming that that may not
7 occur.

8 MR. RUZOW: So if based on -- at the
9 point down the road that permits were granted,
10 and you do, in effect, a different pro forma
11 and an analysis and contingencies are
12 identified, a permanent condition would be one
13 of the contingencies you looked at, I assume,
14 in evaluating the risk for an investor?

15 MR. RUSHMORE: Correct.

16 MR. RUZOW: And the more conditions,
17 the more uncertainties, the greater the risk
18 in terms of evaluation?

19 MR. RUSHMORE: Absolutely. As I said,
20 the biggest risk to this project is the phase

21 that we're in right now because of the
22 uncertainties.

23 MR. RUZOW: So if there are important
24 components of the project that are at risk in
25 terms of the ultimate decisions, then from an
(ALTERNATIVES ISSUE)

1 investor's point of view, that will be looked ³²⁰⁹
2 at very closely in deciding --

3 MR. RUSHMORE: Right. And probably
4 discounted as not achievable as internal rate
5 of return for their investment evaluations.

6 MR. RUZOW: Do flag hotels have the
7 ability to have a stabilized occupancy more
8 rapidly than an independent?

9 MR. RUSHMORE: Yes, that typically
10 occurs for flag hotels.

11 MR. RUZOW: So your characterization
12 of a two, three, four-year period of time is
13 based on a flag association?

14 MR. RUSHMORE: That's correct.

15 MR. RUZOW: Based on your experience
16 with resorts in other communities, indeed
17 around the world, have you seen instances
18 where this resort -- it was characterized in
19 several places as being separate from -- let
20 me step back for a moment.

21 The Belleayre -- the Big Indian
22 Resort, which is to the east, the five-star
23 resort, will not be able to be seen from the
24 corridor, Route 28 Corridor. Is that
25 visibility or invisibility helpful, hurtful in
(ALTERNATIVES ISSUE)

1 the way the project will be viewed?

2 MR. RUSHMORE: I would say it's
3 helpful.

4 MR. RUZOW: For a five-star, the
5 exclusivity is important?

6 MR. RUSHMORE: Right.

7 MR. RUZOW: And Wildacres, the hotel
8 itself, would not be visible from Route 28,
9 but will be very visible and prominent from
10 County Route 49A. For a four-star, is that a
11 positive thing? It will be at the base of the
12 road to the ski center. Is that a positive
13 thing?

14 MR. RUSHMORE: I don't really think
15 it's positive or negative whether it's visible
16 or not. A resort is not going to attract
17 somebody driving down the highway and seeing a
18 sign and pulling in for the night. They
19 usually have reservations.

20 MR. RUZOW: So it's general access to
21 the region is what's most important?

22 MR. RUSHMORE: That's right.

23 MR. RUZOW: In your experience, have
24 resorts, mountain resorts or destination
25 resorts, have a positive effect on the local
(ALTERNATIVES ISSUE)

1 economy in terms of its impact, visitation
2 impact on hamlets in the area if there are
3 nice little restaurants or shops, or you
4 mentioned maybe tubing -- is it your
5 experience that the visitation is positive

6 from an economic point of view?

7 MR. RUSHMORE: Absolutely. This
8 resort will have very positive effects on this
9 area.

10 MR. RUZOW: And the level and volume
11 of visitation, both during the week and on
12 weekends, that will increase the level of
13 visitation?

14 MR. RUSHMORE: Absolutely.

15 MR. RUZOW: Thank you. We're
16 completed with this.

17 ALJ WISSLER: Why don't we take ten.

18 (11:21 - 11:38 A.M - BRIEF RECESS
19 TAKEN.)

20 (RESUME OF KEITH S. PORTER RECEIVED
21 AND MARKED AS WATERSHED COMMUNITIES EXHIBIT
22 NO. 7, THIS DATE.)

23 (DELAWARE COUNTY COMPREHENSIVE
24 STRATEGY RECEIVED AND MARKED AS WATERSHED
25 COMMUNITIES EXHIBIT NO. 8, THIS DATE.)
(ALTERNATIVES ISSUE)

1 ("DELAWARE COUNTY ACTION PLAN DCAP II
2 FOR WATERSHED PROTECTION AND ECONOMIC
3 VITALITY" RECEIVED AND MARKED AS WATERSHED
4 COMMUNITIES EXHIBIT NO. 9, THIS DATE.)

5 (DCAP REPORT TO THE PHOSPHORUS STUDY
6 COMMITTEE AND PARTNER AGENCIES DECEMBER 2002
7 RECEIVED AND MARKED AS WATERSHED COMMUNITIES
8 EXHIBIT NO. 10, THIS DATE.)

9 ("PROPOSED PHASE II PHOSPHORUS TMDL
10 CALCULATIONS FOR ASHOKAN RESERVOIR MARCH 1999"

11 RECEIVED AND MARKED AS WATERSHED COMMUNITIES
12 EXHIBIT NO. 11, THIS DATE.)

13 ("PROPOSED PHASE II PHOSPHORUS TMDL
14 CALCULATIONS FOR PEPACTON RESERVOIR MARCH
15 1999" RECEIVED AND MARKED AS WATERSHED
16 COMMUNITIES EXHIBIT NO. 12, THIS DATE.)

17 ALJ WISSLER: Okay, folks, if we can
18 reconvene. With respect to the matter of
19 alternatives, I believe Mr. Altieri has a
20 comment.

21 Anything from CPC?

22 MR. GERSTMAN: Just very briefly. And
23 I think the City --

24 MR. BURGER: Not at this point, your
25 Honor.

(ALTERNATIVES ISSUE)

1 ALJ WISSLER: Okay, nothing from the ³²¹³
2 City.

3 Mr. Gerstman, did you want to go?

4 MR. GERSTMAN: I'll be glad to defer
5 to Mr. Altieri.

6 MR. ALTIERI: How gracious. The staff
7 has a brief follow-up comment from our last
8 comment, and that's that the purely economic
9 questions are beyond the reach and intent of
10 SEQRA, although the economic aspects do
11 influence what can be considered feasible
12 alternatives for an Applicant; thus it was
13 reasonable for the Department to accept the
14 Applicant's discussion of alternatives as
15 sufficient.

16 However, if your Honor views the
Page 74

17 proffers regarding economic feasibility to
18 allow lesser alternatives, then the
19 environmental assessment of such alternatives
20 would have to be further developed in the
21 record.

22 ALJ WISSLER: Mr. Gerstman?

23 MR. GERSTMAN: Yes, Judge. As we have
24 requested in the past, we'd like to reserve
25 the right to have Dr. Alschuler and
(ALTERNATIVES ISSUE)

1 Mr. Ellsworth respond to the offer of proof ³²¹⁴
2 that you've heard today after we receive the
3 transcript from today's Issues Conference.

4 Briefly, we would first want to remind
5 your Honor that we are not challenging DEC's
6 determination of acceptance of the DEIS,
7 that's not what's at issue here. What's at
8 issue here is the narrow circumscription of
9 the valuation of alternatives by the Applicant
10 based upon their evaluation of what is
11 feasible. And we continue to hear from the
12 Applicant and its experts, what John
13 Alschuler, Dr. Alschuler characterized as
14 circular reasoning. And we feel that there
15 has, as of today, been no support that would
16 eliminate the evaluation or the serious
17 examination of a reduced scale alternative,
18 which we believe is absolutely essential when
19 the magnitude of the environmental impact is
20 so great.

21 We reserve the right, as we said, to

22 submit further offers of proof in the form of
23 response by Dr. Alschuler and Mr. Ellsworth.
24 And much of what Mr. Ruzow said in terms of
25 the SEQRA, the parameters of SEQRA regarding
(ALTERNATIVES ISSUE)

1 an alternatives analysis is, again, much too ³²¹⁵
2 narrow for -- and inconsistent with precedent,
3 especially in light of the magnitude of the
4 impacts that we're facing with this project.
5 Thank you.

6 ALJ WISSLER: Mr. Burger, anything?

7 MR. BURGER: Craig Seymour will
8 respond very briefly to this morning's
9 rebuttal testimony.

10 MR. SEYMOUR: Craig Seymour from RKG
11 Associates. I want to refer back to our memo,
12 I think it's May 20th, where we analyzed HVS's
13 report. And I guess the point that was
14 brought up by Mr. Rushmore today is that he
15 indicated, I think in several parts of his
16 statement, that the connection, direct
17 connection between the need for the timeshare
18 units and for the hotel to be successful, you
19 needed the added inventory, you need the
20 larger rooms for the extended stays to make
21 the hotel resorts feasible.

22 Yet when it comes to evaluating the
23 economic feasibility, the IRR, the returns
24 from the timesharing was not included. And my
25 simple mathematical exercise that I did,
(ALTERNATIVES ISSUE)

1 taking their assumptions, their estimates for ³²¹⁶
Page 76

2 occupancy and room rates, if you combine the
3 timeshares on an individual basis as well as a
4 whole, the returns, the combined internal rate
5 of returns come out to be very, very similar,
6 21, 22 percent, which makes it, at least using
7 their rationale, feasible if you include the
8 timeshare in the overall investment picture
9 and economic picture.

10 So my point was that I just wanted to
11 reiterate that I think that's a way an
12 investor would look at it, particularly
13 stating -- the statements from the market
14 perspective that he made that the timeshare
15 units are a fundamental part of the overall
16 resort project. That's all.

17 ALJ WISSLER: Okay.

18 MR. YOUNG: I'm Kevin Young, I'm here
19 on behalf of the watershed communities. The
20 testimony we're going to present today is on
21 behalf of all the watershed communities that
22 we represent, which is Middletown, Shandaken,
23 the Coalition of Watershed Towns and Delaware
24 County.

25 I have with me on my right Dean
(STORMWATER ISSUE)

1 Frazier, on my left Keith Porter. We have
2 handed out to everybody, I think five
3 exhibits. Exhibit 7 --

4 ALJ WISSLER: If you would enumerate
5 those for the record.

6 MR. YOUNG: Exhibit number 7 is the

3217

7-21-04crossroadsf
7 resume of Keith Porter, who is Director of the
8 New York State Water Resource Institute,
9 Center for the Environment, Cornell
10 University.

11 Exhibit 8 is Delaware County's
12 Comprehensive Strategy for Phosphorous
13 Reductions dated fall of 1999.

14 Exhibit 9 is the Delaware County
15 Action Plan called DCAP II, for watershed
16 Protection and Economic Vitality.

17 Exhibit 10 is the DCAP Report to the
18 Phosphorous Study Committee and Partner
19 Agencies dated December 2000.

20 Exhibit No. 11 is the Proposed Phase
21 II Phosphorous TMDL for the Ashokan Reservoir
22 dated March 1999. I think we handed out an
23 excerpt from this, which is Exhibit 5. So
24 this is the complete document from what was
25 Exhibit 5.

(STORMWATER ISSUE)

□
1 Exhibit 12 is the Proposed Phase II 3218
2 Phosphorous TMDL Calculations for the Pepacton
3 Reservoir, also dated March 1999. And we
4 handed out an excerpt of that, which was
5 Exhibit 4.

6 Mr. Porter, can you tell us what your
7 position is today?

8 MR. PORTER: Yes, I'm the Director of
9 the New York State Water Resources Institute.

10 MR. RUZOW: Kevin, you have to keep
11 your voices up.

12 MR. PORTER: The institute is
Page 78

13 established under federal and state law. Its
14 purpose, basically, is to be an interface
15 between the New York State academic community
16 and those concerned with water resources in
17 New York State. So we assist government
18 agencies and businesses at all levels in
19 engaging scientific resources through the
20 academic community, and maintain as well an
21 educational and technology transfer program.
22 Those functions are mandated in both the state
23 and federal law.

24 MR. YOUNG: What is your education?

25 MR. PORTER: My education is I have a
(STORMWATER ISSUE)

3219

1 diploma in horticulture from the Essex
2 Institute of Agriculture in the UK. I have a
3 BA in mathematics from the University of
4 California, and a Master of Laws from
5 DeMontfort University in the United Kingdom.

6 MR. YOUNG: I'm going to ask you to
7 look at Exhibit 7, your resume, and go to page
8 2 of your resume. I'm going to ask you about
9 certain professional activities that are
10 listed.

11 In 1988 to present, you identified
12 that you were chairman of the Expert Review
13 Panel, New York City Water Demand Study. Can
14 you explain what that is?

15 MR. PORTER: Yes. In the 1980s, New
16 York City was confronted with a very serious
17 shortage of water because of three recurrent

18 droughts through the 1980s. So the city and
19 the state, through an intergovernmental task
20 force created by the mayor of New York City,
21 was charged to explore alternatives by which
22 the water deficit could be met.

23 Some of the options being considered
24 were very contentious, including potentially
25 building a new reservoir or increasing the
(STORMWATER ISSUE)

1 abstraction at Chelsea on the Hudson River, 3220
2 which caused concern among some groups who
3 regard themselves as guardians of the Hudson
4 River.

5 So it became potentially a very
6 contentious kind of discussion and dialogue.
7 At that time, the governor and the state
8 legislature created what was called the New
9 York State Water Resources Planning Council.
10 The chairman of that council was -- requested
11 by the council to invite me to establish a
12 procedure by which the public dialogue might
13 be assisted in terms of being more objective
14 and less contentious. So I was appointed, as
15 a result of that, as the chair of the
16 committee.

17 We instituted an expert input into the
18 dialogue, which resulted in the city adopting
19 a very aggressive water demand program through
20 metering, leak control and so forth. Very,
21 very aggressive and very successful. To the
22 extent to which it then became unnecessary to
23 increase the supply. So the city was able to

24 maintain the system as it was without, in
25 fact, seeking additional means of adding water
(STORMWATER ISSUE)

3221

1 to meet the demand.

2 MR. YOUNG: Is says between 1990 and
3 1992 you were a founder member of the Ad Hoc
4 Task Force on Agriculture in the New York City
5 Watershed. What was that role?

6 MR. PORTER: When the city released
7 its draft regulations, the New York City
8 Watershed, there was another outbreak of
9 contentiousness. Given that we had assisted
10 the city with respect to the water quantity
11 issue, the DEP invited the institute to assist
12 with respect to the watershed difficulties.

13 One consequence of that was I arranged
14 a meeting between the Department of
15 Agriculture & Markets and the New York City
16 DEP to explore ways in which a dialogue might
17 be created involving all the stakeholders, all
18 the parties, to do what, in fact, we had done
19 with the water demand problem. That
20 discussion directly led to the creation of the
21 Ad Hoc Task Force for Agriculture.

22 MR. YOUNG: What is the Ad Hoc Task
23 Force for Agriculture? What was it?

24 MR. PORTER: It was cochaired by the
25 New York City DEP and the Department of
(STORMWATER ISSUE)

3222

1 Agriculture & Markets, and had a policy
2 subgroup which consisted of senior

3 representatives of the principal stakeholders.
4 And then a larger adviser group, which
5 included invited members at large as
6 representing the various constituencies
7 concerned with protecting the watershed. That
8 task force met for two years.

9 My principal role then, became
10 primarily to assist the task force in engaging
11 scientific input. The task force took very
12 early the position that whatever options were
13 examined or adopted, they had to have very
14 sound scientific credentials. So I engaged
15 the scientific community in a dialogue to work
16 out the scientific foundations for the lack of
17 those options that were being considered by
18 the task force.

19 MR. YOUNG: Did the work of that task
20 force result in the city withdrawing its
21 proposed regulations on agriculture in the
22 formation of what we now call the watershed
23 Agricultural Committee, WAC.

24 Can you explain what that means? How
25 did WAC address the city's concerns regarding
(STORMWATER ISSUE)

1 impacts of agriculture on the watershed? 3223

2 MR. PORTER: The farmers on the Ad Hoc
3 Task Force took three basic positions. One
4 was that, as I have already said, whatever
5 program was worked out had to be
6 scientifically defensible. Secondly, they
7 also were implacable in insisting whatever was
8 arranged had to be led by farmers, had to be

9 owned by farmers. And thirdly, whatever is
10 done, New York City should pay for it, given
11 the beneficiaries were not going to be farmers
12 but principally New York City consumers of
13 water.

14 The council that was created jointly
15 through the Department of Ag. & Markets and
16 New York City, in fact was constituted with
17 those three premises imbedded within them.
18 The membership of the council was done
19 somewhat informally. At that time there was
20 no constitution for the council, so it had to
21 be created on the basis of many discussions.
22 But the council consists entirely of farmers
23 with the principal exception being one
24 representative from New York City.

25 In addition to that, there's also a
(STORMWATER ISSUE)

3224

1 wider body consisting of advisory members.
2 And the council was initially funded in the
3 Phase I program with, I believe, just over
4 \$5 million from the city to explore the
5 options developed through the task force on
6 ten pilot farms.

7 Scientists, primarily at Cornell
8 University, were engaged at a level of, I
9 think, a million a year to assist in
10 developing the planning and management on
11 those pilot farms in terms of looking at the
12 scientific issues that were involved.

13 MR. YOUNG: I see that you were also,

14 7-21-04crossroadsf
between 1997 and 1998, on the New York State
15 Pesticide-Fertilizer Technical Working Group.

16 MR. PORTER: Part of the MOA
17 recommended that there be such a working group
18 established to assess the use of pesticides
19 and fertilizers or nutrient management
20 equivalently, and to explore options by which
21 they could be managed to ensure the integrity
22 of the water supply. It was an interagency
23 body. I represented the Catskill watershed
24 Corporation on that working group.

25 MR. YOUNG: I see you're also
(STORMWATER ISSUE)

1 currently on the Cornell Nutrient Management ³²²⁵
2 Program Work Team?

3 MR. GERSTMAN: Kevin, it is impossible
4 to hear you.

5 MR. YOUNG: I see that you're
6 currently on the Cornell Nutrient Management
7 Program Work Team. What is that?

8 MR. PORTER: That grew out of the
9 Phase I, the Watershed Agricultural Council
10 Program. What we saw was a way of meeting
11 water quality objectives, while at the same
12 time furthering the business interests of the
13 farmers -- preferably in a way that was done
14 frugally. The premise being, if you rely on
15 farmers to depend on some kind of grant, when
16 the grant ends, whatever it is they're doing,
17 they're likely to stop, unless it's to their
18 economic benefit.

19 As a result of that, I funded -- the
Page 84

20 institute funded a group of scientists to
21 critically assess nutrient management on the
22 farms, and that led to what is now called
23 precision feeding, which I believe Dean
24 Frazier may talk about, and also better crop
25 management in a way that actually increases
(STORMWATER ISSUE)

3226

1 productivity but at the same time has
2 environmental benefits.

3 That core group of scientists morphed
4 into what became at Cornell an
5 institutionalized -- what's called a program,
6 a Nutrient Management Program Work Team.

7 MR. YOUNG: I'm going to turn to Dean.
8 Dean, can you identify what your current
9 position is?

10 MR. FRAZIER: I'm currently the
11 Commissioner of the Delaware County Department
12 of Watershed Affairs.

13 MR. YOUNG: What is the Delaware
14 County Department of Watershed Affairs?

15 MR. PORTER: It's a department,
16 obviously, of the county, and -- you want to
17 know what we do?

18 MR. YOUNG: What do you do? What are
19 your responsibilities?

20 MR. FRAZIER: We act as the
21 coordinator, leader, management of issues
22 involving Delaware County in the New York City
23 watershed and Susquehanna Basin, and
24 watersheds below the city impoundments.

25 They're part of Delaware County. Our office
(STORMWATER ISSUE)

1 acts as a liaison to a variety of regulatory 3227
2 and nonregulatory agencies in New York State.

3 We coordinate the efforts of the
4 Delaware County Action Plan, which we'll get
5 into later; and we act as the voice to the
6 Delaware County Water Supervisors to have a
7 unified voice to that body of all county
8 agencies and regulatory bodies and such. And
9 in turn, speak on their behalf.

10 MR. YOUNG: What is your education?

11 MR. FRAZIER: I have a Bachelor's
12 Degree in agriculture from Cornell. I have a
13 Master's in organizational development from
14 Binghamton.

15 MR. YOUNG: What experience do you
16 have working with -- what were your initial
17 experiences working with New York City
18 watershed issues? Who were you working on
19 behalf of?

20 MR. FRAZIER: Actually, my experiences
21 start with my birth. A good share of my
22 heritage is under the Cannonsville Reservoir.
23 But as far as my first initiation in terms of
24 work, the New York City watershed began in
25 August, a week before the city released their
(STORMWATER ISSUE)

1 draft rules and regulations where the city 3228
2 attempted to get the agricultural community of
3 Delaware County to endorse their draft
4 regulations before we saw them. That was my

5 initiation. From that point forward, I took
6 part in the ad hoc policy discussion,
7 discussions that took place.

8 MR. YOUNG: Who were you working on
9 behalf of?

10 MR. FRAZIER: I worked representing
11 Cornell Cooperative Extension. We worked
12 through representing the agricultural
13 community in Delaware County, through the
14 period of the ad hoc policy discussions, took
15 part in those negotiations and the subsequent
16 development and implementation of the
17 watershed Agricultural Program. Took part in
18 the selection of the watershed Agricultural
19 council members; and a host of other things.

20 MR. YOUNG: What is your role now in
21 dealing with watershed issues?

22 MR. FRAZIER: Well, currently, as I
23 described a little bit before, my primary job
24 right now is to try to coordinate the
25 initiatives of multiple departments and county
(STORMWATER ISSUE)

1 agencies, along with local organizations, as ³²²⁹
2 well as our partners from the city, from DEC,
3 New York State Department of Agriculture &
4 Markets, Department of Health, EPA, towards
5 the common goal of phosphorous reduction in
6 the Cannonsville Basin, as well as the
7 Pepacton Basin and the Susquehanna Basin on
8 the other part of Delaware County.

9 MR. YOUNG: Delaware County has three

10 different watersheds, you might say, the
11 Susquehanna Watershed, the Pepacton Watershed
12 and the Cannonsville Watershed?

13 MR. FRAZIER: Yes. The Delaware River
14 Basin below the impoundments have regulatory
15 authority right up through the headwaters,
16 just as does the City of New York. So we kind
17 of consider that a separate watershed only in
18 the sense it's outside New York City watershed
19 boundary. About 25 percent of our County land
20 area is in the Susquehanna Basin, which is
21 also regulated by municipalities that we have
22 absolutely no vote in.

23 MR. YOUNG: What percentage of your
24 county is located in the New York City
25 watershed? Do you know?
(STORMWATER ISSUE)

1 MR. FRAZIER: I have to stop and think ³²³⁰
2 about that. I think it's about 51 percent.
3 55 percent of the county is in the New York
4 City watershed, and it represents 51 percent
5 of the West of Hudson, New York City
6 watershed.

7 MR. YOUNG: You make reference to
8 something called the Delaware County Action
9 Plan or DCAP. Can you sort of explain what
10 DCAP is and how it came about?

11 MR. FRAZIER: What it is is a locally
12 driven, science-based, comprehensive basinwide
13 approach to watershed protection. It's a
14 partnership effort. I've alluded to the
15 variety of regulatory partners and such that

16 we have already. It reflects the local
17 capacity that exists in the county to address
18 water-quality issues and land-use
19 decision-making.

20 we developed it under the orders of
21 the Board of Supervisors to be frugal in the
22 solutions that we sought, and it is part of
23 our obligations to numerous grants that we
24 received -- had to be transferable,
25 economically viable in terms of
(STORMWATER ISSUE)

3231

1 transferability to other watersheds.

2 MR. YOUNG: This DCAP program, does it
3 apply just to the Cannonsville or does it
4 apply throughout the Pepacton and Susquehanna?

5 MR. FRAZIER: We have already
6 transferred many of the things we developed in
7 the Cannonsville, particularly with respect to
8 land-use decision-making, subdivisions, zoning
9 and all those types of issues, source water
10 protection and all that in the Cannonsville
11 Basin. We've also extended it into the
12 Susquehanna.

13 MR. YOUNG: What was the primary
14 objective of DCAP? Was it to get phosphorous
15 reductions or to become delisted from some
16 list? What do you think were the primary
17 objectives?

18 MR. FRAZIER: Initially the primary
19 objective was to reduce phosphorous loads to
20 the extent possible to get below the

21 phosphorous concentrations in the water below
22 the thresholds that would enable us to get off
23 the phosphorous restricted list.

24 MR. YOUNG: Has that been successful?

25 MR. FRAZIER: Well, the concentrations
(STORMWATER ISSUE)

3232

1 currently are below the phosphorous
2 restricted, and we're not on the list. But we
3 felt that that's not good enough. We
4 continued to implement DCAP because of the
5 nonpoint source loading variability, and it's
6 not entirely inconceivable that we couldn't be
7 back on the restricted list.

8 If the State deems that they need to
9 go to a lower concentration, we'll be in a lot
10 of trouble. So we continue to reduce our
11 phosphorous load, not only for water quality
12 protection but that helps us from an economic
13 liability standpoint.

14 MR. YOUNG: Dean, I show you what has
15 been marked as watershed Communities 8, 9 and
16 10, and ask if you would just sort of identify
17 what each of those documents are.

18 MR. FRAZIER: Exhibit 8 is the
19 Delaware County Comprehensive Strategy for
20 Phosphorous Reductions prepared for the
21 Delaware County Board of Supervisors in the
22 fall of 1999.

23 MR. YOUNG: I mean like two sentences.
24 Is that sort of the Bible by which you
25 developed the whole DCAP program?
(STORMWATER ISSUE)

1 MR. FRAZIER: DCAP was borne out of
2 the development of this strategy. Explain why
3 we developed this?

4 MR. YOUNG: Yes.

5 MR. FRAZIER: We developed this
6 comprehensive strategy in an attempt to get an
7 expansion of the wastewater treatment plant in
8 Delhi, New York. That was the initial reason
9 for doing that, to enable some expansion of
10 two local businesses.

11 It's a requirement -- that was a
12 requirement of the watershed rules and
13 regulations. If you have a phosphorous
14 restricted basin, in order -- which in a
15 phosphorous restricted basin, expansion or
16 building of a new wastewater treatment plant
17 was prohibited with the exception there was a
18 pilot offset program or a series of variances
19 we could go through. The variance we
20 selected was to develop a comprehensive
21 strategy that enabled -- and then you could
22 have just put it on the shelf. That's all
23 that was required. That would have enabled
24 the wastewater treatment plant in the
25 Cannonsville Basin to get increased flow. We
(STORMWATER ISSUE)

1 took it beyond that.

2 The Delaware County Board of
3 Supervisors looked at this and said: It's
4 nice, another plan, let's do something about
5 it. That's where the Delaware County Action

7-21-04crossroadsf
6 Plan came in. That's the tool we're using to
7 implement the issues identified in the
8 comprehensive strategy.

9 MR. YOUNG: Go to Exhibit 9.

10 MR. FRAZIER: Exhibit 9, Delaware
11 County Action Plan, DCAP II, in Roman
12 numerals, for Watershed Protection and
13 Economic Vitality.

14 MR. YOUNG: Is that the steps that
15 Delaware County is implementing to reduce
16 phosphorous?

17 MR. FRAZIER: Yes.

18 MR. YOUNG: How does that relate to
19 Exhibit 10?

20 MR. FRAZIER: Exhibit 10, which is the
21 DCAP Report to the Phosphorous Study Committee
22 and Partner Agencies, December 2002. This
23 document, Exhibit 10, is merely a report that
24 reflects progress made, the initiatives that
25 we have underway -- which by the way is being
(STORMWATER ISSUE)

□
1 revised because this is two years old, 3235
2 virtually two years old. So it's a reflection
3 of the work that's been accomplished.

4 MR. YOUNG: Can I point you to the
5 Table of Contents to Exhibit 8, and there's
6 something in the Table of Contents which is
7 identified as the Scientific Support Group.
8 Could you describe what the Scientific Support
9 Group is?

10 MR. FRAZIER: The Scientific Support
11 Group is part of the institutional framework

12 behind DCAP. One of the things I didn't
13 mention is that part of the charge of Delaware
14 County Board of Supervisors is that we create
15 an institutional framework to the regulatory
16 bodies and the academic institutions to make
17 sure we have credible programs. So the
18 Scientific Support Group is involved in
19 discussion and decision-making relative to the
20 research questions or technical questions that
21 need to be answered, and direct us towards the
22 appropriate projects to answer the questions
23 that we need to answer.

24 MR. YOUNG: So you have
25 representatives of every --
(STORMWATER ISSUE)

1 MR. FRAZIER: well, yeah. As you can ³²³⁶
2 see by looking at that, we have membership
3 from EPA that continues today; Enviromental
4 Conservation, New York State Department of
5 Environmental Conservation is the chair of
6 that committee and sets the agenda and directs
7 the discussions.

8 But you can see we have DEP on that,
9 along with a variety of other state
10 institutions as well.

11 MR. YOUNG: Any private sector
12 individuals?

13 MR. FRAZIER: I don't believe we have
14 any private sector individuals on the
15 Scientific Support Group.

16 MR. YOUNG: All governmental?

17 MR. FRAZIER: Basically governmental.

18 MR. YOUNG: University?

19 MR. FRAZIER: Cornell University.

20 MR. YOUNG: The County Phosphorous

21 Study Committee, that is -- what's the

22 difference between that and the Scientific

23 Support Group?

24 MR. FRAZIER: The Phosphorous Study

25 Committee is really an advisory group that

(STORMWATER ISSUE)

3237

1 helps in setting direction and policy for the

2 Delaware County Action Plan. It also serves

3 as one of our communication links to the

4 regulatory bodies and academia, as well as

5 -- on this particular committee, I don't see

6 them listed, but we do have Industrial

7 Development Agency, the County Economic

8 Development Department and the Delaware County

9 Chamber of Commerce are members of that

10 committee as well. So we have good input, as

11 well as the local farm bureaus and extensions.

12 So the agricultural and nonagricultural

13 business communities are part of that

14 dialogue.

15 MR. YOUNG: Briefly, I want to turn to

16 the page in the Table of Contents. I'll

17 summarize the Table of Contents to speed this

18 up a little bit. As I understand the Table of

19 Contents, what you did in this document is

20 that you identified and quantified the sources

21 of phosphorous in the Cannonsville Basin doing

22 your own analysis. And then once you

23 identified those sources, you then evaluated
24 for each source the best management practices
25 that could be implemented to reduce
(STORMWATER ISSUE)

3238

1 phosphorous.

2 And finally, at the end you developed
3 and recommended a sort of institutional or
4 administrative structure to implement those
5 strategies. Is that a good summary of the
6 organization of this report?

7 MR. FRAZIER: Yes.

8 MR. YOUNG: Chapter 3 talks about
9 phosphorous and water quality of the Delaware
10 County watershed system. Particularly section
11 D says: "Assessment of existing and
12 perspective phosphorous loads." Can you tell
13 us how you went about quantifying the
14 phosphorous loads to the Cannonsville Basin?

15 MR. PORTER: The basin has been
16 thoroughly studied, actually starting in the
17 late 1970s with an EPA Recorded Model
18 Implementation Program. The reservoir basin
19 has been studied continuously since that time.
20 That was a \$6 million program, and then when
21 the New York City watershed regulations were
22 proposed, the level of investigations
23 substantially increased.

24 Now, what that entails briefly is a
25 lot of water quality monitoring. There are
(STORMWATER ISSUE)

3239

1 six continuous stations in this basin

2 representing different geographic scales.
3 There's a lot of fieldwork of different land
4 uses. And in addition to that, the work or
5 the output of all that work is assimilated in
6 modeling to provide a means of assessing what
7 the information means in terms of management
8 needs, and also when management options are
9 implemented, how they can be evaluated is a
10 major question. And the fieldwork and the
11 modeling provides a means for critically
12 scrutinizing the efficacy of management steps
13 that have been adopted.

14 ALJ WISSELER: The models are computer
15 models?

16 MR. PORTER: Yes.

17 ALJ WISSELER: What particular models
18 are used?

19 MR. PORTER: We have used an array of
20 models. They're labeled by letters, TWLF,
21 SWAT, S-W-A-T, and HSPF.

22 In addition to that, we've used more
23 site specific type of models for stormwater,
24 for example, from urban areas.

25 ALJ WISSELER: Such as what?
(STORMWATER ISSUE)

1 MR. PORTER: I didn't do that work, ³²⁴⁰so
2 I'm not familiar with that. I think Qualcast,
3 Q-U-A-L-C-A-S-T, is the name of it.

4 MR. YOUNG: Did you review -- are you
5 familiar with the modeling done by DEP to
6 support the TMDL analysis for the
7 Cannonsville?

8 MR. PORTER: Yes. Not as an expert.

9 MR. YOUNG: But did you rely on the
10 -- DEP issued a report in March 1999 called,
11 "Proposed Phase II Phosphorous TMDL
12 Calculations for the Cannonsville Reservoir,"
13 which was the basis for DEC's adoption of a
14 TMDL forecast. Did you rely on that data?

15 MR. PORTER: We used the same data.
16 This is a pooled exercise, and Kim Caine [sic]
17 was part of our group in the early days. So
18 yes, we would use the data.

19 MR. YOUNG: Did you take the result --
20 to rely on the data, did you use the same
21 results, the same modeling results --

22 MR. PORTER: Yes, we accepted,
23 obviously, the TMDL.

24 MR. YOUNG: But in the Delaware County
25 Strategy, Exhibit 8, do you report exactly the
(STORMWATER ISSUE)

1 same numbers of phosphorous loads from 3241
2 particular sources as are reported in the TMDL
3 Phase II Phosphorous --

4 MR. PORTER: There's consistency
5 between what has been done through DCAP and
6 what has been done through the DEP, except
7 this is dated 1999. There's a certain amount
8 of work been done since then. So if you like,
9 we have refined and moved beyond this data.

10 MR. YOUNG: What did your work
11 identify as sort of principal sources of
12 phosphorous -- I'm going to say principal and

13 relative sources of phosphorous in the
14 Cannonsville Basin?

15 MR. PORTER: By far the most
16 overwhelming source of phosphorous is farming.
17 It accounts for about two-thirds of the total
18 phosphorous load. The rest is made up from
19 forested lands, abandoned farms, urban areas
20 and septic systems, primarily.

21 MR. YOUNG: The urban areas, what
22 percent of the total phosphorous load did you
23 estimate came from urban areas?

24 MR. PORTER: It was about 2 percent,
25 just a little over 2 percent. It's very, very
(STORMWATER ISSUE)

1 low. Again, those data are based on a lot of ³²⁴²
2 fieldwork. They're not just modeling data.
3 They're based on monitoring stormwater and so
4 forth.

5 MR. YOUNG: Based upon that work --
6 I'll change back to you, Dean. What type of
7 programs did Delaware County come up with to
8 address stormwater, for example, phosphorous
9 loads from stormwater?

10 MR. FRAZIER: Well, we came up with
11 two different approaches to stormwater. I'll
12 start first with the communities. Through
13 various grants from the Department of State
14 and others, we developed -- we did an
15 inventory using GPS systems to identify
16 inventory of the stormwater infrastructure in
17 all the communities and hamlets in the
18 Cannonsville and in Pepacton. We then

19 interfaced that with GIS data, other land-use
20 data that we had available, topography, soils,
21 variety of different things.

22 From that, we developed -- I'll back
23 up a step. The Delaware County Planning
24 Department is in the process of developing,
25 and in some cases already have completed,
(STORMWATER ISSUE)

3243

1 comprehensive plans for each hamlet and
2 community. As part of that process, in other
3 words, we're looking at the whole community as
4 was illustrated in prior testimony a month or
5 so ago, the Comprehensive Stormwater
6 Management Plan is part of the comprehensive
7 plan for that hamlet or town or community. So
8 as a result of doing all that inventory,
9 they're in the process of developing the
10 Comprehensive Stormwater Management Plan for
11 each community and draw maps and set
12 priorities on where is the best place to put
13 stormwater protection in place. That's one
14 thing.

15 The second component of that were the
16 development -- and this is more in an infant
17 stage than the community, but we developed
18 what we call Highway Management Plans. And
19 that is looking at all the rural highways, be
20 they county or town owned. And in that
21 effort, we're inventorying all the stormwater
22 infrastructures through GPS, interfacing with
23 Geographic Information Systems so we can

24 identify and inventory each structure, know
25 where it is, know what its status is.
(STORMWATER ISSUE)

3244

1 And from that, the point we're at now
2 is that we have several towns that want this
3 done for them. We're a little limited by
4 resources. A little help from the city would
5 be nice. But in any event, what we'll do next
6 is an engineer's assessment for each highway
7 and road in each town. That's our goal.

8 When we do look at that, we will be
9 utilizing the Salt Water Assessment Model, or
10 SWAT, that Keith referred to. We can look at
11 those roads in the context of the subbasins of
12 the Cannonsville Basin. And we know where the
13 primary loads of phosphorous, et cetera, are
14 coming from, so when we're looking at our
15 roads, this Highway Stormwater Management Plan
16 are actually -- highways are typically a
17 delivery mechanism for the runoff from
18 contiguous land uses, be they agriculture or
19 forest.

20 So we're going to look at that when we
21 look at highway plans. It's all quite
22 integrated in terms of how we're moving
23 forward and where we're setting our
24 priorities.

25 We also -- yeah, I should back up. We
(STORMWATER ISSUE)

3245

1 also bought a vacuum truck that we are using
2 in the communities and outside the communities
3 to -- where we're going around and cleaning

4 out the stormwater -- I don't know the names
5 of these things -- catchment basins, and
6 recording the load of phosphorous and sediment
7 that we're taking out of that.

8 That's all interfaced back into our
9 databases so that we're developing a
10 maintenance plan, identifying each component
11 and saying: Okay, well, we have had to clean
12 this out every three months. This one, only
13 once every six months. And so we can set up a
14 priority for how we need to maintain those and
15 keep those cleaned out.

16 MR. YOUNG: For the most part, you
17 really focused on agriculture, is that
18 correct, in reducing phosphorous?

19 MR. FRAZIER: Yes.

20 MR. YOUNG: To get an idea, how many
21 farms are there in the Cannonsville district?

22 MR. FRAZIER: That's a fluid number,
23 unfortunately it's fluid downward. My best
24 estimate today is 125 to 135.

25 MR. YOUNG: Do you have an idea,
(STORMWATER ISSUE)

□

1 either you or Keith, how many animal units 3246
2 there are in the Cannonsville or Delaware
3 County, whatever one you know?

4 ALJ WISSLER: Why don't you define an
5 animal unit for us.

6 MR. FRAZIER: The animal unit --
7 depending on definition means a lot of
8 different things -- but animal unit in the

9 sense that any information I'm going to say
10 here is related to a 1400-pound dairy animal,
11 mature dairy cow, exclusive of all the
12 replacements and like that.

13 There are approximately -- again, this
14 is going back two or three years -- at that
15 time there was about 8,000 mature dairy
16 animals in the Cannonsville Basin. I don't
17 know exactly what it is today.

18 ALJ WISSLER: Keith, how much
19 phosphorous is in the manure from one mature
20 1400-pound dairy cow?

21 MR. PORTER: That is variable, but the
22 number that was used in DCAP was 34 kilograms
23 per 1400-pound animal.

24 MR. YOUNG: 34 kilograms per year?

25 MR. PORTER: Yes, 34 kilograms per
(STORMWATER ISSUE)

1 year. The precision feeding -- the management³²⁴⁷
2 program I referred to is succeeding in
3 reducing that substantially through the way
4 the animal is fed. By reducing the
5 phosphorous in the feed, the work that's being
6 done through DCAP shows as much as 30 percent
7 on average can be achieved as a reduction in
8 the manure. So the 34, we know is already
9 coming down.

10 MR. YOUNG: You're saying that each
11 -- back when you were doing -- developing
12 DCAP, there were 8,000 mature cows in the
13 Cannonsville Basin. Each cow on average
14 generates about 34 kilograms of phosphorous

15 per year in its manure. Is there any numbers
16 you use to say what percent of phosphorous
17 ends up in the cow manure, ends up being
18 released into the environment of surface
19 waters?

20 MR. PORTER: The rule of thumb is
21 10 percent on a well-managed farm.

22 MR. FRAZIER: In actuality, the one
23 farm that has continuous monitoring, that's
24 exactly what it was.

25 MR. PORTER: Yes, it's well-managed.
(STORMWATER ISSUE)

1 MR. YOUNG: Can you then describe some ³²⁴⁸
2 of the programs you have come up with to
3 address reducing the phosphorous loads from
4 these farms; precision feeding first?

5 MR. FRAZIER: Under the DCAP umbrella,
6 there were two basic --

7 ALJ WISSELER: Let me stop you. The
8 35 kilograms was what?

9 MR. YOUNG: Amount of phosphorous.

10 MR. PORTER: Per animal, per year.

11 MR. YOUNG: How much phosphorous does
12 a human on average give off? I know it
13 varies.

14 ALJ WISSELER: It depends on how
15 they're fed.

16 MR. PORTER: As part of the scientific
17 work, a great deal of research is being done
18 on septic systems, not through the institute
19 but through the Soil and Water Conservation

20 District of the county. Their best estimate
21 of the per capita phosphorous load is only
22 half a kilogram a year. I find that a little
23 low, actually. I would have expected close to
24 1 kilogram.

25 That would mean that an animal has 60
(STORMWATER ISSUE)

1 times the amount of phosphorous per year as a ³²⁴⁹
2 human being, if that number were the real
3 number. But that's the number that the county
4 is actually using based on their work, so I
5 can't really question it.

6 ALJ WISSLER: If I'm milking a 100
7 Holsteins, that's 3500 kilograms of
8 phosphorous per year?

9 MR. PORTER: Yes.

10 ALJ WISSLER: And 350 kilograms of
11 that is getting off the farm?

12 MR. PORTER: About 10 percent, yeah,
13 over 300 off that farm.

14 MR. RUZOW: A well-managed farm.

15 MR. YOUNG: Can you describe, Dean,
16 the program that was developed as far as DCAP
17 called precision feeding, and the logic behind
18 it?

19 MR. FRAZIER: It goes back to
20 frugality and the charges we have from the
21 Board of Supervisors, but it's a low capital
22 type of initiative. Basically, all you're
23 doing is trying to bring -- assure that the
24 phosphorous consumed is in line with the dairy
25 cattle requirement. And for a variety of

1 different reasons, there's a lot of excess
2 phosphorous fed on farms.

3 So through a quantified process,
4 combined with Cornell and some of the local
5 expertise we have here, we did pilot farms
6 where we actually quantified the reductions of
7 phosphorous in manure on working viable farms.
8 This is not something we're just pulling out
9 of a book, we've actually done it in the
10 county.

11 MR. YOUNG: And you've done it by
12 controlling the amount of phosphorous in the
13 feed?

14 MR. FRAZIER: That's the primary
15 thing, but there's other sources of
16 phosphorous. Let me back up. Purchased feed
17 is the largest source of phosphorous coming
18 into the basin, so that's why we focused on
19 that. That was the biggest priority we saw,
20 so that's why we targeted it.

21 ALJ WISSLER: Let me stop you for a
22 minute. So for a working dairy farm from
23 Delaware County, they don't grow their own
24 corn for feed and stuff like that?

25 MR. FRAZIER: Sure, they do. I'm
(STORMWATER ISSUE)

1 talking about purchased concentrates, grains,
2 corn, soy.

3 ALJ WISSLER: Beyond what they --

4 MR. FRAZIER: What they grow, yes.

5 That's also their largest expense. It also
6 happens to be the largest source of
7 phosphorous coming onto the farm, and coming
8 into the watershed.

9 ALJ WISSLER: Phosphorous that wasn't
10 in there before?

11 MR. FRAZIER: That's right.

12 MR. YOUNG: How do you get the feed to
13 have less phosphorous?

14 MR. FRAZIER: That's a little bit
15 tricky, but it goes back to evaluating what
16 they grow on the farm, the quality of that,
17 how much they'll eat of that. And then
18 evaluating the sources of corn, soy, different
19 grain byproducts for phosphorous content, and
20 trying to match that to the requirements.

21 It varies from farm to farm, so you
22 try to target, to get as close to the
23 requirement as established by the National
24 Research Council. That's the objective.

25 We have had to overcome some myths
(STORMWATER ISSUE)

3252

1 with that because farmers fed surplus
2 phosphorous for some reasons that were -- have
3 no scientific basis.

4 MR. YOUNG: The amount of phosphorous
5 that goes into the cow is proportional to the
6 amount of phosphorous that goes out of the
7 cow?

8 MR. FRAZIER: Well, what they utilize,
9 leftover is what comes out, yeah.

10 MR. YOUNG: So what type of reductions
Page 106

11 have you been able to achieve in the
12 phosphorous coming -- is it phosphorous
13 released from the cow or is it phosphorous
14 being released to the stream?

15 MR. FRAZIER: What's been quantified
16 on farms is that you could see up to
17 30 percent -- in some farms it's highly
18 variable depending on where they were before
19 you began, but up to 30 percent. I don't
20 think we're going to see 30 percent on every
21 single farm, but that's a substantial
22 reduction compared to almost anything else you
23 could think of, point or nonpoint source,
24 coming into the basin.

25 MR. YOUNG: So when the Judge has
(STORMWATER ISSUE)

1 indicated a typical farm may release up to ³²⁵³300
2 pounds -- kilograms a year, 30 percent
3 reduction would be about 100 kilograms?

4 MR. FRAZIER: Yes.

5 MR. YOUNG: How many farms are you
6 doing this on now, precision feeding?

7 MR. FRAZIER: We're still in the pilot
8 phase, but I must tell you that -- we're doing
9 it on ten farms is the direct answer. But
10 it's more than that, in that we've been
11 working with the feed industry and dairy
12 nutritionists and veterinarians for two,
13 three, four years now, and there's been a
14 number of papers generated at professional
15 conferences and such; and the feed industry is

16 already moving in this direction to evaluate
17 more closely the phosphorous content.

18 But what we're doing on these farms is
19 a quantification process to demonstrate it can
20 work without harming productivity. In some
21 cases, actually improving profitability. So
22 that goes to the long-term adoption of it.

23 MR. YOUNG: Long-term, what
24 administrative structure is going to be in
25 place to administer such a thing? How do you
(STORMWATER ISSUE)

1 expect it to go on without -- does it require
2 major governmental assistance? 3254

3 MR. FRAZIER: This is only my opinion.
4 The governmental assistance would be the
5 continued work and support from Cornell
6 through the technical -- like Cornell
7 Cooperative Extension in the field to continue
8 the support of the private sector. You have
9 to have private sector involvement in this in
10 order to make this work. Because they're on
11 the farm much more frequently than you could
12 ever have any governmental agency out there.
13 And it's to that industry's benefit to do that
14 because --

15 MR. YOUNG: You're talking about the
16 feed industry?

17 MR. FRAZIER: The feed industry to do
18 that because it's part of the nutritional
19 services. And the farms in the Cannonsville
20 know they've got to -- they're cognizant that
21 phosphorous is an issue and the feed industry

22 has got to be there to help them through that
23 process.

24 We have three companies that are the
25 primary providers of that service of the
(STORMWATER ISSUE)

3255

1 farmers in the watershed that are going
2 through the process of education and adopting
3 and utilizing it on more than just the ten
4 demonstration farms. I don't know how many,
5 but it's out there.

6 MR. YOUNG: The Judge also mentioned
7 the fact that some of the food comes from the
8 farms -- food that the farmers grow
9 themselves. How are you attempting to improve
10 phosphorous reductions from that?

11 MR. FRAZIER: Basic premise on a dairy
12 farm is the more home grown forage you can
13 feed, the better off you're going to be. That
14 helps reduce the amount of purchased feed with
15 all the phosphorous in it that needs to come
16 on the farm because you're supporting more
17 production by the forage that you grow.

18 So from that standpoint, you're
19 bringing less phosphorous onto the farm. That
20 goes towards reducing phosphorous accumulation
21 in the soils, which is the issue. We have far
22 more phosphorous being brought into the basin
23 and accumulating in soils which is acting as a
24 bank that slowly releases all the surplus
25 phosphorous. So that's how that goes towards
(STORMWATER ISSUE)

3256

1 reducing the balance of phosphorous because
2 you're bringing less in --

3 MR. YOUNG: What are you trying to do
4 to make sure that more phosphorous gets
5 recycled within the basin?

6 MR. FRAZIER: Well, we initiated an
7 effort locally called Forage Systems, and in
8 that process -- really quite simple, we're
9 trying to look at different technologies in
10 terms of variety selection, harvesting types,
11 storage and all that type of stuff, to improve
12 the quality on the farm. The higher quality
13 of the forage, the more they'll consume, the
14 less concentrate they have to buy. That goes
15 to the bottom line of the farmer.

16 ALJ WISSLER: What is the nutritive
17 value of phosphorous for plants for growing
18 corn?

19 MR. FRAZIER: Nutritive value?

20 ALJ WISSLER: Is it essential to the
21 plants?

22 MR. FRAZIER: Absolutely. The problem
23 is, is that we're importing far more
24 -- something like for every pound you bring on
25 the farm, typically, I think this is true
(STORMWATER ISSUE)

1 across New York State, 60 or 70 percent of it³²⁵⁷
2 is staying on the farm. In other words, some
3 is going out in milk production, some goes off
4 in an animal they might sell, some might go
5 off in the forage that they produce or sell,
6 but the problem is that we have a surplus and

7 it's staying on the farm.

8 ALJ WISSLER: If I reduce -- if I
9 reduce the phosphorous content of the feed
10 that I give my animals, then their manure will
11 be less valuable to me as a nutrient for when
12 I plow it into my fields every spring before I
13 plant my corn?

14 MR. FRAZIER: Not in terms of
15 phosphorous because we have so much surplus
16 phosphorous to deal with, it's very difficult
17 to get to a mass balance of zero with
18 phosphorous. There always seems to be a
19 surplus. Even if you reduce to nutrient
20 requirement needs, you're going to have more
21 phosphorous than the plants need.

22 MR. YOUNG: Dean, what are your
23 estimates as to the total phosphorous
24 reduction you hope to get just in the
25 Cannonsville from implementing those two
(STORMWATER ISSUE)

1 programs?

3258

2 MR. FRAZIER: Well, our goal that we
3 had set, our operating goal set a
4 7,000-kilogram reduction from those two
5 different initiatives.

6 MR. YOUNG: How much money has
7 Delaware County alone invested in the DCAP
8 program?

9 MR. FRAZIER: My best estimate is over
10 \$4 million. I know that two years ago we were
11 a little over three, and if you add in just

12 the cost of my department and a few others,
13 it's easily four .

14 MR. YOUNG: Have you gotten money
15 elsewhere?

16 MR. FRAZIER: Yeah, we've been
17 fortunate enough to get around seven and a
18 half million dollars in grants.

19 MR. YOUNG: Where do those grants
20 primarily come from?

21 MR. FRAZIER: Primarily from the feds,
22 Safe Drinking Water Act monies, and for
23 monitoring models, science demonstrations.
24 Then we also receive a substantial amount from
25 the Watershed Environmental Assistance
(STORMWATER ISSUE)

3259

1 Program, WEAP, under the Water Resources
2 Development Act through the Army Corps of
3 Engineers.

4 MR. YOUNG: I'm going to -- you
5 haven't studied, or have you studied the
6 phosphorous load allocations from this
7 particular project that's the subject of this
8 hearing?

9 MR. FRAZIER: I have looked at them.

10 MR. YOUNG: For purposes of this
11 question, I'm going to give you what is in the
12 record so far. In Applicant's Exhibit 47, I
13 think they gave a range -- Applicant's 47
14 being the Crossroads Ventures, LLC, Total
15 Phosphorous Loading Calculations and
16 Comparisons dated June 2004. They gave a
17 range of phosphorous loadings, I think, in the

18 Ashokan from this project of somewhere between
19 196 kilograms to 206. And they gave a range
20 of phosphorous loadings into the Pepacton,
21 somewhere between 167 kilograms to 189. And
22 that's combined both from the wastewater
23 treatment plants and from the stormwater.

24 Are those significant phosphorous
25 loadings in those watersheds?
(STORMWATER ISSUE)

1 MR. FRAZIER: In terms of the Pepacton ³²⁶⁰
2 Basin.

3 ALJ WISSLER: Six healthy cows.

4 MR. FRAZIER: Personally, I don't
5 consider them significant when the available
6 load is in excess of 30,000 kilograms per year
7 under the TMDL. I don't understand the
8 -- maybe it's something that I don't
9 understand, but in terms of phosphorous
10 loading, I don't view those as significant.

11 To give you a perspective, in the
12 Cannonsville Basin, if we looked at all the
13 urban runoff, our best estimate is maybe
14 200 kilograms we could capture from urban
15 impervious surfaces flowing into Cannonsville.

16 Well, we have 50,000-kilogram load
17 compared to 200 kilograms from impervious
18 surfaces, I'm thrown back by that. I guess I
19 would stay away from the Ashokan. I've read
20 it. Even in that one, I'm a bit mystified as
21 to the major concerns, just relative to the
22 total -- or the available load under the TMDL.

23 MR. YOUNG: You have previously
24 indicated that under the city watershed
25 regulations that if a basin is phosphorous
(STORMWATER ISSUE)

3261

1 restricted, which means, I guess, that it
2 exceeds the water quality standard for
3 phosphorous, that the regulations prohibit new
4 point sources. Why is that an effective
5 way -- or is that an effective way of
6 addressing phosphorous loads in the
7 Cannonsville, for example?

8 MR. FRAZIER: Not in the context of
9 the total load, at least in the Cannonsville
10 Basin, that's -- it may have issues to do with
11 demand and control. But in terms of the big
12 picture of water quality, it seems to me that
13 what we've done under DCAP is develop a plan
14 that can be done in any basin, identify the
15 priority areas and go after those types of
16 reductions, as opposed to the hundreds of
17 thousands of dollars it takes to chase down
18 30, 40, 50 kilograms, say, in the village of
19 Walton.

20 I'm not saying stormwater isn't
21 important, I'm just saying relative to
22 phosphorous, in terms of our objectives, in
23 terms of a comprehensive plan when point
24 sources make up such a tiny fraction relative
25 to the potential to get the reduction in the
(STORMWATER ISSUE)

3262

1 nonpoint source --

2 MR. YOUNG: Keith, can you explain the
Page 114

3 TMDL process? What is the TMDL process?

4 MR. PORTER: It's a way of determining
5 what is acceptable in terms of a total loading
6 to a water body. Under Section 303 is not in
7 compliance with some specified water standard.
8 If a water body is not in compliance and the
9 TMDL process is triggered, that can be
10 calculated multiple ways. But it's based on
11 mass balance calculations that allow one to
12 then look at the existing loads relative to
13 the total load that will be permissible as
14 defined by the water standard.

15 In other words, the concentration,
16 which is how the standards are normally
17 stated, is transformed into a loading ceiling
18 for that water body, whether it's a lake or
19 river or whatever.

20 Then the existing loads in that
21 watershed for that water body are calculated.
22 On the basis of that, an allocation is
23 performed as a basis for targeting where there
24 should be reductions to bring that water body
25 into compliance with the drinking water
(STORMWATER ISSUE)

□

1 standard.

3263

2 MR. YOUNG: Have you reviewed the
3 TMDL's for the Pepacton and Ashokan?

4 MR. PORTER: Not in detail.

5 MR. YOUNG: Can you identify for us
6 what is the available load, you might say the
7 excess load available for --

8 MR. PORTER: What's currently
9 available for Ashokan West is about
10 8,000 kilograms, and Ashokan East is a little
11 more than a thousand.

12 MR. YOUNG: What about Pepacton?

13 MR. PORTER: Pepacton is 33,000.

14 MR. YOUNG: When you say available,
15 that means that what's being used up --

16 MR. PORTER: That's surplus to
17 requirements right now.

18 MR. YOUNG: And given that, what's
19 your opinion regarding the loadings from this
20 project?

21 MR. PORTER: They're de minimus,
22 trifling.

23 ALJ WISSELER: They're what?

24 MR. PORTER: Trifling. If you made a
25 complete urban area, say akin toward an urban
(STORMWATER ISSUE)

1 area, all 573 acres is now water, you get --³²⁶⁴
2 the loading from water is 1 kilogram per
3 hectare per year. And that's measured. So
4 we're going to get 500 kilograms from this
5 site that's now paved over and got houses.
6 Perhaps I'm exaggerating a little bit, but the
7 claims that the reservoirs are threatened by
8 loading from this development makes no sense
9 in terms of the arithmetic.

10 MR. YOUNG: Thank you. Finally, just
11 for the record, we're going to ask if there is
12 an adjudicatory hearing on this issue, we
13 would ask the court to take judicial notice --

14 DEC has published a public notice to modify
15 the TMDL for the Ashokan Reservoir. In doing
16 that, what has been determined is that the
17 Shandaken Tunnel, which takes water from the
18 Schoharie Reservoir system and brings it to
19 the Ashokan system, was an illegal point
20 source. And I think the City was brought to
21 court and was ordered to pay a penalty and was
22 required to submit a SPEDES application for
23 that.

24 The draft public notice for
25 modification of TMDL indicates that the
(STORMWATER ISSUE)

1 phosphorous loading from the Shandaken Tunnel³²⁶⁵
2 to the Ashokan is approximately
3 10,400 kilograms. And our position is that if
4 phosphorous is a problem in the Ashokan, a far
5 more cost effective way of addressing
6 phosphorous would be to install some form of
7 treatment -- which treatments have been
8 available and DEC is currently investing in --
9 on the Shandaken Tunnel. That's where you're
10 going to get real benefit for your dollar, not
11 by making poor people who live in these
12 watersheds pay these astronomical costs to
13 eliminate phosphorous in the watershed.

14 MR. PORTER: It is very easy to --
15 when you slip between units to forget to make
16 the correction. The loading from an urban
17 area in the Cannonsville Basin and Pepacton as
18 we measured it is 1 kilogram per hectare, not

19 acre. There are about 250, roughly, hectares
20 in this development. So if you take that
21 loading rate, you get 250. I didn't change
22 the acres down to hectares as I should have
23 done, so my loading statement --

24 ALJ WISSLER: About 4.6 acres per
25 hectare -- about 5 acres; 4 and a half or 5
(STORMWATER ISSUE)

3266

1 acres per hectare?

2 MR. PORTER: Roughly 2.5 acres per
3 hectare.

4 ALJ WISSLER: All right.

5 MR. YOUNG: Thank you.

6 ALJ WISSLER: Are we breaking for
7 lunch?

8 MR. GREENE: We can break for lunch.
9 If we respond, we can make a quick statement
10 when we come back. If that's what you want to
11 do.

12 ALJ WISSLER: Well, if you want to
13 make a brief response now, that will be fine
14 with me. And then we can take lunch and then
15 we can come back and only have to do
16 pesticides.

17 why don't we take five minutes and
18 then everybody who wants to make a little
19 statement can make a statement and then we can
20 break for lunch.

21 (12:59 - 1:10 p.m. - BRIEF RECESS
22 TAKEN.)

23 ALJ WISSLER: Mr. Green?

24 MR. GREENE: Just very quickly. We
Page 118

25 have never said that the phosphorous from this
(STORMWATER ISSUE)

3267

1 project will impair the reservoirs of their
2 best-intended uses. Clearly, however, the
3 control of phosphorous from this project was
4 an essential consideration in writing the
5 draft SPEDES permits, and in developing the
6 DEIS; therefore, the analysis has to be
7 performed and the Applicant has not accurately
8 analyzed the increments of phosphorous
9 resulting from this project at this time. The
10 SPEDES permits cannot, therefore, be issued
11 until that analysis is performed correctly.

12 ALJ WISSLER: Anything from anybody
13 else before we break for lunch? I think we
14 are up to pesticides; am I correct?

15 MR. RUZOW: Yes.

16 MS. BAKNER: Yes.

17 ALJ WISSLER: Okay. Any idea how long
18 a presentation that will be?

19 MS. BAKNER: DEP is next up.

20 MR. GREENE: We shouldn't be more than
21 a half hour. Should be very short.

22 ALJ WISSLER: Anything from --

23 MR. GERSTMAN: Our experts -- we'll
24 reserve our right to reply.

25 MS. KREBS: Department Staff will be
(STORMWATER ISSUE)

3268

1 about a half hour.

2 ALJ WISSLER: Mr. Ruzow or Ms. Bakner?

3 MS. BAKNER: About an hour.

4 ALJ WISSLER: Okay. So we can get it
5 all in this afternoon? Sounds good. How
6 about we break until 2 o'clock.

7 (1:11 - 2:12 P.M - LUNCHEON RECESS
8 TAKEN.)

9 ALJ WISSLER: Going back on the
10 record. Pesticides, Mr. Greene?

11 MR. GREENE: I'll introduce this
12 briefly. This is, I think, Issue 6 in the
13 City's petition. We'll be presenting the
14 testimony of Charles Cutietta-Olson from DEP,
15 and I'll turn it over to him right now.

16 MR. CUTIETTA-OLSON: I want to start
17 off pointing out some areas of agreement that
18 we have with Dr. Knisel's testimony regarding
19 the use of the GLEAMS model, specifically some
20 of the parameters that were applied in that
21 model.

22 First of all, that it was run for only
23 one year -- Dr. Knisel testified that the
24 model looking at pesticide impacts should be
25 run for several years of participation to
(PESTICIDES ISSUE)

1 account for variation. We agree with that.

3269

2 The Applicant selected practice
3 parameters in the model that took credit for
4 crops grown on contour, and that would not
5 actually reflect the turfgrass condition of
6 the golf course. So we think that as a
7 result, there's probably more runoff from the
8 site than the model would have shown. Use of
9 the default parameters of the soil profiling

10 were not particularly proper because the site
11 is going to be changed, the soil profile is
12 going to be substantially changed.

13 Dr. Knisel testified that the DEIS
14 failed to look at pesticide impacts that might
15 occur as a result of grass clippings that
16 would be covered with pesticides and left
17 on-site. There is no discussion how those
18 would be handled, but we expect that issues
19 like that would be addressed in a detailed
20 integrated management plan.

21 I want to get back to the soil
22 profiles issue for just a minute. The soil --
23 the way the models were run, they used
24 existing soil profiles. That's what's stated
25 in the DEIS. But in fact, the predevelopment
(PESTICIDES ISSUE)

1 soil conditions are not the conditions under ³²⁷⁰
2 which the pesticides are going to be applied,
3 so the models wouldn't accurately reflect the
4 postdevelopment condition.

5 In Appendix 15, Section 2.2.4, the
6 Applicant states that it used the soil series
7 profiles of the sites where the golf course
8 would be constructed; and Section 3.6 of the
9 DEIS only describes the preexisting soil
10 conditions. There is no description in there
11 of the postdevelopment conditions. In fact,
12 we were not able to find in one single
13 portion, in a single paragraph, a clear and
14 concise description of what postdevelopment

15 soil conditions and topography was going to
16 be. We actually had to sort of piece it
17 together.

18 Getting in that -- piecing that
19 together, the Applicant indicates that rock
20 taken from blasting areas to construct golf
21 course holes are going to be used as fill.
22 Use of LEACHM -- the LEACHM model was not used
23 to describe what's going to happen with that
24 crushed rock area. The crushed rock is
25 obviously not going to behave like a soil for
(PESTICIDES ISSUE)

3271

1 purposes of infiltration of pesticides.

2 In the DEIS Section 2 -- I'm sorry,
3 page 2-55, there are some descriptions that
4 I've been asked to read regarding the use of
5 crushed rock. Paragraph B: "Approximately
6 18,000 cubic yards of rock material from hotel
7 excavation will be crushed on-site for subbase
8 material for roads, drives and parking areas.
9 The remainder of the material will be crushed
10 and available mostly for golf course and site
11 work construction fill material." Golf
12 courses are obviously where the pesticides are
13 going to be applied.

14 Next paragraph: "Approximately
15 18,200 cubic yards of rock blasted from the
16 irrigation ponds will be used as fill on holes
17 1 and 9, will be placed there during Phase 1.
18 The rock will be placed on two and a half
19 acres of logged but not grubbed areas with an
20 average depth of the fill to be 4.5 feet."

21 Two more paragraphs down:
22 "34,500 cubic yards of rock will be placed on
23 approximately 8.8 acres that are logged but
24 not grubbed on the range in 15 Phase III
25 areas. Average depth of fill will be
(PESTICIDES ISSUE)

3272

1 2.4 feet."

2 Another postdevelopment feature that
3 was not represented in the LEACHM or GLEAMS
4 modeling efforts that could influence
5 pesticide transport offsite are the
6 underdrains of the fairways. The fairways are
7 to be underlain by perforated pipe that are
8 proposed to be connected to the operation
9 phase stormwater basins.

10 So below the soil profile, they're
11 going to be -- which I'm going to refer back
12 to in a minute -- they're creating a new soil
13 profile on top of the crushed rock, and then
14 there's pipe underneath that so that the soil
15 doesn't get too saturated, because since you
16 are irrigating, keeping the soil moist, there
17 are issues with mold and various other things
18 that golf courses have to control.

19 So with the underdrains now and the
20 crushed rock, you have a layer -- first of
21 all, the underdrains are going to actually
22 increase a lateral transport coefficient.
23 Where you have infiltration into the ground
24 where LEACHM would have modeled infiltration
25 to the ground, you actually have underdrains
(PESTICIDES ISSUE)

1 intercepting that and increasing what would be
2 a lateral transport component that would be
3 normally modeled by GLEAMS.

4 Or you have a faster vertical
5 transport component because under the soil
6 layer that they're putting on it's crushed
7 rock, which has very high porosity and the
8 water is going to completely fall through it.

9 This is from page 2-45 of the DEIS
10 Section 5: "Fairway drains will be installed
11 during construction, and during construction
12 these drains will consist of perforated stand
13 pipes surrounded by a gravel rock jacket, all
14 surrounded by perimeter silt fence. Detail 6,
15 Sheet CP-18. These fairway drains will be
16 piped to temporary sediment basins that will
17 be converted to operational phase basins."
18 The storm basins that we have been contending
19 are likely, in some cases, under some
20 precipitation conditions, have contributed to
21 surface discharge.

22 The Applicant is planning to scrape
23 the site of existing soils and replace with
24 180,000 cubic yards of new soil for each site.
25 The depth of soil is only going to be
(PESTICIDES ISSUE)

1 12 inches at Big Indian, according to the
2 Wildacres Water Budget on page 6 and the Big
3 Indian Water Budget on page 4.

4 The actual characteristics of the soil
5 are unclear. There was someone who testified
Page 124

6 the last time I was here in June who described
7 the soil as being a mixture of topsoil and
8 sand. But in any case, this is not the
9 preexisting soil conditions that was used in
10 the models. The models, therefore, do not
11 accurately represent the conditions under
12 which pesticides are going to be applied. And
13 we believe that in order to accurately
14 characterize the impact of the pesticide, the
15 postdevelopment condition should be described
16 as accurately as possible and represented in
17 the model.

18 Furthermore, some of the pesticides
19 that the Applicant -- that were listed in the
20 Attachment 4 of Appendix 15 include herbicides
21 that have more than one active pesticide
22 ingredient. And again, to accurately
23 characterize the impact of pesticides, there
24 should be some inclusion of pesticides that
25 would be co-applied. The way the model was
(PESTICIDES ISSUE)

□

1 done, they looked at the concentration of each ³²⁷⁵
2 pesticide individually, but in fact, there may
3 be conditions where you would have the sum of
4 two pesticide concentrations exiting offsite.

5 In terms of the monitoring wells --

6 ALJ WISSLER: Explain that to me. I'm
7 not quite sure I follow that.

8 MR. CUTIETTA-OLSON: The way the
9 modeling was done when they listed their
10 concentrations of pesticides that would be

11 exiting offsite, and compared these to any
12 applicable standards or LC50s, you're looking
13 at each pesticide individually. But if you're
14 applying two pesticides, you would be looking
15 at the sum of those two concentrations, I
16 would think.

17 I mean, that's something I think
18 should be looked at. It is not uncommon for
19 pesticides to be co-applied. And in
20 Attachment 4, Appendix 15, several of the
21 commercial products that were listed had two
22 pesticide active ingredients. They were
23 herbicides.

24 But in the course of turf management
25 on a golf course, there might be -- you might
(PESTICIDES ISSUE)

1 apply several different pesticides at once. 3276

2 ALJ WISSLER: So there were herbicides
3 with pesticides in them?

4 MR. CUTIETTA-OLSON: No, there were
5 herbicide products that had two different
6 active ingredients. So both of these active
7 ingredients are being applied at the same
8 time. So then if there is transport of this
9 material offsite, it's not -- you're not
10 looking at a single concentration of one
11 herbicide, you're looking at two
12 concentrations.

13 The SPEDES permit identifies some
14 wells that are going to be used to look at
15 potential impacts to groundwater from the
16 pesticides. We were able to find descriptions

17 of three of them: The Rashid well, Janus East
18 well and the Midroad well in the DEIS. The
19 Mann Cabin Well, we were not actually able to
20 find a reference to, so I'm not exactly sure
21 what the -- where that well is located or what
22 it's monitoring.

23 In fact, the diagram, Figure 3-16,
24 doesn't show you where any of the wells are
25 specifically. So we don't really know exactly
(PESTICIDES ISSUE)

3277

1 where the monitoring points are.

2 But in each of the three wells that we
3 were able to get some description on, the
4 monitoring depths are 475 feet, and Janus East
5 and Midroad well are 698 feet deep. These
6 wells are looking at water in deeper aquifers,
7 the drinking water aquifer.

8 If you want to look at the risk of
9 pesticides migrating offsite, it would be
10 protective of waters of the state to look at
11 shallow groundwater before so that you have
12 some indication of potential impacts before it
13 gets to the deeper aquifer. If you're
14 detecting pesticide concentrations in the deep
15 aquifer, now you have an environmental
16 problem.

17 ALJ WISSLER: It's too late.

18 MR. CUTIETTA-OLSON: It would be
19 better to identify if that problem has a
20 potential to occur and change management
21 practices accordingly.

22 The proposed monitoring wells are
23 located in the deep aquifers. I would
24 suggest, although I would hope that we could
25 actually discuss this further, that if a
(PESTICIDES ISSUE)

3278

1 monitoring program were developed, that a
2 shallow well should be located in areas
3 on-site where infiltration is likely to occur,
4 level areas, and then also at the property
5 edges.

6 Finally, I just want to state
7 regarding the analytes. When we reviewed the
8 list of pesticides that the Applicant is
9 proposing, Table 5 of Appendix 15, we found --
10 actually with the assistance of the DEC, that
11 16 of the pesticides are not analyzable by a
12 currently certificate method.

13 MR. GREENE: I'm going to hand out a
14 list of those pesticides. I'm not sure which
15 exhibit this will be, but it will be City
16 Exhibit --

17 ALJ WISSLER: This will be City
18 Exhibit 28.

19 (LIST OF PESTICIDES PERMITTED FOR USE
20 ON PG8-11 OF THE WILDACRES DRAFT SPEDES PERMIT
21 & PG 18 OF THE BIG INDIAN SPEDES PERMIT FOR
22 WHICH CERTIFIED ANALYTICAL METHODS DO NOT
23 CURRENTLY EXIST RECEIVED AND MARKED AS CITY
24 EXHIBIT NO. 28, THIS DATE.)

25 MR. CUTIETTA-OLSON: There are
(PESTICIDES ISSUE)

3279

1 actually 18 pesticides on the Table 5 that are
Page 128

2 not analyzable by currently certified methods,
3 but two of them are not listed on the SPEDES
4 permits. So the 16 listed on the page you're
5 holding are actually 16 taken from the SPEDES
6 permit that are not analyzable by currently
7 certified methods.

8 The SPEDES permit states that: "If
9 EPA methodologies do not exist for a
10 particular pesticide, the Department may, at
11 its discretion, require an MDL/PQL study to be
12 performed by the permittee following review of
13 manufacturer's literature on testing
14 methodology." MDL means Method Detection
15 Limit, and PQL means Practical Quantitation
16 Limit. Basically, the work a laboratory
17 undertakes to determine if they can, in fact,
18 detect a certain analyte, and the
19 concentration at which they can detect it.

20 MS. BAKNER: That was Exhibit 10 of
21 the Office of Hearings and Mediation record,
22 which is the SPEDES permit that Charlie was
23 referring to.

24 MR. CUTIETTA-OLSON: DEP believes that
25 DEC should require analytical methodology
(PESTICIDES ISSUE)

3280

1 development if pesticides that are not
2 analyzable by current certified methods are
3 used on the site. Further, we would expect
4 that if pesticides were detected using a
5 method that is not certified, and the quantity
6 was in excess of the SPEDES permit limit, that

7 it would be considered a SPEDES violation.

8 Typically, SPEDES violations are
9 documented with certified laboratory methods.
10 In the case of these 16 pesticides, if they
11 were detected, they would not be detected by
12 certified methods.

13 That's it for me.

14 MR. GREENE: So if I could quickly
15 summarize three primary issues that the city
16 has raised here. First of all, the pesticide
17 models used by the Applicant in Appendix 15
18 are not run using postdevelopment soil in top
19 gravel conditions on the site, therefore,
20 they're not representative of actual pesticide
21 runoff impacts that could result in the
22 postdevelopment phase.

23 Secondly, the groundwater monitoring
24 wells set forth in both draft SPEDES permits
25 are not adequate for protecting groundwater
(PESTICIDES ISSUE)

□
1 because they are too deep. Therefore, shallow³²⁸¹
2 wells should be required under the SPEDES
3 permit as well.

4 Third, before one of these 16
5 pesticides are applied, if any of these 16
6 pesticides are applied, there must be
7 certified analytical methods to verify their
8 presence in surface or groundwater so that
9 they can be detected before there's a serious
10 impact.

11 ALJ WISSLER: Okay. Marc, you're not
12 weighing in on this?

13
14
15
16
17
18
19
20
21
22
23
24
25

MR. GERSTMAN: No.

ALJ WISSLER: Do you want to go next
or do you want Staff to go?

MS. KREBS: We wanted to hear the
response if that's all right with your Honor.

ALJ WISSLER: That's fine.

MS. BAKNER: First of all, we have two
exhibits, one is the resume of Dr. Martin
Petrovic, and the other is an excerpt from a
New York City DEP Bureau of Water Supply
Report dated May 15th, 2003. And it is the
cover page and page 27 and 28.

ALJ WISSLER: Applicant's 92 and 93.
(PESTICIDES ISSUE)

3282

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17

MS. BAKNER: Yes.

(CV OF A. MARTIN PETROVIC RECEIVED
AND MARKED AS APPLICANT'S EXHIBIT NO. 92, THIS
DATE.)

("NEW YORK CITY DEPARTMENT OF
ENVIROMENTAL PROTECTION BUREAU OF WATER SUPPLY
DATED 5/15/03" RECEIVED AND MARKED AS
APPLICANT'S EXHIBIT NO. 93, THIS DATE.)

("GOLF COURSE IMPACTS TO SHALLOW
GROUNDWATER SUFFOLK COUNTY, NY, DECEMBER 2002"
RECEIVED AND MARKED AS APPLICANT'S EXHIBIT NO.
94, THIS DATE.)

("GROUNDWATER QUALITY, WATER QUALITY
IMPACTS BY GOLF COURSES" RECEIVED AND MARKED
AS APPLICANT'S EXHIBIT NO. 95, THIS DATE.)

("TURFGRASS AND ENVIRONMENTAL
RESEARCH ONLINE - USGA" RECEIVED AND MARKED AS

7-21-04crossroadsf
APPLICANT'S EXHIBIT NO. 96, THIS DATE.)

ALJ WISSLER: Ms. Bakner, did you read these into the record?

MS. BAKNER: Not yet. We also have to enter into the record Applicant's Exhibit 94, which is an article -- report dated December 2002 by the Suffolk County Department of Health Services and Division of Environmental (PESTICIDES ISSUE)

Quality, entitled, "Golf Course Impacts to Shallow Groundwater in Suffolk County, New York." 3283

we also have Applicant's 95, which is a document entitled, "Groundwater Quality, Water Quality Impacts by Golf Courses" by Cohen, Svrjcek, Durborow and Barnes. I'm just looking for a date here. Looks like October 1997.

Lastly, Applicant's Exhibit 96, which is an article from the USGA Turfgrass and Environmental Research Online, Issue 3, Number 4, dated February 15th, 2004. And I will circulate copies of these to the parties when next we're together, or sooner if anyone needs it.

I'm going to hand these to Dr. Petrovic. He'll cover them when we get to his testimony.

First of all, for the record, I want to note that we have covered pesticides and herbicides and fertilizers in several sections of the Draft Environmental Impact Statement,

24 most significantly in Volume 6, Appendices 14,
25 which is the Integrated Turf Management Plan;
(PESTICIDES ISSUE)

3284

1 Appendices 15, which is the Fertilizer and
2 Pesticide Risk Assessment; and also in the
3 following sections: Section 2.4.8 -- Volume 1
4 of the DEIS, Section 2.4.8; Section 3.2.2;
5 Section 3.2.3; Section 3.3; Section 3.5.3;
6 Section 3.6, which specifically deals with
7 soils; and Section 5.7.

8 In addition to these areas, we also
9 have figures -- Figure 2-10, Tables 3-12
10 through 3-15. Table 3-29B and Table 3-30.
11 Those are all in volume 1 of the DEIS.

12 The next document that comprises a
13 significant portion of the record for this is
14 Exhibit 10 which Mr. Olson had referred to
15 previously, I believe it's Office of Hearings
16 Mediation Exhibit 10, which is the draft
17 SPEDES permits. And I would just direct you
18 to page 10 of 23, where the effluent limits
19 and quality monitoring of the micropool
20 detention ponds is set forth. That's number
21 5, which includes the language that Mr. Olson
22 was quoting.

23 ALJ WISSLER: Specifically, looking at
24 the wildacres permit?

25 MS. BAKNER: Yes, specifically looking
(PESTICIDES ISSUE)

3285

1 at wildacres, yes.

2 And No. 6, which has to do with the

3 pesticides that can be used. And I just want
 4 to note for the record that Section 6B
 5 provides that: "Should the permittee wish to
 6 use additional or alternate pesticides not
 7 included on the above list, authorization from
 8 this Department, the Department of
 9 Environmental Conservation, shall be required
 10 prior to use. All pesticides proposed for use
 11 must comply with 6NYCRR Part 326, Registration
 12 and Classification of Pesticides."

13 I also wanted to note that in "C," DEC
 14 has required that we make our pesticide
 15 application records available to DEP, as well
 16 as the Towns of Shandaken and Middletown.
 17 It's 6C.

18 Then if you look at page 15 of 23,
 19 that covers the pesticide -- the surface water
 20 pesticide monitoring, as well as the
 21 groundwater monitoring requirements listing
 22 the names of the wells for wildacres.

23 For Big Indian, the groundwater
 24 monitoring can be found under -- there doesn't
 25 appear to be a section, but it's 13 of 21, and
 (PESTICIDES ISSUE)

□

3286

1 it lists the location of the groundwater
 2 wells. And the special conditions for
 3 pesticide management are set forth on page 18
 4 of 21. And it's Special Conditions for
 5 Pesticides Management. That pretty much
 6 covers it for the SPEDES permits.

7 Today we have, to respond to the
 8 comments regarding pesticides, we have two
 Page 134

9 experts, Kevin Franke of the L.A. Group, whose
10 resume has already been entered into the
11 record, and Dr. Martin Petrovic, whose resume
12 is Applicant's Exhibit 92.

13 what I'd like to do is start with
14 Kevin and go to Dr. Petrovic. If you could
15 describe your qualifications and your
16 experience in doing these types of models so
17 that we can get into the record your expertise
18 with doing this.

19 MR. FRANKE: Sure. Started off
20 dealing with pesticides in -- my Master's
21 Degree research was on aquatic pesticides.
22 Upon employment with the L.A. Group, again,
23 analyzing pesticide use on golf courses.

24 Beginning in 1989, I believe we were
25 the first firm in the state to utilize one of
(PESTICIDES ISSUE)

3287

1 the models that we've used in this risk
2 assessment, which is the LEACHM model
3 developed by Cornell University.

4 Then computer modeling of golf courses
5 throughout New York State, as well as golf
6 courses outside of New York State as far away
7 as Hawaii. Models used in here, as well as
8 others.

9 MS. BAKNER: How many -- give me a
10 ballpark number of how many of these have you
11 run, say, since 1989?

12 MR. FRANKE: At least one a year, so
13 were you're looking at 15 or so.

14 MS. BAKNER: Were those models used as
15 part of DEISS for other projects in New York?

16 MR. FRANKE: Yes, including two here
17 in Region 3 within the last 10 years.

18 MS. BAKNER: Were those both golf
19 course projects?

20 MR. FRANKE: Both golf courses, one in
21 Rockland County and one in Dutchess County,
22 both of which are up and running now.

23 MS. BAKNER: Was there anything
24 unusual about this project relative to the
25 types of modeling that was done here?

(PESTICIDES ISSUE)

3288

1 MR. FRANKE: No, the modeling approach
2 wasn't different. Daily use was different
3 from site to site, but the approach is fairly
4 standardized.

5 MS. BAKNER: Dr. Petrovic, if you
6 could just go over your qualifications and
7 your involvement in these types of projects,
8 that would be great.

9 DR. PETROVIC: I have a Master's of --
10 Master's in turfgrass management from the
11 University of Massachusetts in Amherst; a Ph.D
12 in Michigan -- from Michigan State in
13 turfgrass soil science.

14 I've been on the faculty of Cornell
15 University since 1979, currently as a full
16 professor in the department of horticulture.
17 My area of expertise is turfgrass management.
18 I teach courses in turfgrass management at
19 Cornell.

20 My primary role at Cornell, however,
21 is research. I've published numerous articles
22 on the fate of fertilizers and pesticides
23 applied to turf, and have done consulting on
24 golf courses, primarily since 1990. I've done
25 over 40 projects of this nature, either
(PESTICIDES ISSUE)

1 involving writing the integrated turf and pest³²⁸⁹
2 management plans, doing risk assessment on
3 nutrients and/or pesticides, as well as
4 serving as a consultant for towns on golf
5 course projects. And I have testified before
6 your Honor on other golf course projects,
7 Seven Springs Golf Course project in
8 Westchester County.

9 MS. BAKNER: And who did you represent
10 in connection with that?

11 DR. PETROVIC: In that particular
12 project, I represented the Applicant, the
13 Donald Trump organization.

14 MS. BAKNER: But you do also commonly
15 represent municipalities?

16 DR. PETROVIC: Yes. I've done several
17 in New York, as well as several in
18 Connecticut.

19 MS. BAKNER: In terms of the
20 assistance that you provided to L.A. Group on
21 this project, could you describe it for us?

22 DR. PETROVIC: Primarily, I was used
23 as a person to review the modeling that was
24 done. I have done some research because of

25 our -- the nature of the work I do at Cornell
(PESTICIDES ISSUE)

3290

1 on models, pesticide fate models, in
2 particular, also looked at the integrated turf
3 pest management plan to look to see how
4 contemporary it was, and then the approaches
5 that were taken.

6 MS. BAKNER: So you did a peer review?

7 DR. PETROVIC: Yes, peer review
8 version.

9 MS. BAKNER: And in your peer review
10 of the document that we submitted as part of
11 the Draft Environment Impact Statement, were
12 you comfortable with that? Did you find it to
13 be acceptable? Did you have any concerns
14 about that?

15 DR. PETROVIC: As in reviewing any
16 project, you can find things that you would
17 see that you would like to improve. I
18 recommended those, and those were implemented
19 into the plan. But by and far, the final
20 product, I felt, is very contemporary,
21 state-of-the-art and scientifically sound.

22 MS. BAKNER: Thank you.

23 what I'd like to do now, because
24 really what your Honor has heard so far is
25 sort of what other parties feel is wrong with
(PESTICIDES ISSUE)

3291

1 our plans, and what we have produced in the
2 Draft Environmental Impact Statement by way of
3 an Integrated Pest Management Plan, Integrated
4 Turf Management Plan, and what I would like to

5 have Kevin do is describe for us really
6 Appendix 15 and how it's modeled for this
7 specific project, anticipated leaching of
8 pesticides or other chemicals.

9 MR. FRANKE: Appendix 15 is the
10 pesticide and fertilizer -- Fertilizer and
11 Pesticide Risk Assessment portion of the EIS,
12 and I want to briefly walk through the
13 methodology of the modeling that was used to
14 generate the data used in the risk assessment.

15 Essentially, we used three separate
16 models in the risk assessment; the first being
17 the windows Pesticide Screening Tool; the
18 second being a Leaching Estimation and
19 Chemistry Model or LEACHM; and the third being
20 the model that Dr. Knisel was speaking about,
21 which was the GLEAMS model.

22 In that order, the windows Pesticides
23 Screening Tool was used just for that purpose.
24 As the name suggests, it is a screening tool,
25 it's not a quantitative model, it's more of a
(PESTICIDES ISSUE)

1 qualitative model with limited opportunity for
2 site-specific input. You are allowed to input
3 your site soils and certain information as it
4 relates to precipitation. What comes out of
5 the Pesticide Screening Tool is a qualitative
6 ranking of the potential hazard, ranked from
7 very low hazard to extra high hazard. Hazard
8 ranking is for human health, as well as for a
9 aquatic life. The screening tool is used just

3292

10 for that. It was an initial cut-through of
11 possible pesticides to be used on the site
12 with the site soils to gives us an indication
13 of which pesticides may become problematic
14 when we take a closer look with quantitative
15 models, which is the LEACHM model and the
16 GLEAMS model.

17 The LEACHM model predicts the vertical
18 movement of pesticides through the soil
19 profile; whereas, the GLEAMS model was used
20 for the horizontal transport for the runoff
21 component.

22 Just by way of background of the input
23 data that were used in these models, because
24 we have heard frequently throughout here,
25 garbage in, garbage out, I just want to walk
(PESTICIDES ISSUE)

1 through some of the key inputs that were used³²⁹³
2 in the site-specific models.

3 The LEACHM model, as I mentioned,
4 which was developed by agronomists at Cornell
5 University, allows you to integrate
6 site-specific climate data, soils data,
7 pesticides data. Basically, gives you a mass
8 balance of what goes in, has got to go out in
9 some direction. Provides volatilization, what
10 goes through the soil profile, what breaks
11 down in the soil so you can account for all
12 the material that you put in.

13 There are examples in Appendix 15 of
14 the output files of the LEACHM modeling. The
15 LEACHM modeling, as well as the GLEAMS

16 modeling, we looked at one full year of data.
17 Precipitation or the climate data that we used
18 in both models included precipitation from
19 1996. The NOAA station from which this data
20 was collected was the Arkville station. You
21 recall there was some discussion on the
22 Tannersville data over the stormwater, that's
23 because the stormwater on that model required
24 hourly data. This modeling requires simply
25 daily precipitation values.

(PESTICIDES ISSUE)

3294

1 So since Arkville is a little bit
2 closer, we used that data. We used the data
3 from 1996 because that was approximately
4 50 percent higher than total precipitation
5 average yearly amount. The average
6 precipitation here in Arkville is about 40
7 inches a year. The 1996 data has
8 approximately 60 inches. As you recall, '96
9 was also the year of the flood in this area,
10 which I believe the rainfall in that was a
11 4-inch storm in 24 hours.

12 In addition to daily precipitation
13 amounts, the model also accepts air
14 temperature values, maximums and minimums,
15 daily soil temperatures and daily pan
16 evaporation data. All this data was collected
17 from the nearest NOAA station for which full
18 datasets were available for 1996.

19 MS. BAKNER: And that was Arkville?

20 MR. FRANKE: It depends on the

21 particular parameter. Arkville had the
22 precipitation; Lansing Manor, which is just up
23 Route 30, has pan evaporation data but they
24 didn't have a full year in '96, we had to go
25 to the next closest station. Essentially, the
(PESTICIDES ISSUE)

3295

1 closest station that had published the
2 information.

3 The LEACHM model does not allow the
4 model to calculate when irrigation gets
5 applied. You have to put that in as a
6 rainfall event, if you will. We will talk
7 about that a little more when we get to the
8 GLEAMS model, which does give you an option,
9 kind of model output.

10 So using precipitation data and pan
11 evaporation data, we calculated when
12 irrigation would be applied during '96. Soil
13 series, all of the soils that were mapped on
14 our high-intensity soils map for the golf
15 courses were modeled in LEACHM. And they
16 ranged in thickness anywhere from 10 inches
17 all the way up to 60 inches, 5 feet.

18 Many different physical -- mostly
19 physical parameters are specified in the
20 modeling for the soils, including the
21 percolation rates, the amounts of sand, silt,
22 clay, organic matter, et cetera.

23 Finally, there was a pesticide
24 component of the modeling input in addition to
25 applicational rates and application dates of
(PESTICIDES ISSUE)

1 pesticides. Their physical and chemical
2 characteristics that affect their movement are
3 also inputted. Water solubility, their
4 propensity to bind to organic matter, their
5 vapor pressure, the potential to volatilize up
6 into the air.

7 Just a little background of the
8 pesticides that were analyzed in all of the
9 modeling, all of them are obviously registered
10 for use on turf by the EPA at the federal
11 level, all registered for use in New York
12 State by New York State DEC. In addition to
13 that, all the pesticides that were modeled
14 were recommended for use on commercial
15 turfgrass by an annual publication put out by
16 Cornell University, entitled just that, it's
17 the "Pest Management Recommendations for
18 Commercial Turfgrass," so further narrow down
19 the list of what pesticides can be used on
20 turfgrass in New York State.

21 The GLEAMS modeling that Dr. Knisel
22 talked about incorporated much of the same
23 input data that the LEACHM model used in terms
24 of weather data, characterization of soils for
25 soils data, as well as pesticide
(PESTICIDES ISSUE)

1 characteristics. The difference in the GLEAMS
2 modeling from the LEACHM modeling -- because
3 you're dealing with runoff, you have to
4 specify your slopes, your length of your
5 slopes, the steepness of your slopes, as well

6 as various roughness coefficients for your
7 overland flow.

8 what we got from the LEACHM and the
9 GLEAMS modeling were quantitative data on
10 pesticide concentrations. The data that's
11 generated with the LEACHM modeling was the
12 concentration of pesticides that occurred at
13 the bottom of whatever soil profile you were
14 modeling. So if you were modeling 10 inches
15 of soil and you have, say, a 5 part per
16 million concentration of pesticide X, that's
17 what we compared against the drinking water
18 standard. We didn't take into account the
19 fact that even though pesticide X was at 5
20 parts per million, it's going to be entering a
21 pool of groundwater, which some pollution is
22 going to take place. Basically, the water
23 that's coming through, whatever the soil
24 profile was, comparing that to the water
25 standards directly. Anything that was higher
(PESTICIDES ISSUE)

□

1 than drinking water standards was basically ³²⁹⁸
2 removed from consideration.

3 Similarly, when we did the runoff
4 analysis used in the GLEAMS model, the portion
5 of the golf course that we modeled was the
6 18th fairway on Big Indian Plateau. I don't
7 think we have had a chance to get up the 18th
8 fairway. I can't remember if we walked up.
9 It's the steepest golf hole on either of the
10 two golf courses. Some slopes approaching
11 25 percent.

12 ALJ WISSLER: We can do that if you
13 want.

14 MR. FRANKE: Sure. Like the LEACHM
15 modeling where we just took the bottom soil
16 profile concentration, the GLEAMS model we
17 used what's typically referred to as the
18 edge-of-field concentration. It's typically
19 done for agricultural situations. In this
20 case, it was an edge-of-fairway concentration.

21 Again, we've heard a lot of discussion
22 of the overall stormwater management of the
23 entire project site. The golf course is just
24 one component of it. But again, we used those
25 edge-of-fairway concentrations and compared
(PESTICIDES ISSUE)

1 those directly with aquatic toxicology values.³²⁹⁹
2 So essentially we would be putting the trout
3 in the water that we collected at the edge of
4 our fairway.

5 Again, those runoff concentrations at
6 the end of the fairway that were above the
7 aquatic toxicology values, those pesticides
8 were likewise thrown out of consideration for
9 use on the project site.

10 Using those processes, we came up with
11 the list of pesticides that were proposed for
12 use on the project, and it's those pesticides
13 that were incorporated into the draft SPEDES
14 permits.

15 MS. BAKNER: So the model that you
16 used, they weren't used to establish limits

17 but just to, in essence, eliminate pesticides
18 that could cause a problem?

19 MR. FRANKE: Correct.

20 MS. BAKNER: So it's kind of a
21 different tool in that sense, you're just
22 discarding things that could possibly cause
23 any trouble?

24 MR. FRANKE: That's correct.

25 MS. BAKNER: In addition to the
(PESTICIDES ISSUE)

1 pesticides that were discarded as a result of ³³⁰⁰
2 all your modeling efforts, were there other
3 pesticides that this Department asked that we
4 not use as well?

5 MR. FRANKE: Yeah. If I remember
6 correctly, there were at least one -- if not
7 two -- insecticides that because of their
8 -- just their inherent toxicity, they're quite
9 toxic, they felt they would be more
10 comfortable if they were not proposed for use.

11 MS. BAKNER: Even though they're
12 registered for use in New York?

13 MR. FRANKE: Registered for use in New
14 York, and what's more ironic, at least one of
15 these insecticides was, quote/unquote,
16 "organic type" insecticide.

17 MS. BAKNER: Of the suite of
18 pesticides that are now permitted to be used
19 in the SPEDES permit itself, sort of
20 preapproved, as opposed to ones that we might
21 want to use in the future and seek DEC's
22 approval, you and the Department -- you've

23 basically met the Department's request for
24 discarding any pesticides they were
25 uncomfortable with?
(PESTICIDES ISSUE)

3301

1 MR. FRANKE: Yes.

2 MS. BAKNER: Dr. Petrovic, do you have
3 anything to add to that in terms of how the
4 modeling was conducted in this case?

5 DR. PETROVIC: Well, there was one
6 concern about using one year's data versus
7 many years' data. And looking at the year
8 that was chosen, it's hard to say it's the
9 worst case, but it's probably hard to imagine
10 -- it's hard to believe it would be much
11 greater likelihood there would be any
12 situation would be more of a worst case.

13 You would have 50 percent more on
14 average, 50 percent more precipitation on an
15 annual basis in some very large event storms.
16 And we know in research and in -- and
17 confirmed in real-life situations, that the
18 greatest hazards are from very large
19 precipitation events. So that you're
20 capturing, in a bulk, totally more water, as
21 well as having very large events would be a
22 reasonable worst-case scenario. If it isn't
23 the absolute worst, it's probably pretty close
24 to that.

25 ALJ WISSLER: So that's what was used
(PESTICIDES ISSUE)

3302

1 for modeling?

2 DR. PETROVIC: Yes. So that's what
3 was used for modeling.

4 ALJ WISSLER: Does the Turf Management
5 Plan at all, and I don't know, does it speak
6 to the application of pesticides in advance of
7 precipitation events and when that can happen
8 and so forth?

9 MR. FRANKE: Right. Actually, in
10 Appendix 15 in the risk assessment, the last
11 section includes a number of best management
12 practices. And one of those that is listed is
13 if there is rain forecasted within 48 hours,
14 then any pesticide applications are put on
15 hold until the forecast does not include
16 precipitation within 48 hours.

17 ALJ WISSLER: How does that forecast
18 affect -- National Weather Service forecast
19 for the area or what?

20 MR. FRANKE: It wasn't specified, but
21 I would assume it was -- National Weather
22 Service, local weather, yes.

23 MS. BAKNER: I just want to point out
24 that the SPEDES permit has special conditions
25 for fertilizer use, as well as pesticide use
(PESTICIDES ISSUE)

□

1 that expressly references and incorporates
2 Appendices 14 and 15. So all of the
3 management methods that we said we would use,
4 and an absolute limit on the pounds, shall not
5 exceed four pounds per thousand square feet
6 per year to golf course fairways. So that is
7 all set forth in the SPEDES permit itself.

3303

8 To get to the issues which Martin has
9 already jumped ahead for us on here, given
10 that you used the data from 1996, which was
11 50 percent above average precipitation, would
12 you -- if you inputted 50 years of
13 precipitation data, would you improve the
14 results of your analysis in any respect?

15 MR. FRANKE: To answer your question,
16 no, I don't think you would because I ran a
17 sensitivity analysis using the LEACHM model
18 for precipitation that was of a lesser amount,
19 very close to the average annual
20 precipitation --

21 MR. RUZOW: About 40?

22 MR. FRANKE: 38.5 inches. And I took
23 one of the same input files that I ran using
24 1996 data, included four insecticides, and
25 using the 1996 data, two of the insecticides
(PESTICIDES ISSUE)

leached some. Two of them did not leach
through the bottom of the soil profile.

3 Just in summary --

4 ALJ WISSELER: '96 was the year of
5 extraordinary precipitation?

6 MR. FRANKE: Correct. So using the
7 lesser amount of precipitation, which came
8 from -- what year did I use -- I believe it
9 was 1989. That was just about the average
10 amount of data. The same two pesticides that
11 leached in the higher rainfall amounts also
12 leached in the lesser rainfall amounts.

19 agriculture and golf courses.

20 MR. FRANKE: Essentially, yes, it is.

21 And one of the things that I touched on

22 previously was the GLEAMS model does allow you

23 to have a model, say, okay, we need to do some

24 irrigation. Then the model will apply

25 irrigation as a rainfall event. It does this
(PESTICIDES ISSUE)

□

3306

1 by looking at other input data that the

2 modeling puts in. But that data is long-term

3 and it's average data. It looks at monthly

4 wind speed, monthly temperature, monthly

5 sunlight intensity.

6 The things that Dr. Knisel was saying,

7 you need to use site-specific data or as site

8 specific as possible -- we had already used

9 local NOAA data in the LEACHM modeling for

10 precipitation and evaporation to determine

11 when the irrigation would be needed. We had

12 used the localized and the daily data rather

13 than the long-term monthly averages in the

14 LEACHM model to determine when irrigation was

15 needed and how much irrigation.

16 So that would have to be done for

17 every year. You would have to take the daily

18 rainfall value, daily pan evaporation data

19 and, basically, it's a cumulative total. And

20 when the evaporation exceeds the

21 precipitation, you have to add irrigation.

22 So conceivably, if you were to use the

23 model and have it calculate when irrigation

24 was needed, based on the long-term monthly
25 averages, that would make it easier to model
(PESTICIDES ISSUE)

3307

1 multiple years' worth of data.

2 Another thing, and it relates to the
3 question you brought up, your Honor, is the
4 timing of pesticide applications. When we do
5 the modeling, we purposely model it the way it
6 would happen on the golf course.

7 If you know a rainstorm is coming,
8 you're not going to be applying it on that
9 day. If it's raining that day, you are not
10 going to apply pesticides.

11 So with 50 years, or for many years
12 worth of data, you have to adjust your dates
13 when to apply pesticides, because every year
14 it's going to rain on different dates. So if
15 you had made a pesticide application on the
16 1st of July in 1996, that it wasn't going to
17 rain for the rest of the week, you have to go
18 back to each one of the years and say, okay,
19 did it rain on July 1st or 2nd or 3rd. So
20 each one of the years you have to adjust your
21 pesticide application dates as well.

22 whereas, with agriculture, I don't
23 think that their management approach to
24 pesticide application is as sensitive -- maybe
25 that's not the right word -- to weather
(PESTICIDES ISSUE)

3308

1 conditions and the timing of your application.

2 Similarly, their irrigation
3 sensitivity may not be as high as a golf

4 course. So that's why it may be very easy to
5 run an agricultural scenario over multiple
6 years just by putting in multiple years worth
7 of rainfall. It's certainly much more data
8 intensive to do multiple years for a golf
9 course scenario.

10 ALJ WISSLER: When you talk about the
11 concentrations in pesticides and so on, where
12 is that concentration level taken? Is it
13 taken at the surface, taken below the surface?
14 Where is it taken?

15 MR. FRANKE: It's taken exactly
16 wherever you tell the model to take it. So
17 for soils, I'll determine the thickness of a
18 soil profile. If there's a seasonal high
19 water table, say, at 16 inches below the
20 surface, I'll set my profile 16 inches.
21 Because if it's going to make it through that
22 16 inches, it's going to hit that shallow
23 groundwater table. If depth to bedrock is
24 greater than five feet, I'll model the full
25 five foot of thickness.

(PESTICIDES ISSUE)

1 AS I say, for the runoff portion of ³³⁰⁹
2 it, you can pick it anywhere in your runoff
3 path that you want. Really, what I did is I
4 just modeled the whole 18th fairway as it
5 worked its way down, and it's pretty much a
6 straight shot downhill, so I picked the bottom
7 of the fairway.

8 ALJ WISSLER: In the soils that you

9 used in that survey that you did at the 18th
10 fairway, that was -- you went out and walked
11 the site and said, look, here are the soils
12 that are here?

13 MR. FRANKE: Our soil scientist, soil
14 classifier put together a high-intensity soils
15 map, which essentially takes the published
16 soil surveys, takes those large areas and
17 breaks them down into much smaller areas so
18 it's much more precise.

19 So with that map in hand, I knew
20 exactly what soil series were underneath,
21 especially in the 18th fairway, but underneath
22 all the fairways. And I think there was a
23 total of five soil series that were modeled in
24 the LEACHM analysis. And like I mentioned
25 previously, they ranged in thickness anywhere
(PESTICIDES ISSUE)

1 from 10 inches to 60 inches. So I modeled all³³¹⁰
2 five of the soils. Whichever one had the
3 highest concentration coming out from the
4 bottom, I specified anywhere from the 10
5 inches to the 60 inches, that's the
6 concentration that I used for risk assessment.

7 ALJ WISSLER: When that 18th hole is
8 built, are they going to use gravel that they
9 crushed and brought in from elsewhere on the
10 site?

11 MR. FRANKE: Not on the 18th, they're
12 not, but on holes 1 and 9, like Mr. Olson
13 mentioned, yes. And to address that comment,
14 I think Mr. Olson addressed the comment when

15 he said the way these things are going to be
16 constructed, trees are going to be cut, it's
17 not going to be grub, so the native soil is
18 still going to be there. The native soil I
19 modeled. You have rock placed on top of that
20 just to bring the grades up, and you're going
21 to have native soil as a fill, and the topsoil
22 layer brought in on top of that. So what I
23 modeled was just what's underneath the rock,
24 which will be undisturbed.

25 ALJ WISSLER: You're saying your
(PESTICIDES ISSUE)

1 approach is even more conservative because as ³³¹¹
2 a practical matter there are going to be
3 several layers yet on top?

4 MR. FRANKE: Yes. I mean, the native
5 soil that's used as filler on top of the rock
6 and the topsoil, sure, you're going to get
7 more attenuation in that area.

8 ALJ WISSLER: Has that been quantified
9 anywhere in the DEIS?

10 MR. FRANKE: Not in terms of the
11 pesticide concentration.

12 MS. BAKNER: So remember, the purpose
13 of it is to discard the ones that would cause
14 trouble.

15 ALJ WISSLER: I'm just asking.

16 DR. PETROVIC: Using the approach of
17 edge of fairway, depth of topsoil, those are
18 the highest concentrations you would expect.
19 There should be further dilution if you were

20 modeling a hundred feet down or 100 feet away
21 from that fairway. In practicality, those
22 levels are going to be substantially less. So
23 you're looking at the greatest concentration
24 and the greatest risk.

25 MS. BAKNER: Mr. Olson commented at
(PESTICIDES ISSUE)

1 one point that we were going to be scraping ³³¹²
2 the soils off the site and then replacing all
3 those existing native soils. So that
4 description is really not reflective of what
5 we're doing?

6 MR. FRANKE: The scraping and
7 replacing isn't. But there are going to be
8 cuts and fills to make this golf course,
9 otherwise, we wouldn't have grading plans.

10 But in order to try and model every
11 postconstruction soil type that would be out
12 there, essentially, you have got a continuum
13 of anything that's going to be filled 4 or 5
14 feet tall, stuff that's going to be cut 4 or 5
15 foot. So you would have to have a continuum
16 all the way through. Essentially, countless
17 numbers of soil types to model.

18 Really, in using that one 10-inch soil
19 profile, which is the Halcott, it's pretty
20 much representative of worst case. Because
21 you can't grow grass in six inches of topsoil.
22 And the golf course architect designed it so
23 you're going to have at least a foot of native
24 soil in place over rock, and then six inches
25 of topsoil placed on top of that.

1 The modeling included a 10-inch soil
2 profile, which is thinner than the 12 inches
3 of native that you're leaving. And it doesn't
4 even take into account the attenuation you're
5 going to get from the topsoil layer.

6 MS. BAKNER: So Dr. Petrovic, in your
7 mind, is that approach the most conservative
8 and appropriate and reflective of a method
9 that will ensure that we don't use any
10 pesticides that will be problematic?

11 DR. PETROVIC: Well, the purpose of
12 basically screening out potential risks using
13 modeling in this way, yes, I think is very
14 conservative. It's identifying -- identifying
15 at preconstruction what may be a problem and
16 removing that instead of saying, let's put
17 conditions on the use of the material or let's
18 use it just to monitor for -- it's a lot more
19 conservative to say we're not using it at all.
20 We're not even bringing into question whether
21 there's really a risk to it or not. So yes, I
22 believe it is a very conservative approach.

23 MS. BAKNER: Kevin, you're familiar at
24 all the -- you're familiar with all the
25 grading plans and everything else. Is there
(PESTICIDES ISSUE)

1 anywhere on the site where we're going to have
2 less than 10 inches of the lousiest soil?

3 MR. FRANKE: No. You can't grow
4 grass -- you have to have a soil profile

5 that's at least a foot or 18 inches thick.

6 DR. PETROVIC: You could, but you
7 wouldn't want to -- practicalitywise, you
8 wouldn't want to.

9 MS. BAKNER: There has been a couple
10 of claims made in the various petitions and
11 documents that there was a default assumption
12 of 2.5 meters, which I believe is equivalent
13 to 8.2 feet of soil above the water table or
14 bedrock. I know, because we have tried to
15 find the source of that misconception, is
16 there any truth to that allegation?

17 MR. FRANKE: No, there isn't. Again,
18 I have tried to find out what the basis of
19 that comment was and haven't been successful.
20 The only thing I can think of, there is an
21 attachment in Appendix 15, which is an example
22 of one of the input files, and it has the soil
23 profile depth in there and it lists a profile
24 depth as 254 millimeters, which is .25 meters.
25 So maybe by some math error somebody came up
(PESTICIDES ISSUE)

1 with 2.5 meters and assumed this was the soil³³¹⁵
2 that was going to be used throughout the risk
3 assessment. This was just an example of one
4 soil in one of the model runs. It was .25
5 meters rather than 2.5 meters for that
6 particular example profile.

7 MS. BAKNER: Mr. Olson asked a
8 question or made a comment relative to how the
9 pesticide, the active pesticide ingredients
10 were modeled, in terms of being modeled

11 separately. Can you respond to that?

12 MR. FRANKE: Right. The models
13 require that you input them individually,
14 because they have different chemical
15 characteristics affecting their movement. In
16 the case where you have what I refer to as
17 combination products, where you have more than
18 one active ingredient, and one of the better
19 known ones is Trimec, T-R-I-M-E-C, has three
20 active ingredients, three herbicide active
21 ingredients in it. Simply, what you do is you
22 go to the product label and determine how much
23 of each of the component active ingredient is
24 applied and you model them individually.

25 MS. BAKNER: All right. So if any one
(PESTICIDES ISSUE)

1 of the three causes problems, you just get rid³³¹⁶
2 of that formulation?

3 MR. FRANKE: Right, that formulation,
4 exactly.

5 MS. BAKNER: Is that the common way to
6 do it? Is there any other way to do it using
7 the model?

8 MR. FRANKE: In my mind, it's the most
9 conservative way. Even if one out of the
10 three ingredients were problematic, then that
11 would not be considered for use.

12 MS. BAKNER: To get back for a second
13 to the crushed rock and underdrain system.
14 There's an allegation that the underdrain
15 system will somehow promote the lateral

16 transport of pesticides throughout the system
17 in a way which is not accounted for by the
18 model. And I know you have discussed this a
19 little bit, but can you explain it further?

20 MR. FRANKE: I could understand why
21 there might be some misconception about this
22 because the detail Mr. Olson referred to on
23 Sheet CP-18 does say, Subsurface Drainage
24 System. It shows it in detail how the drains,
25 which are surface drains, are to be
(PESTICIDES ISSUE)

1 constructed during the construction phase. 3317

2 But if you look at Detail 6 or Sheet
3 CP-18, you'll see the piping that's below
4 grade or underground is solid pipe. You don't
5 use solid pipe as drain pipe. It's conveying
6 water collected on the surface underneath.
7 It's not that anything percolated through the
8 soil can be picked up by this drain pipe. So
9 the vertical or the leaching isn't getting
10 shortcutted by this pipe, because the pipe has
11 no openings and the percolation can't enter
12 that pipe.

13 MS. BAKNER: And the reason for having
14 this underdrain system, you need to know the
15 plans that go along with the Draft
16 Environmental Impact Statement, the full
17 plans. Was there a reason why the golf course
18 architect put those in?

19 MR. FRANKE: The golf course architect
20 came up with this as another enhancement to
21 our stormwater controls during construction,

22 primarily. By grading areas such that they
23 create a bowl, so to speak, and by having this
24 riser, you could cut down on the length of the
25 slope that the water would run over during
(PESTICIDES ISSUE)

1 construction. So you could pick up the water,³³¹⁸
2 shortcircuit it and get it into our stormwater
3 basins where we talked about the flocculation
4 and dewatering. And that's really the primary
5 intent of this.

6 MS. BAKNER: During construction.
7 During operation, what purpose will they
8 serve?

9 MR. FRANKE: Basically, it will allow
10 the fairway surface to dry out faster and the
11 golfer should be able to get back on the golf
12 course sooner.

13 MS. BAKNER: How is that helpful in
14 terms of turf management?

15 MR. FRANKE: Certainly, anything you
16 do to reduce time when you have got really wet
17 soils or really damp conditions, when weather
18 conditions are favorable, it could enhance the
19 potential for diseases to occur on the turf.

20 MR. RUZOW: I'm sorry, I'm thinking of
21 a negative. If it stays wet, it enhances the
22 opportunity for mold or disease?

23 MR. FRANKE: Right.

24 MR. RUZOW: So if it's dry, you reduce
25 that possibility?
(PESTICIDES ISSUE)

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

MR. FRANKE: Yes.

MS. BAKNER: Will the pipe, the solid pipe, does it have any effect on the way in which you modeled --

MR. FRANKE: The leaching, no. Because it's not -- if we had an underdrain system and we had underdrain set at six inches below the surface, perforated pipe six inches below the surface, I would model six inches of soil. Because that's where you would lose it from your system, you would lose control out the bottom of your soil profile.

MS. BAKNER: Dr. Petrovic, do you agree with that assessment of the drainage system and how it's being used?

DR. PETROVIC: The only way that the crushed rock layer would serve as a drainage system would be under extremely wet conditions, the subsurface water would back up into it. But the way it's designed, it's not specifically designed for that. But that would be the only time it would function to move water off based on the contour of how that water is directed.

MS. BAKNER: Are you satisfied that
(PESTICIDES ISSUE)

modeling the native soils to remain in place under the layer adequately represents the leaching potential?

DR. PETROVIC: The way the model was being used for a screening purpose of materials, I would certainly agree with that,

7 and it's still, again, giving the greatest
8 risk because you're only taking credit for a
9 very shallow layer of soil, not all the way to
10 the depth of groundwater when it's first
11 released for leaching.

12 MS. BAKNER: In terms of the project
13 itself, Kevin, what was the reason why the
14 rock is being crushed and being added to the
15 two holes, golf holes that you mentioned?
16 what soil erosion and sedimentation benefits
17 does that provide?

18 MR. FRANKE: It's soil and
19 sedimentation erosion benefits because you're
20 placing rock on top of the soil. The rock is
21 not going to erode. But it's also a benefit
22 from the standpoint of not having to haul
23 material offsite.

24 MS. BAKNER: So it cuts down on
25 trucking, and because you're not grubbing the
(PESTICIDES ISSUE)

1 stumps in that particular area, you're also ³³²¹
2 not causing sediments to have an opportunity
3 to move offsite?

4 MR. FRANKE: Right, the root systems
5 will remain in place.

6 MS. BAKNER: DEP has requested that
7 the Applicant consider some alternative or
8 additional groundwater monitoring wells which
9 would be in a more shallow substrate, wouldn't
10 be down in 400 feet or 625 feet, but closer to
11 the top of the soil profile. And we're going

12 to make a proposal to do that. We don't
13 necessarily agree with DEP's argument that
14 it's necessary to do this in order to sort of
15 preaddress potential groundwater contamination
16 because, in fact, we're doing a lot of
17 sampling and testing in the stormwater basins
18 where you would anticipate that would show up
19 first in any event; but we're willing to
20 accommodate their request. So we're going to
21 make a proposal and discuss that with both DEC
22 and them to see if we can agree on the number
23 of points.

24 we're not anxious to have any
25 additional monitoring points, so we may
(PESTICIDES ISSUE)

□

1 propose to do some of the deep ones, or we may ³³²²
2 propose to do them in close proximity to the
3 deep wells to hold down on the difficulty and
4 cost of doing the monitoring.

5 As it stands in the SPEDES permit
6 right now, the costs of undertaking the
7 testing, particularly the whole effluent
8 toxicity testing where you actually introduce
9 aquatic species into the leachate or
10 stormwater, if you will, is very expensive.
11 Everything that we're doing here is expensive.
12 So we're not anxious to do more of it, but we
13 don't have any objections to changing some of
14 the wells so some of them are shallower. So
15 we'll make that proposal. Other than that, I
16 don't see any reason to address what DEP has
17 said --

18 ALJ WISSLER: So if I understand,
19 you'll be speaking with Staff and imposing a
20 special condition --

21 MS. BAKNER: Yes, a special condition
22 with the monitoring points for that.

23 Kevin, if you could just address where
24 the groundwater wells are that we proposed to
25 use or that are covered in the SPEDES permit
(PESTICIDES ISSUE)

1 already, since Charlie had trouble finding 3323
2 those.

3 MR. FRANKE: Looking at Figure 3-16
4 that Mr. Olson referenced, the two wells at
5 Wildacres are the two northernmost north of
6 Gunnison Road. They're known as the Janus,
7 J-A-N-U-S, East well and the Rashid well.

8 The other two that were in the Big
9 Indian draft permit are the only two wells
10 that show up on Figure 3-16 on the Big Indian
11 Plateau. That was the Mann Cabin well and the
12 Midroad well. And all these wells are located
13 in proximity to golf holes, and they're all
14 existing wells.

15 MS. BAKNER: So they're on Figure 3-16
16 of Volume 1 of the DEIS?

17 MR. FRANKE: That's correct.

18 MS. BAKNER: In your opinion, given
19 the amount of testing that we're proposing to
20 do in the stormwater basin, are you satisfied
21 that that testing, if there was any difficulty
22 or problems or unanticipated -- unanticipated

23 effects from the pesticides that we're
24 applying, are you confident that they would
25 show up in those stormwater basins first?
(PESTICIDES ISSUE)

3324

1 MR. FRANKE: They would certainly show
2 up in the stormwater basins first because your
3 runoff is immediate. It's going to occur
4 right after the storm, where leachate -- we're
5 probably going to have some lag time for the
6 material to work it's way through the soil.
7 So certainly from the timing standpoint,
8 you're going to see something in the
9 stormwater basins certainly before the shallow
10 groundwater, and certainly much sooner than
11 your deep groundwater.

12 MS. BAKNER: You have mentioned a
13 couple of times that modeling was focused on
14 edge-of-fairway concentrations of pesticides.
15 Is there anything more you would like to add
16 to that discussion?

17 MR. FRANKE: No, really just to
18 reiterate, it's those undiluted concentrations
19 that we compared directly with the drinking
20 water standards or the aquatic toxicology
21 standards.

22 Again, from the aquatic habitat
23 standpoint, your concern is going to be in
24 Birch Creek, it's going to be in Giggie Hollow
25 Creek. The concentration that you're actually
(PESTICIDES ISSUE)

3325

1 going to realize in there is actually going to
2 occur in those creeks -- is going to be much

3 lower than what's proposed at your fairway in
4 reality, but still we used those edge of
5 fairway values as compared to the toxicology
6 values.

7 MS. BAKNER: During Dr. Knisel's
8 testimony, he indicated that one of the
9 problems with the way in which the model was
10 run was that there was no information
11 presented on existing conditions as opposed to
12 postdevelopment conditions. Can you explain
13 why existing conditions were not modeled?

14 MR. FRANKE: Because there's no
15 pesticides being applied out there now. The
16 pre- and postcomparison really has no use if
17 there is no pre. Your post is going to be
18 your net increase because you're starting at
19 zero.

20 From the nutrient standpoint, I
21 certainly would concur with Dr. Knisel that
22 that's very important. That's a lot of what
23 we talked about two weeks ago when we were
24 talking about phosphorous export, comparing
25 pre and post. And that's where the data used
(PESTICIDES ISSUE)

□

1 out of GLEAMS, nutrient data from GLEAMS is 3326
2 used in the bigger picture of nutrient export,
3 because the golf course is only one part of
4 the project site. So the nutrient export data
5 that was used or generated from the golf
6 courses, sort of gave that to Mr. Long and
7 Mr. Carr who were here discussing stormwater

8 earlier, and they integrated that into their
9 overall nutrient export from the site,
10 compared pre- and post, to get our
11 increases -- going back to the TMDL issue,
12 which we heard more about today.

13 MS. BAKNER: If pesticides were being
14 used on-site or fertilizers, obviously, we
15 would know about it?

16 MR. FRANKE: Yeah, we would know about
17 it. And in terms of a risk assessment, I
18 don't think that's relevant information
19 because it's not the increase that you're
20 talking about, it's how much you're exporting,
21 if you're exporting any. And whether those
22 quantities are problematic.

23 MS. BAKNER: Another suggestion that
24 Dr. Knisel made, which I think you addressed,
25 I just want to make sure, is that using a year
(PESTICIDES ISSUE)

3327

1 of high rainfall data in the modeling, he
2 suggested that by focusing merely on high
3 rainfall, we may have missed lower rainfall
4 years where you could actually produce higher
5 concentrations of leachate?

6 MR. FRANKE: Again, back to what I
7 talked about before using a dryer year, we saw
8 lower concentrations, lower total mass and
9 less frequent leaching with lower rainfall
10 amounts.

11 within the year that we modeled, 1996,
12 you had storms of varying degrees. You had
13 storms that had lesser amounts of rain, and

14 then you had the storm that caused the damage
15 that's up on that plaque, which is a fair
16 amount of runoff. So within that year you had
17 different intensity storms and different
18 amounts of water. You could have a quarter
19 inch of rain, four inches of rain.

20 ALJ WISSLER: No matter what the year
21 does, I mean, maybe nature gives you some of
22 that precipitation, but if she doesn't, you
23 have to make it up through your irrigation
24 system?

25 MR. FRANKE: Exactly.
(PESTICIDES ISSUE)

1 ALJ WISSLER: So the amount of water ³³²⁸
2 that's going to be hitting that golf course is
3 going to be pretty much consistent year in,
4 year out?

5 MR. FRANKE: When you have lower than
6 average precipitation, basically, yeah, you're
7 going to use your irrigation to bring it up to
8 something that's closer to average. But even
9 when you have years where you have got higher
10 than normal precipitation, you're still going
11 to have times during the year that you may
12 need to irrigate them because you might have a
13 dry stretch in the middle of July where you
14 may need to irrigate two or three times a
15 week. And in October the gully-washer comes.

16 MS. BAKNER: The Attorney General's
17 office, Office of Watershed Inspector General,
18 prepared and submitted a comment letter of

19 7-21-04crossroadsf
April 23rd, 2004, which was then not entered
20 into this record by that office but has been
21 relied upon by CPC.

22 One of the comments that was made was
23 that somehow we just failed to assess the
24 impact of inert ingredients that are part of
25 the pesticide formulation. Can you address
(PESTICIDES ISSUE)

3329

1 that for us?

2 MR. FRANKE: I went back into the EIS,
3 and starting on page 2-89, we have a
4 discussion of inert ingredients. In that
5 discussion of inert ingredients, we discuss
6 how EPA classifies or lists different inert
7 ingredients based on their toxicity, with 1
8 being inerts of toxicological concern, all the
9 way down to what they call list 4, which is
10 inerts of minimal concern.

11 we have a table in the EIS that shows
12 that almost all of our products have inerts
13 which are from list 4, which is the inerts of
14 minimal concern, and none of the ones that we
15 proposed are from list 1, which were inerts of
16 toxicological concern. So it was addressed in
17 the EIS. And that was addressed as a result
18 of a very similar comment that the AG's office
19 made. So we're surprised it came up again.
20 But it's in there.

21 MS. BAKNER: And you're satisfied with
22 respect to inerts, given the information
23 available from the pesticide manufacturer, we
24 have appropriately taken into account and

25 tried to avoid using any pesticide with inerts
(PESTICIDES ISSUE)

3330

1 of toxicological concern?

2 MR. FRANKE: Yes.

3 MS. BAKNER: There was also a comment,
4 which I believe I heard from DEP and others,
5 that LC50 is a crude instrument for the
6 assessment of risk since it does not -- they
7 allege it doesn't take into account possible
8 chronic effects.

9 MR. FRANKE: That's true, LC50s aren't
10 made to take into account chronic effects.
11 They're a measurement of acute toxicity. You
12 usually do chronic tests on something that is
13 going to be exposed to something for a
14 prolonged period of time. If you had
15 industrial discharge that was occurring, you
16 had a certain product that's going to be
17 discharged day after day throughout the year,
18 it's going to be long-term, it's going to be
19 chronic, you could have a chronic effect.

20 As demonstrated in the modeling, any
21 runoff that's going to reach the streams are
22 going to be related to storm events, which are
23 discrete events. The runoff is going to
24 occur, it's going to hit the stream, that's
25 it. It's not like you will have constant
(PESTICIDES ISSUE)

3331

1 input of runoff, and possibly pesticides into
2 these streams. So you wouldn't compare those
3 with chronic toxicity, you'd use acute

4 toxicity, which is, one measure of that is an
5 LC50, what was used.

6 MS. BAKNER: In what way does the
7 draft SPEDES permit ensure by monitoring that
8 we're getting a handle on buildup of
9 concentration? Are there surface water
10 monitoring requirements?

11 MR. FRANKE: Part of the surface water
12 monitoring requirements of the SPEDES permit
13 is we actually do toxicity testing of the
14 stormwater collected on-site.

15 MS. BAKNER: In addition to just
16 testing surface water and groundwater
17 periodically?

18 MR. FRANKE: Right. We'll get a
19 concentration from that, but they'll actually
20 do toxicity tests of collected stormwater
21 samples.

22 MS. BAKNER: L.A. Group has built golf
23 courses in many sort of different geological
24 and climatological regimes. There have been
25 suggestions, most notably by DEP, that this
(PESTICIDES ISSUE)

1 site is simply not suited for use as a golf ³³³²
2 course. Is there anything in your past
3 experience that leads you to believe that golf
4 courses can't be built in these two locations?

5 MR. FRANKE: Yes. Early in the
6 process there was concern raised from an
7 elevation standpoint in temperature. You have
8 golf courses in New York State, Lake Placid,
9 up to Alaska, golf courses in Alaska, northern

10 Canada, areas of much higher elevations --
11 cold or minimum temperatures. There's nothing
12 that makes this site unsuitable from a climate
13 standard.

14 MS. BAKNER: Dr. Petrovic, are you
15 aware of anything that's unique to these site
16 that makes these sites unsuitable for golf
17 courses?

18 DR. PETROVIC: Not that I'm aware.

19 MS. BAKNER: In your management plans
20 in the appendices, you talk about ways in
21 which you're going to take -- implement other
22 best-management practices before you get to
23 the addition of pesticides, insecticides and
24 herbicides. And my question is: Is it
25 possible or feasible today to have a purely
(PESTICIDES ISSUE)

1 organic golf course at this location, and have³³³³
2 it still be an effective operating golf
3 course? If you could both answer that, that
4 would be great.

5 MR. FRANKE: I'll let you step on that
6 first.

7 DR. PETROVIC: It's been an issue for
8 a number of years on golf course projects, can
9 you have, quote, an all natural golf course or
10 a pesticide-free golf course. In the
11 northeast, to my knowledge, there are none
12 that fit that caliber that would be considered
13 suitable golf courses under most people's
14 definition of golf course.

15 Research done at Cornell University,
16 and I can refer to Applicant's Exhibit 96,
17 talks about that concept of comparing a
18 pesticide-free management plan, integrated
19 pest management plan that uses low-risk
20 pesticides and many biological and other
21 cultural controlled methods, compared to a
22 traditional program that applies pesticides
23 either routinely or whenever a pest occurs.
24 And in doing that, they observed, in the first
25 year of that study -- this was done at
(PESTICIDES ISSUE)

3334

1 Bethpage State Park Golf Courses -- the green
2 course, not the black course. They wouldn't
3 allow us to do something like that on the
4 black course. But on the green course, the
5 pesticide free -- they did these on putting
6 greens, on the six putting greens -- on the
7 pesticide-free one died the first year by
8 mid-August. After that, they then had to go
9 to some pesticide use. They did minimize the
10 use to keep that golf course alive. The IPM
11 ones, as well as the traditional ones, have
12 not died.

13 So even though we've made major gains
14 in plant resistance to pests, to biological
15 and other cultural and nonchemical controls, I
16 still feel we're not at a point where with the
17 type of climate this particular golf course is
18 in, the pests that they would have, that you
19 could consistently have a golf course that
20 wouldn't have dead sections. And maybe people

21 might say, well, a small part of the golf
22 course, who really cares. Sometimes
23 professional golfers would rather play on dead
24 turf. So we may not want to use that, their
25 kind of perception.

(PESTICIDES ISSUE)

3335

1 But environmentally, dead turf is
2 certainly not environmentally friendly. There
3 have been several studies that have shown
4 really dead turf leaches a tremendous amount
5 of nutrients through the profile since there's
6 nothing there to retain that. And we've seen
7 as the density of turf reduces, the amount of
8 runoff, volume of water increases, as well as
9 nutrients and pesticides in that runoff water.
10 So it's not to anyone's advantage to have dead
11 turf out there.

12 So in that context, I don't believe
13 currently we can do that. Hopefully, we will
14 be able to reach that goal. But at least the
15 standards that we apply to golf today, I don't
16 believe we can do that.

17 MS. BAKNER: That's not something
18 unique to this site?

19 DR. PETROVIC: This particular site,
20 it's pretty much unique to probably
21 three-quarters of the United States. There
22 are parts -- if you go to the west, especially
23 in dry parts of the western part of the U.S.,
24 whether it's south or north, pesticide use is
25 very minimal. It's mostly because of the lack

(PESTICIDES ISSUE)

1 of humidity that they have. And it's diseases
2 that are the primary pest, not the only pest
3 on golf courses. But it's that high humidity
4 for a very long period of time that allow for,
5 primarily fungi, to develop and attack
6 grasses.

7 And so unless we get global warning
8 that dries us out to the point that we're in
9 Arizona -- it would make it a lot easier to do
10 this if we were in Arizona or Colorado -- than
11 it would be in New York, anywhere in New York,
12 whether it's the Adirondacks to the eastern
13 tip of Long Island.

14 ALJ WISSLER: Not that you're
15 advocating global warning?

16 DR. PETROVIC: Not that I'm advocating
17 global warning, but it's the fact that the
18 climate that we live in determines the pest
19 complexes that we have.

20 MS. BAKNER: Looking at the bigger
21 picture, in terms of the golf courses in the
22 northeast and studies that have been done on
23 levels of pesticide in groundwater, or even, I
24 suppose, surface water after years and years
25 of operation of a golf course, are you aware
(PESTICIDES ISSUE)

1 of any studies out there that have looked at,
2 say, old golf courses and evaluated how using
3 pesticides for, say, 20 years, 10 years,
4 whatever, has had an impact on the surrounding
5 water resources?

6 DR. PETROVIC: There's been one
7 semi-national study, in a sense, that there
8 were 36 golf courses in this study. I refer
9 to Exhibit Applicant's 95 entitled, "Water
10 Quality Impacts by Golf Courses." Thirty-six
11 golf courses around the United States, and
12 from Washington, California, Minnesota to
13 Florida, to Georgia, Maryland and
14 Massachusetts, as well as Michigan, to give a
15 geographic orientation, but there weren't a
16 lot in Colorado, kind of western Midwest. So
17 you can say it's a semi-national -- but it
18 pretty much covers climatic and soil
19 variations to a large degree. But if we look
20 at the results of that study, that study was
21 done on golf courses that were required by
22 permitting to monitor either surface and/or
23 groundwater.

24 Some of those golf courses, in
25 particular the ones that were on Cape Cod,
(PESTICIDES ISSUE)

1 were ones that were at least 30 years old. ³³³⁸ So
2 they weren't new courses. And that was kind
3 of a separate study. The EPA had undertaken
4 that study. But since then, as we see with
5 many new golf courses, monitoring of water
6 quality is required. So that's probably the
7 best example of new versus old.

8 In that particular study that was
9 done, basically on these 36 golf courses, they
10 reported about 16,500 data points. A data

11 point would be a water sample tested for a
12 range of materials. So if you analyze for 50
13 things, that would be 50 data points, in a
14 sense. So that's why over these studies there
15 were 16,000 data points.

16 In surface water, only .29 percent of
17 those samples for pesticides exceeded an HAL
18 or an MCL for that particular pesticide. In
19 groundwater, was .07 percent of those samples
20 exceeded an HAL or an MCL. For nitrogen,
21 nitrogen was the only nutrient, they didn't
22 report phosphorous; but nitrogen in terms of
23 nitrate, none of the surface water samples
24 that were tested and exceeded the drinking
25 water standard HAL of 10 milligrams per liter
(PESTICIDES ISSUE)

□

1 of nitrate nitrogen, and 3.6 percent of the ³³³⁹
2 groundwater samples did exceed the
3 10-milligram per liter HAL.

4 MR. RUZOW: What is an HAL?

5 DR. PETROVIC: Health Advisory Limit,
6 drinking water standard, and for nitrate
7 nitrogen, it's 10 milligrams per liter.

8 MR. RUZOW: And an MCL?

9 DR. PETROVIC: Maximum Contaminant
10 Level. The nitrate in groundwater in these
11 golf courses, many of those 3.6 percent were
12 attributed to previous land use, and the
13 largest land use for this was a violation in
14 Maryland on previously areas that were farmed
15 with corn. We know corn in the northeast is
16 particularly hazardous to groundwater for

17 nitrate contamination.

18 That's probably the best example of
19 old versus new and large in scope. We also
20 have a fair amount of information in eastern
21 Long Island in Suffolk County. I refer to
22 Applicant's Exhibit 94, Groundwater Impacts to
23 Shallow -- "Golf Course Impacts to Shallow
24 Groundwater in Suffolk County, New York." This
25 was a study done, funded by Suffolk County.
(PESTICIDES ISSUE)

3340

1 The county wanted to know itself the water
2 quality related to golf courses. They had
3 been looking at land use characteristics and
4 water quality impacts for a number of years.

5 Initially in this study, they only
6 monitored three county -- Suffolk County golf
7 courses. And then in 1999 expanded that to
8 include another -- basically 14 golf courses.
9 Eleven would be private courses, higher
10 championship level golf courses, and three
11 semi-private golf courses.

12 They collected -- from 1999 to March
13 of 2002, they collected 91 samples from 18
14 golf courses that had 31 wells. Typically,
15 using one sample per year, but some golf
16 courses had more than one well attached to
17 them.

18 They found, in terms of pesticides,
19 looking at the most recent numbers, which was
20 2002, 22 percent of those wells had a
21 detectable level of pesticide. Only one of

22 those is currently registered for turf and is
23 not planned to be used on this particular golf
24 course.

25 One of the three of the seven
(PESTICIDES ISSUE)

3341

1 -- actually seven wells of the 31 had a
2 detectable level of pesticides. Only one of
3 those seven detected levels was above the
4 Health Advisory Limit. That happened to be
5 for a pesticide that's no longer used,
6 Dacthal, and that's not currently being used
7 anymore. It was phased out because it did
8 find to show up in groundwater in many places,
9 not just under golf course conditions but in
10 many agricultural settings. It was a widely
11 used agricultural pesticide also. They
12 concluded that golf courses were not --
13 pesticides were not impacting groundwater.
14 That was their conclusions.

15 MR. RUZOW: And in Long Island
16 Suffolk, they're dependent upon groundwater to
17 drink?

18 DR. PETROVIC: That's their primary
19 drinking water source is ground water.
20 Nassau\ Suffolk County was approaching three
21 million people. That's primary source is
22 groundwater. Sandier soils, shallow water
23 table -- and these were shallow groundwater
24 wells. Most of them were anywhere from 10 to
25 20 feet into the soil. So very shallow
(PESTICIDES ISSUE)

3342

1 groundwater, sandy sites.

2 They also measured nitrogen in the
3 studies. The average concentration of the
4 wells over the study period was about
5 3.6 milligrams per liter, the drinking water
6 standard for nitrate is 10. This was total
7 nitrogen, which includes ammonium as well as
8 organic nitrogen. The median concentration of
9 all the wells was slightly less than three
10 milligrams per liter.

11 They also have measured agricultural
12 systems out in Suffolk County, vineyards and
13 lawns. The average concentration for
14 agricultural areas in Suffolk County is
15 13 milligrams per liter, exceeds the drinking
16 water standard. Vineyards is about 6.6
17 milligrams per liter, about 60 percent of the
18 drinking water standards. And residential
19 areas, anywhere from 4 to 6 milligrams per
20 liter, 4 being lower density, 6 being higher
21 density. Lawn areas and golf courses being
22 the lowest of the - a land use, managed-land
23 use -- impact on water quality.

24 So you can talk about modeling all you
25 want, but the real-life situation tells us
(PESTICIDES ISSUE)

3343

1 that golf courses are not impacting water
2 quality, based on the information we currently
3 have.

4 MS. BAKNER: Given the age of these
5 golf courses and the practices and the
6 pesticides that were used during some of the

7 years of their operation, would you expect
8 there to be less or more problems with a golf
9 course like the one we've proposed here?

10 DR. PETROVIC: We find that newer golf
11 courses, brand-new golf courses obviously use,
12 or more likely use newer pesticides and new
13 materials are coming on line, and older
14 materials, especially ones that have either an
15 environmental and/or health risk, are being
16 removed from the marketplace; that we'll find
17 more and more environmentally friendly
18 materials being used, versus golf courses
19 -- especially golf courses before 1972 when
20 chlordane could still be used, mercury could
21 still be used, cadmium could still be used,
22 lead was used in the '50s. Those golf
23 courses, the older golf courses certainly were
24 using more toxic and long-term impacting
25 materials than we see today.

(PESTICIDES ISSUE)

3344

1 MS. BAKNER: In terms of the
2 best-management practices, the ones that are
3 proposed to be used in our documents, do they
4 represent sort of the state-of-the-art and the
5 best -- the best way to ensure that you're not
6 going to develop any type of chronic problems?

7 DR. PETROVIC: In my review of those,
8 I agree with that, yes, that we're using what
9 we know is the best way to manage particular
10 golf courses. And that's an ever-involving
11 science. So it's something that the manager
12 of this particular golf course will need to

13 stay abreast of what's coming out because
14 there is a lot of research going on to
15 determine better management practices.

16 MR. RUZOW: Are the techniques for the
17 design and construction of the turf itself
18 here, the topsoil, soil stability, helpful in
19 terms of a change from 20 years ago, 30 years
20 ago in golf course design and construction?
21 Does it effect what you might see in
22 pesticides?

23 DR. PETROVIC: In general, I think we
24 see construction of golf courses as being
25 substantially more environmentally friendly.
(PESTICIDES ISSUE)

□

1 whether you're talking about stormwater and 3345
2 dealing with that -- but also to realize that
3 we're not trying to build a parking lot or a
4 road or something like that, that the idea is
5 to develop a golf course. And I think that's
6 been, from what I have seen in the 30-some
7 years I have worked related to golf courses,
8 is that construction companies specialize in
9 golf courses and, I think, build a --
10 certainly a better product because of knowing
11 how to do things from that perspective, not in
12 just general earth moving and construction,
13 because it is a specialized field. And
14 luckily, we see most golf courses kind of
15 built in that context.

16 MR. RUZOW: But a healthier turf or a
17 base for a turf presumably would have less of

18 a need for pesticides, drainage systems, et
19 cetera?

20 DR. PETROVIC: Pesticides, you have
21 better utilization of nutrients, less need for
22 irrigation. In general, less resource
23 intensive and less likely to be
24 environmentally hazardous.

25 MS. BAKNER: There was another piece
(PESTICIDES ISSUE)

1 of data or dataset that we ran across which we³³⁴⁶
2 included in the DEIS but which I redistributed
3 out today as Applicant's Exhibit 93, and
4 Kevin, if you could just address what that is,
5 that would be helpful.

6 MR. FRANKE: Applicant's 93 is an
7 excerpt from a DEP publication from May 15th,
8 2003, entitled "New York City Department of
9 Environmental Protection, Bureau of Water
10 Supply." That's the extent of the title.
11 Included in this large report, which Ms.
12 Bakner has included as 93, is a report on a
13 two-year study of Pesticide and Toxic Compound
14 Monitoring Program, which is from page 27,
15 Section 2.3.5.

16 The report is of a two-year study of
17 over 100 sites in the watershed, including
18 what they describe as targeted sites, which
19 are near both suspected potential pollution
20 sources, e.g., golf courses and landfills.
21 Again, in sampling over 100 sites throughout
22 the two-year process, reading from the top of
23 page 28, "This extensive monitoring effort

24 identified no significant sources of
25 contamination and no sample results were found
(PESTICIDES ISSUE)

1 to exceed any NYS AWQS," which I'm assuming is ³³⁴⁷
2 Ambient Water Quality Standards. "In fact,
3 the majority of water quality analysis
4 performed were reported as nondetect for all
5 monitoring compounds."

6 MS. BAKNER: Kevin, did you speak to
7 the manager of that program, Tracy Lawrence?

8 MR. FRANKE: I spoke to Mr. Lawrence
9 yesterday, as recently as yesterday, and he
10 confirmed that this is the latest information
11 that the Department has in this program.

12 MS. BAKNER: There was a suggestion by
13 Dr. Knisel that the model may not have
14 accounted for the failure to harvest and
15 remove grass clippings from the site. Kevin,
16 if you could address, in fact, how the model
17 did address that, that would be helpful.

18 MR. FRANKE: Because GLEAMS is an
19 agricultural model, it has the ability to
20 model a harvest when crops are removed and
21 possibly even subsequent replanting of the
22 same crop or a different crop. And by
23 harvesting, you take the biomass out of the
24 system, not making it available. For our
25 modeling purposes, we set the day of the
(PESTICIDES ISSUE)

1 harvest, which is a term that's in the model, ³³⁴⁸
2 at day 365, which is at the end of the

3 simulation. So that biomass remained in the
4 system, was not removed from the system as may
5 have been suggested.

6 MS. BAKNER: So if there was any
7 contribution of nutrients or pesticides or any
8 substance related to the cut grass, it would
9 have been included in the mass balance and led
10 to the pesticide or fertilizer being
11 discarded?

12 MR. FRANKE: It remained within the
13 system, yes. It wasn't taken out of the
14 system, so it was available.

15 MS. BAKNER: Is there a discussion, in
16 fact, in the document of what we're doing with
17 the grass in one of the appendices?

18 MR. FRANKE: Yeah, I believe it's in
19 Appendix 14 under the Integrated Turf
20 Management Plan, about how clippings will be
21 left in place on the fairways.

22 MS. BAKNER: So, in fact, we describe
23 what our management practices are going to be?

24 MR. FRANKE: Yes.

25 MS. BAKNER: Dr. Petrovic, do you have
(PESTICIDES ISSUE)

□

1 any concerns about the proposed management 3349
2 practices for this site with respect to grass
3 clippings?

4 DR. PETROVIC: No. Usually greens and
5 tees, the clippings are collected because it
6 does disrupt the play as well as it can
7 smother the grass. And those are usually
8 distributed fairly close to the area,

9 sometimes in the rough.

10 The only suggestion would be is not to
11 put those directly in any stormwater catchment
12 or water body, because there has been an
13 example where clippings have shown up in a
14 surface water monitoring study where they were
15 put, actually in a wetland. So that's the
16 only thing that we recommend. We're not going
17 to make a huge pile and stick a pile right
18 near a water body.

19 MS. BAKNER: The good news is we said
20 we're not going to put it within 100 feet, so
21 we'll avoid that particular problem.

22 Kevin, there was a question that
23 Dr. Knisel had about the modeling for the -- I
24 think it was the 18th fairway, I'm not
25 positive, where you used some crop management
(PESTICIDES ISSUE)

1 notation related to terracing. Could you 3350
2 explain that for us?

3 MR. FRANKE: Dr. Knisel had mentioned
4 that we had used a Practice factor, of the
5 Universal Soil Loss equation, and he stated in
6 his discussion that we used 0.4. I went back
7 in and checked the actual data file, and 0.4
8 wasn't for the P factor. It was in the next
9 line of the input data. It was a roughness
10 coefficient.

11 MS. BAKNER: What's the roughness
12 coefficient from?

13 MR. FRANKE: The roughness coefficient

14 is an engineered value, published engineer
15 value. 0.4 is the value for grass. So I'm
16 not sure where that misconception came from.

17 MS. BAKNER: In fact, that is just an
18 error --

19 MR. FRANKE: It's the next line in the
20 dataset so --

21 MS. BAKNER: Maybe he transposed a
22 line or something?

23 MR. FRANKE: Yes.

24 MS. BAKNER: The other comment that he
25 made had to do with the updatable parameters,
(PESTICIDES ISSUE)

□

1 and using -- using the first eight days in the ³³⁵¹
2 updatable parameters. Can you explain that in
3 fairly good detail so we can understand what
4 it means?

5 MR. FRANKE: Hopefully I can do it
6 simply. The updatable parameters lets you
7 change things within the time that you model.
8 Say you were growing corn, and then after you
9 harvested your corn, you could plant winter
10 wheat or something else afterwards. So there
11 would be a change occurring on the day that
12 you harvested that would affect the amount of
13 runoff. So you would set that date when your
14 parameters would change, however many times
15 you wanted to. I think the model allows you
16 to do it up to eight times within a given
17 year. And it gives you the opportunity to
18 change those other parameters that would be
19 different as a result of whatever changes you

20 may have made on any of these eight given
21 days.

22 In our modeling, I used days 1 through
23 8, which correspond to January 1, January 2,
24 through January 8. The reason I did that, is
25 that the data file that's supplied with the
(PESTICIDES ISSUE)

1 model has values in each one of those days. 3352
2 It's a sample file that you modify for your
3 own purposes. So rather than take those
4 values out and have no value in there or
5 insert a zero, I just put in days 1 through 8.
6 Because as most people who run models know,
7 the people who work with computers, models
8 don't like zeros or empty data. It can crash.

9 So what I did, I entered January 1st
10 through January 8th in there in place of the
11 days that were in there, so everything was
12 updated, January 1st through January 8th. And
13 nothing was happening, everything was under
14 snow cover. It didn't any affect any of the
15 modeling results. But I kept the value in
16 those data fields just basically to keep the
17 model from crashing, which it has a tendency
18 to do. These are sensitive input files.

19 MS. BAKNER: Dr. Petrovic, is that
20 your experience with models as well?

21 DR. PETROVIC: In a perennial turf
22 setting, unless you were doing renovation or
23 something and then you want to model the
24 effect of renovation, I'm not sure what you

25 would change in that. I mean, if it's an
(PESTICIDES ISSUE)

3353

1 annual cropping system, you have the
2 opportunity to do that. But in a perennial
3 system, I wouldn't see how to do it.

4 MS. BAKNER: It's just grass, that's
5 all it is.

6 MR. RUZOW: You're modifying what was
7 a model design, obviously for agricultural
8 use, to try to use it for the purpose of the
9 screening methodology, but taking advantage of
10 it as the model you were predicting, but
11 trying to make it match a turf --

12 DR. PETROVIC: As well as you can.

13 MR. RUZOW: -- as well as you can.

14 MS. BAKNER: One of the comments that
15 was made by the DEP was a concern that somehow
16 the SPEDES permit doesn't deal with testing
17 for pesticides that aren't analyzed by current
18 EPA-approved methods. Are you satisfied that
19 the special condition that DEC has included in
20 here adequately takes care of that issue?

21 MR. FRANKE: I feel comfortable with
22 that. Marty, if you want to add on -- he
23 mentioned as an aside, when we looked at DEP
24 Exhibit 28 -- you want to explain what you
25 told me?

(PESTICIDES ISSUE)

3354

1 DR. PETROVIC: Well, actually in
2 looking at that, I looked at Applicant's
3 Exhibit 94, the Suffolk County -- which lists
4 EPA method 24.2-624, lists three of those 16
Page 190

5 as materials they analyzed. So I'm not sure
6 this list is accurate, but Suffolk County
7 shows an EPA method for those.

8 There are some laboratories, and most
9 of these materials that are actually on this
10 list, have had methods, not EPA methods, but
11 laboratory methods with the current parameters
12 developed for them. Because there are a lot
13 of golf courses doing monitoring and EPA just
14 hasn't accepted the methods yet. But the
15 analytical labs have because there's a need
16 for testing. Most of the materials, I
17 wouldn't say all, but I would say the majority
18 can be tested with the other kind of caveat
19 attached to it.

20 MS. BAKNER: So you're confident that
21 with this special condition, which gives DEC
22 the ability to become involved in deciding how
23 that particular pesticide is tested for, is
24 adequately protective of the environment?

25 DR. PETROVIC: Within the certainty of
(PESTICIDES ISSUE)

1 it's not an EPA method, but based on good
2 laboratory practices and labs that can do
3 this. The one lab that I'm aware of,
4 Environmental Health Laboratories in South
5 Bend, Indiana, is a New York State certified
6 pesticide analytical lab and has developed
7 methods for many of these, as an example.

8 MR. RUZOW: Does Cornell have testing
9 of any of these types of things?

3355

10 DR. PETROVIC: We have an EPA
11 certified lab at our Geneva Experiment
12 Station, part of Cornell, that actually does
13 testing for determining allowable limits of
14 pesticide on food products for minor crops.
15 Its part of the registration of those
16 materials. And quite commonly, tests for
17 materials that there's an EPA method for,
18 those aren't even registered. And so -- but
19 Cornell doesn't typically do outside
20 commercial testing for clients like this.
21 It's again, more for research that's going on.

22 MR. RUZOW: But you use, in effect,
23 non-EPA certified techniques where you have
24 to --

25 DR. PETROVIC: Where you can set the
(PESTICIDES ISSUE)

1 parameters of protection and reproducibility ³³⁵⁶
2 of those, until an EPA method is approved.

3 MS. BAKNER: From a cost perspective,
4 it's going to be in the Applicant's best
5 interest to pick something that's easier to
6 get tested, easier to get through the process;
7 but with this provision, essentially the
8 Department has the ability to review the
9 proposed method, the method the labs can use.
10 And you're obviously familiar with labs who
11 test for these types of materials. So it's
12 available on -- presumably the lab in Indiana
13 takes samples from New York?

14 DR. PETROVIC: Yes, they do. And they
15 are a New York State certified laboratory.

16 Unfortunately, there aren't a lot of
17 laboratories that do tests for these. It
18 would be nice to see more labs do that, but it
19 is a very specialized test. When they have to
20 develop their own methods, it's a lot. And
21 there aren't many labs to do that.

22 MS. BAKNER: Sounds like an
23 opportunity for Cornell.

24 DR. PETROVIC: Or for somebody,
25 private industry, whatever.
(PESTICIDES ISSUE)

3357

1 MS. BAKNER: I think that's pretty
2 much all that I have here. I think we have
3 covered all the questions that have been
4 placed in the record. And if we could just
5 have a second to check, then we can wrap up.

6 (4:14 - 4:14 P.M. - BRIEF PAUSE.)

7 MS. BAKNER: We have two additional
8 points and we'll be done.

9 Kevin, we talked a little bit at the
10 beginning here about this erroneous assumption
11 that you modeled -- your LEACHM input file
12 used a 2.5 meter deep soil profile, which
13 would be -- take a long time to reach through
14 2.5 meters. Can you run through the math on
15 what you believe the origin of that error to
16 be?

17 MR. FRANKE: The actual value that's
18 in the example 5, Attachment 2 of Appendix 15
19 is .254 times 10 to the third power, which is
20 254. And the units are millimeters. Or .254

21 meters. If you convert that over from metric
22 to English, it comes out to 9.99998 inches or
23 10 inches of the Halcott soil profile.
24 Example, input file was a Halcott soil
25 profile.

(PESTICIDES ISSUE)

3358

1 MS. BAKNER: And that's -- just so
2 your Honor can find it, it's sample LEACHM
3 input file named B-E-L-L-H-A 10 found in
4 Appendix 15, Attachment 2.

5 Dr. Knisel indicated that from his
6 review of the model results, you appeared to
7 use default values from the help tables in the
8 model in the hydrology portion of the model.
9 He said specifically that modeled soils only
10 included two layers, and the only difference
11 in the two layers was the amount of organic --
12 excuse me, organic matter. And he interpreted
13 this as a failure to use site-specific data.
14 Could you explain this?

15 MR. FRANKE: We mentioned previously
16 for the GLEAMS modeling, we used a
17 high-intensity soils mapping and we identified
18 the vly soil series that occurred on the 18
19 fairway an Big Indian. The data for vly soils
20 was taken directly -- actually, from the
21 Greene County soil survey -- I can give you a
22 reason why the Ulster wasn't used, but I'll
23 continue my train of thought -- in which the
24 number of soil layers were specified which are
25 two. The percent of clay was specified for
(PESTICIDES ISSUE)

1 each of the two layers. The amount of organic
2 matter was specified for each, and all these
3 values are those that were used in the GLEAMS
4 analysis.

5 I guess, all I can say is Dr. Knisel's
6 default values were well researched and well
7 thought out, and they just happened to match
8 up with these particular soils. For example,
9 the default value for clay content for silt
10 loams in the model is 20 percent. For vly
11 silt loams, Greene County soil survey reports
12 that it's 7 to 27 percent. So roughly the
13 midpoint of that is about 20 percent. So
14 taking half of the range of the soil survey
15 that was used, that matched up the 20 percent
16 default value.

17 Again, the organic matter content and
18 the number of soil layers, percolation rates
19 were taken from the Greene County Soil Survey,
20 as well as the on-site perc. tests that we did
21 on the site soils.

22 Just briefly, the Greene County Soil
23 Survey is newer than the Ulster County Soil
24 Survey, and after the Ulster County Soil
25 Survey was published in the late '80s, it was
(PESTICIDES ISSUE)

1 recognized that the temperature regimes of the
2 Catskills and Adirondacks, as they relate to
3 soils, were somewhat different. So really
4 names changed of the soils. The
5 characteristics basically remained the same,

6 but their names have a frigid equivalent, and
7 those names appear in the Greene County Soil
8 Survey. So that's why that has a more recent
9 soil series names and why the data was taken
10 from --

11 MS. BAKNER: And you knew this was vly
12 soils because of the high-intensity soils?

13 MR. FRANKE: Right, as I stated in the
14 beginning of our on-site soils work.

15 MR. RUZOW: And the proximity of this
16 site to Greene County, as the crow flies?

17 MR. FRANKE: Crow flies? Six miles,
18 closest point.

19 MS. BAKNER: So this use of default
20 values that Dr. Knisel identified was just a
21 freakish coincidence?

22 MR. FRANKE: There were a few values
23 that matched up exactly with his default
24 values, but again, it was coincidence. It was
25 all on-site and/or published data that was
(PESTICIDES ISSUE)

3361

1 used to characterize the soils.

2 MS. BAKNER: That would be all, your
3 Honor.

4 ALJ WISSLER: We'll take five minutes.

5 (4:20 - 4:30 P.M - BRIEF RECESS

6 TAKEN.)

7 MS. KREBS: I have one exhibit, your
8 Honor.

9 ("WILDACRES RESORT - SPDES PERMIT NO.
10 NY 027 0661 PESTICIDES LIMITS EVALUATION"

11 RECEIVED AND MARKED AS DEC EXHIBIT NO. 8, THIS
Page 196

12 DATE.)

13 ALJ WISSLER: Ms. Krebs.

14 MS. KREBS: Thank you, your Honor. I
15 would like to introduce Mr. Bill Mirabile with
16 the Division of Water, Department of
17 Environmental Conservation, the Bureau of
18 Water Permits. He spoke before on the SPEDES
19 permit. I believe we have a couple comments
20 regarding the pesticide sections of those
21 permits.

22 Mr. Mirabile, can you explain briefly
23 how the permit limits were derived?

24 For the record, I handed out
25 Department Staff Exhibit 8, which is entitled,
(PESTICIDES ISSUE)

1 "Wildacres Resort, SPEDES Permit," and has the ³³⁶²
2 number, "Pesticide Limits Evaluation,"
3 two-page table.

4 MR. MIRABILE: I think it would be
5 most helpful to explain where the numbers came
6 from that are in the draft permit. Before I
7 get into the table here, I would like to give
8 a very quick explanation of what we typically
9 do when we draft a SPEDES permit.

10 We rely on a number of factors.
11 Typically, with a permit that's associated
12 with a well-established industry, like a
13 metals plating, for example, or some type of
14 industrial process where you have EPA limits
15 that are already established, we call them
16 technology limits. Also -- I'm sorry,

17 standards -- limits. Then we also have
18 standards that we typically rely upon. They
19 could be effluent standards, or in the absence
20 of effluent standards, ambient standards or
21 guidance values. We call those criteria.
22 Anyway, when we're developing a SPEDES permit,
23 we rely on a number of factors and
24 considerations, and there's typically a
25 protocol for arriving at a permit for a
(PESTICIDES ISSUE)

3363

1 particular type of facility.

2 I think it's fair to say that the
3 Belleayre Resorts are not typical permits, in
4 fact, with regard to pesticides, I don't
5 believe any other golf course in the state has
6 pesticide limits. So what that leaves the
7 Department without is an established protocol
8 for arriving at establishing limits for
9 pesticides.

10 So what do we do in a case like that?
11 We look at criteria, if they exist, and if we
12 don't have an integral or an important set of
13 data or information for the permit, we rely on
14 what we refer to BPJ, that stands for Best
15 Professional Judgment. That's a term defined
16 in regulation. And there was a fair amount of
17 BPJ that went into establishing the limits for
18 the permit, for the Belleayre permit.

19 With that, I'd like to get into the
20 table. You'll see the pesticide name -- and
21 by the way, a pesticide could include an
22 insecticide, herbicide or fungicide. I

23 grouped them all together for simplicity sake.
24 You'll see the pesticide listed in the left
25 column. They have DEC criteria groundwater,
(PESTICIDES ISSUE)

3364

1 DEC criteria surface water, DOH, our state
2 health department criteria, and then SAV and
3 Applicant proposal. And I would like to
4 discuss each one of these and tell you where
5 we went with each consideration.
6 (Indicating)

7 Right off the bat, you can see from
8 the table that as far as DEC criteria go,
9 there is very little in the way of standards
10 or guidance values for either groundwater or
11 surface water. So we didn't really have a
12 number to even use as a starting point for
13 coming up with a limit in the permit, the
14 draft permits. (Indicating)

15 We had, I think, for the groundwater,
16 we have criteria for six of the pesticides
17 included in the permit. And as you can see,
18 with surface water, we have one standard, one
19 guidance value. So right off the bat, we
20 don't really have a good number to start with
21 by way of a regulatorily established limit or
22 standard for establishing limits.
23 (Indicating)

24 DOH criteria, you'll see UOC footnote
25 1. UOC stands for Unspecified Organic
(PESTICIDES ISSUE)

3365

1 Contaminate. UOCs are applied to drinking

2 water -- I should say the drinking water
3 criteria. And the reason they're called
4 Unspecified Organic Contaminant criteria is
5 because they are basically interim numbers, if
6 you will. (Indicating)

7 There are so many organic compounds in
8 existence that have not be adequately tested,
9 and as we all know, there are tens of
10 thousands of new ones being developed yearly.
11 And the regulatory agencies cannot keep up
12 with establishing limits -- I'm sorry, with
13 establishing standards.

14 So what the Health Department did was
15 they came up with a .05 milligram per liter or
16 50 part per billion, it's the same thing, UOC
17 in the absence of a better number, if you
18 will. And that's quite a stringent number, by
19 the way, 50 parts per billion. (Indicating)

20 The next column over we have the SAV.
21 If you look at footnotes 2 and 3, footnote
22 2 -- by the way, I should have pointed out
23 before now that with toxicity considerations
24 here, I relied very heavily on the
25 Department's toxicity expert, Ed Kuzia who is
(PESTICIDES ISSUE)

□

1 seated behind me here. (Indicating)

3366

2 SAV stands for Secondary Acute Value.
3 Ed recommended we consider this approach based
4 upon EPA regulations, the part is -- the
5 citation is given in footnote 40 CFR, Part
6 132, Water Quality Guidance for the Great
7 Lakes -- the first question is why look into

8 something that applies to the Great Lakes
9 system. Well, the objective when we were
10 developing the draft permits was to come up,
11 again, bearing in mind there was no real
12 established protocol for this, the objective
13 was to come up with an approach that was not
14 only reasonable and protective of the
15 environment, but that was also consistent.
16 And these regulations gave us something to
17 grasp onto, so to speak, with applying a
18 consistent approach to developing standards
19 -- I'm sorry, developing limits for the draft
20 permits. (Indicating)

21 And you'll see some other terms
22 defined down here. It gets a little bit
23 complicated. The GMAV, that stands for Genus
24 Mean Acute Value, and the regulations
25 require -- or they specify that you take the
(PESTICIDES ISSUE)

3367

1 geometric mean of a certain set of LC50
2 values, depending on how many species are
3 tested, or families are tested. For the draft
4 permits, we did not look at the geometric mean
5 data. The Applicant provided toxicity data,
6 LC50 data, for three different families, and
7 we were even more conservative than the
8 geometric mean. We took the lowest LC50 value
9 of the three, three sets of toxicity data.
10 (Indicating)

11 Okay. What we always do with
12 establishing a permit limit for toxicity is we

13 take toxicity data and apply a safety factor
14 to be more conservative, and hopefully more
15 protective. And with the Applicant providing
16 three toxicity data for three different
17 families of organisms, one invertebrate and
18 two vertebrate species or families, the
19 regulations cited above specified that a
20 safety factor of 8 could be applied, or more
21 correctly, 0.125. And the less species or
22 families for which data is provided, the
23 higher or more stringent, I should say, the
24 safety factor is required. (Indicating)

25 For instance, for only two species, a
(PESTICIDES ISSUE)

3368

1 safety factor of 21.3 would have been
2 required. I could be wrong on that, but the
3 point being that the more species or families
4 for which toxicity data is provided, the less
5 stringent you can use value for a safety
6 factor. But nonetheless, we still apply a
7 safety factor. So the regulations specify 8.
8 (Indicating)

9 So what we did here was we took the
10 lowest LC50 value provided by the Applicant
11 for the three families tested, and we divided
12 that by 8, and that is the number that you see
13 in the SAV column, Secondary Acute Value. So
14 that is what that number means. (Indicating)

15 The last column over, we have the
16 Applicant's proposal, and I have to qualify
17 this. Table 7, one of the DEIS volumes has a
18 list of pesticides proposed, and the Applicant

19 proposed action levels. well, we went further
20 than that, and we made them actual limits in
21 the permit, and not just action levels. But
22 nonetheless, the draft limits -- the Applicant
23 proposal, you'll see is .025 milligrams per
24 liter, or 25 parts per billion in most cases.
25 A little lower in some cases. (Indicating)
(PESTICIDES ISSUE)

3369

1 So we have DEC groundwater criteria,
2 DEC surface water criteria, which very little
3 exists at this point, DOH drinking water
4 criteria, toxicity data, and the Applicant's
5 proposal all thrown together in the system
6 that we used or the approach that we used.
7 And what we did was we simply took the lowest
8 number of all of the considerations.
9 (Indicating)

10 Again, applying more conservatism or
11 more stringency to developing permit limits.
12 As you will see, the numbers that are in the
13 draft permit, the proposed limits, are in
14 bold. We have one proposed limit coming from
15 the UOC criteria, Health Department drinking
16 water criteria. That's 5 parts per billion
17 for chloroneb.

18 ALJ WISSLER: Bill, let me ask you
19 about that one. The table has .005 and the
20 Applicant's proposal is .025?

21 MR. MIRABILE: Yeah, in some cases
22 they were the same.

23 MS. BAKNER: The one in bold is the

24 actual limit they picked.

25 MR. MIRABILE: I'm sorry, I'm not
(PESTICIDES ISSUE)

3370

1 sure --

2 ALJ WISSLER: Oh, okay, I understand.
3 I got it. I go it.

4 MR. MIRABILE: The DOH criteria is
5 actually more stringent than what the
6 Applicant proposed, and it's far more
7 stringent than the EPA approach that we
8 applied, the toxicity data.

9 ALJ WISSLER: And the SPEDES permit is
10 the lower --

11 MR. MIRABILE: It's the lowest value
12 of all of the considerations, whether it's the
13 Applicant's proposal, the toxicity data or
14 criteria.

15 ALJ WISSLER: What's in the permit is
16 what's in bold?

17 MR. MIRABILE: Correct.

18 ALJ WISSLER: Got it.

19 MR. MIRABILE: So the SAV, the
20 toxicity data contributed towards using three
21 of the pesticides for proposed limits, and the
22 rest of the proposed limits are the .025
23 proposal by the Applicant -- actually, with
24 one of them being even lower than that
25 proposed by the Applicant. (Indicating)
(PESTICIDES ISSUE)

3371

1 Any questions?

2 MS. KREBS: Thank you, Mr. Mirabile.
3 That explains the wildacres. There's been a

4 question raised regarding the Big Indian draft
5 SPEDES permit, and we don't have the specific
6 pesticide limits in the Big Indian SPEDES
7 permit. Could you briefly explain why, but
8 also how the Department is monitoring and
9 evaluating pesticide use, regardless, in the
10 SPEDES permit?

11 MR. MIRABILE: For the Big Indian
12 permit, again, one of the considerations in
13 drafting the permit is what is the
14 classification -- classification I should say
15 of the receiving water. With Big Indian, we
16 don't really have any receiving waters for the
17 pond discharges, the stormwater pond
18 discharges. Ultimately, if you want to, you
19 could say that the groundwater is a receiving
20 water because the discharges are to overland
21 flow, they're not to any surface waters per
22 se.

23 So what happens when you have a
24 discharge to the ground, a number of factors
25 play into it. You do have some degradation
(PESTICIDES ISSUE)

1 which takes place from the time of discharge³³⁷²
2 until its ultimate fate. You have biological
3 degradation, you have solar degradation, you
4 have biological uptake. You have a number of
5 factors that play into it.

6 So to establish a limit for the pond
7 discharges for Big Indian, the first question,
8 is, well, what kind of basis do you use for

9 that limit? We don't have a surface water
10 discharge.

11 You could say that we could look at
12 the groundwater criteria. But in my review of
13 the table here, I believe that the proposed
14 limits are more stringent than the groundwater
15 standards. So that wouldn't really make any
16 sense either.

17 However, we're not saying that there's
18 no concern about the discharge from -- of
19 pesticides from the ponds, and what we did was
20 we did build in toxicity testing requirements
21 for several of the ponds. And we also -- we
22 do have pesticide monitoring for the ponds for
23 the pesticides that have been applied within
24 the previous 12 months.

25 MS. KREBS: I'll refer your Honor to
(PESTICIDES ISSUE)

1 page 9, Big Indian Toxicity Testing; page 12³³⁷³
2 and 13, I believe, are the Surface Water
3 Ambient Monitoring and the Groundwater
4 Monitoring. And there are some more
5 provisions in the wildacres permit as well on
6 pages 12 through 15.

7 MR. MIRABILE: Again, we do have a
8 mechanism in the permit for monitoring for
9 pesticides in the groundwater. That's
10 basically if it shows up, that's the first --
11 that's the first thing we want to determine,
12 will it show up at all. Because, again, there
13 are other factors involved after the
14 discharge.

15 If it shows up, at what levels would
16 they show up at. And we would consider the
17 concentrations that were detected, if they're
18 detected at all, and a course of action after
19 that.

20 MS. KREBS: A question has also been
21 raised regarding the 16 of the 31 pesticides
22 are listed in the permits for which certified
23 analytical methods do not currently exist. I
24 think there's a provision in the permits
25 regarding that?

(PESTICIDES ISSUE)

3374

1 MR. MIRABILE: Yes, that has been
2 referred to previously by both the City and
3 the Applicant. What it refers to is the MDL
4 study.

5 ALJ WISSLER: Show me where you're
6 talking about.

7 MS. KREBS: Page 11 of 21, your Honor,
8 in the Big Indian permit.

9 MR. MIRABILE: It's in both permits.

10 MS. KREBS: Page 10 of 23 in the
11 wildacres permit, and I will get the page,
12 your Honor --

13 MR. MIRABILE: MDL stands for Method
14 Detection Limit; PQL is Practical Quantitation
15 Limit. The MDL is when a material or a
16 compound is the lowest level that's first
17 detected in a matrix, such as water or
18 wastewater, whatever is being analyzed. Even
19 though it's detected, there's not a high level

20 of confidence that the instrument is detecting
21 it accurately, as far as precision goes. So
22 the PQL that we sometimes use for a limit in
23 the permit, that's four times the MDL, to have
24 a greater level of confidence in the precision
25 of the analysis.

(PESTICIDES ISSUE)

3375

1 The case has been made that EPA
2 methodologies do not exist for all the
3 pesticides. That's absolutely correct. And
4 that's not an uncommon situation. What the
5 Department does in that situation is we
6 typically, but not always, require an MDL
7 study -- we almost always do. The way it's
8 worded, at the Department's discretion -- at
9 its discretion. There may be a situation
10 where we may feel it is not necessary. It can
11 be an expensive study. We consult with the
12 Department's Division of water's chemist and
13 consult with him in detail on whether or not
14 such a study would be required. Again, we
15 almost always do, but I thought we would build
16 in the flexibility where if there was some
17 reason the chemist felt it was not necessary
18 to perform the study, then the Department
19 would have the authority to state that.

20 An MDL study typically requires adding
21 -- developing certain concentrations, adding
22 spikes of the material to distilled water.
23 You run duplicates, you run planks, and you
24 run analyses on the different concentrations
25 that are developed. And you establish curves

1 with the instrument that's being used. And
2 from the curves, you develop an adequate
3 confidence in the level that the instrument
4 can be detected down to. And that
5 laboratory -- that instrument, the level can
6 be established that way.

7 As far as certification goes, or
8 approved methodologies, again, the EPA has
9 approved methodologies for quite a few organic
10 compounds, but for quite a few they don't.
11 New York State also requires that the
12 laboratories that do the testing use an
13 ELAP-certified laboratory method. And our
14 Health Department goes around and checks
15 laboratories for this certification yearly.
16 ELAP stands for Environmental Laboratory
17 Approval Program.

18 So there is a fairly high level --
19 very high level of scrutiny that is applied to
20 the analytical techniques that are used,
21 whether or not an EPA methodology does exist.

22 ALJ WISLER: With respect to the
23 quintozene; is it?

24 MR. MIRABILE: Quintozene.

25 ALJ WISLER: According to the SPEDES
(PESTICIDES ISSUE)

1 permit, that's a PQL level that is to be -- or
2 PQL rather that will be determined, and then
3 that value will be placed in the SPEDES
4 permit?

5 MR. MIRABILE: What that says there,
6 the standard, the DEC criteria is nondetect.
7 That means that there is no level that's
8 acceptable. So with the standard of
9 nondetect, it's not the greatest way to
10 express a standard, but that's what we have to
11 live with.

12 ALJ WISSLER: As a practical matter,
13 that means less than .005?

14 MR. MIRABILE: Yes, that's correct
15 -- it's nondetect. The PQL, we use that as --
16 again, a detection level with acceptable level
17 of confidence.

18 ALJ WISSLER: In determining the PQL,
19 is that something that evolves over time as
20 technology changes and so forth --

21 MR. MIRABILE: I'm sorry, what?

22 ALJ WISSLER: When a permit comes up
23 for renewal or something, as Practical
24 Quantitation Limit, as technology advances, is
25 that a limit that will be -- can be taken
(PESTICIDES ISSUE)

3378

1 downward as methods --

2 MR. MIRABILE: Yes, that's absolutely
3 correct. In fact, when I received the list of
4 UOCs from one of our division chemists, he
5 pointed out that one of the compounds was
6 about to receive some type of standard. And
7 so these standards are being developed, albeit
8 very slowly. And as they are developed, and
9 as new EPA methodologies are approved, these
10 are taken into consideration at the time of

11 permit renewal, or at the time of permit
12 modification.

13 That's a good point to mention that,
14 or a good time to mention that. If, say, we
15 detected, or the monitoring of the groundwater
16 detected pesticides in the groundwater, and
17 they were at levels which we were concerned
18 about, we could at that time initiate a permit
19 modification to address that problem, or we
20 could do it during the five-year renewal
21 period. But they are evolving documents.

22 MS. KREBS: I guess we have only two
23 minor points, your Honor, one of them concern
24 the wells. I think you agreed regarding the
25 question regarding the depth of the wells --
(PESTICIDES ISSUE)

1 MR. MIRABILE: The depth sampling, I³³⁷⁹
2 believe the City brought this up, it's a very
3 good point. You do have what we call
4 chemostratification of organic compounds, a
5 high variability in chemical and physical
6 characteristics so they'll settle at different
7 layers in the water column. So it's a good
8 idea to perform that sampling. And you really
9 do need a purpose designed well to do that.
10 So I would say that that's -- we will put that
11 in the permit.

12 okay. The City also brought up the
13 fact that synergistic effects of various
14 pesticides are not considered in the structure
15 of the existing draft SPEDES permits. I don't

16 agree with that. If you turn to -- the
17 toxicity testing page, look at the wildacres
18 permit.

19 MS. KREBS: That's page 12 of 23.

20 MR. MIRABILE: Page 12 of 23; and
21 again, we have the exact same requirements but
22 different outfall numbers in the Big Indian
23 permit.

24 If you look at the table on the top of
25 this page, "The reason for testing". If you
(PESTICIDES ISSUE)

1 look at No. 3, the possibility of complex or ³³⁸⁰
2 synergistic interactions of the chemicals. As
3 I mentioned earlier, we don't really know what
4 the fate of these chemicals are when they're
5 going to be discharged. So this is one way to
6 at least look at that consideration, with the
7 acute toxicity testing. So that is in there,
8 but the toxicity testing will indicate some
9 sort of effect of the various compounds, the
10 pesticides that are existing in the matrix.

11 MS. KREBS: So for instance, I think
12 the example was if one compound had two active
13 ingredients, they might have a synergistic
14 effect. Under the testing, the two things
15 were not tested together, but in the toxicity
16 testing, you would find out if there was a
17 synergistic effect on that compound?

18 MR. MIRABILE: That's absolutely true.
19 In addition to that, we do have testing for
20 individual pesticides. The pesticides that
21 have been applied within the previous 12

22 months are required to be tested for -- in the
23 ambient surface waters.

24 MS. KREBS: Which is on page 15 of 23
25 for the wildacres permit, your Honor. Page 12
(PESTICIDES ISSUE)

3381

1 of 21 of Big Indian.

2 With that, your Honor, unless you have
3 any specific questions -- may I have one
4 moment?

5 ALJ WISSLER: Sure.

6 (4:58 - BRIEF PAUSE.)

7 MS. KREBS: Thank you, your Honor.

8 ALJ WISSLER: Do you have anything?

9 MR. GREENE: Just briefly, your Honor.

10 First of all, I just wanted to acknowledge
11 that the 2.5 acres that we raised in our brief
12 was a decimal point error -- 2.5 meters, I'm
13 sorry, I'm still making the mistake. The City
14 just wanted to prevent any confusion that that
15 was an error, so we do acknowledge that.

16 As far as the other issues that we
17 talked about today, we will respond in
18 writing, if we are so allowed at a later time.

19 ALJ WISSLER: You will be so allowed.

20 MR. GREENE: Thank you, very much,
21 your Honor.

22 And lastly I would like to reiterate a
23 point that we made during our stormwater
24 presentation; that we firmly that believe the
25 Big Indian permit should have the same
(PESTICIDES ISSUE)

3382

1 7-21-04crossroadsf
2 concentration based effluent limitation for
3 pesticides as the wildacres permit, and we
4 refer your Honor back to the testimony of that
5 day.

6 MR. GERSTMAN: Judge, one brief
7 comment. I would like to reserve the right to
8 have Dr. Knisel review the offers of proof
9 made here today, and reply to them once we get
10 the transcript of the Issues Conference. We
11 believe it's fairly clear that his
12 identification of the problems with the model
13 have not been addressed, and we'll point that
14 out in our reply.

15 ALJ WISSLER: Very good. Anything
16 else?

17 (NO AFFIRMATIVE RESPONSE.)

18 Then we'll conclude for today. And I
19 believe that we will be meeting back here
20 again on July the 29 at 9 o'clock for water
21 supply.

22 (5:00 P.M. - WHEREUPON, THE ISSUES
23 CONFERENCE PROCEEDINGS ADJOURNED FOR THE DAY.)

24
25

(PESTICIDES ISSUE)

3383

1
2
3
4
5
6

C E R T I F I C A T I O N

I, THERESA C. VINING, hereby certify
Page 214

7 and say that I am a Shorthand Reporter and a Notary
8 Public within and for the State of New York; that I
9 acted as the reporter at the Issues Conference
10 proceedings herein, and that the transcript to which
11 this certification is annexed is a true, accurate
12 and complete record of the minutes of the
13 proceedings to the best of my knowledge and belief.

14

15

16

THERESA C. VINING

17

18

19 DATED: September 8, 2004.

20

21

22

23

24

25

□