

1

2 ISSUES CONFERENCE VOLUME 15

3

4 In the Matter of the Applications of
5 CROSSROADS VENTURES, LLC

6

7 for the Belleayre Project at Catskill Park
8 for permits to construct and operate pursuant to
9 the Environmental Conservation Law

8

9

Margaretville Fire House
Margaretville, New York
July 30, 2004

10

11 B E F O R E :

12

HON. RICHARD WISSLER,
Administrative Law Judge

13

14 A P P E A R A N C E S :

15

WHITEMAN, OSTERMAN & HANNA, LLP.
Attorneys for Applicant,
CROSSROADS VENTURES, LLC
One Commerce Plaza
Albany, New York 12260

16

17

18

BY: DANIEL RUZOW, ESQ., of Counsel
BY: TERRESA M. BAKNER, ESQ., of Counsel

19

20

21

NEW YORK STATE DEPARTMENT
of ENVIRONMENTAL CONSERVATION
Region 3
21 South Putt Corners Road
New Paltz, New York 12561

22

23

24

BY: CAROL KREBS, ESQ., of Counsel
Regional Attorney

25

□

1

2

3

LAW OFFICE OF MARC S. GERSTMAN
Attorneys for CATSKILL
PRESERVATION COALITION
ROBINSON SQUARE

4

5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

7-30-04crossroads_myap
313 Hamilton Street
Albany, New York 12210

BY: MARC S. GERSTMAN, ESQ., of Counsel

□

3649

1
2
3
4
5
6
7
8
9
10

APPLICANT'S
PRESENTERS

PAGE

STEVEN TRADER

3651, 3855

DR. SAMUEL GOWAN

3656, 3853

GARY KERZIC

3724

KEVIN FRANKE

3731

DEC

11 PRESENTERS

12 MICHAEL HOLT, P.E. 3746
13 JAMES D. GARRY 3760
14 JOHN DUNN, P.E. 3768

15

16 CPC PRESENTERS

17 ANDREW MICHALSKI, Ph.D. 3785, 3905
18 PAUL A. RUBIN 3833, 3904
19 RICHARD SCHAEDELE 3842

20

21

22

23

24

25

□

1 DEC EXHIBITS 3650
PAGE

2

3 7 AMBIENT STORMWATER AND 3744
4 MONITORING REQUIREMENTS

5 9 "DRAFT PERMIT #2 - 3744
6 6/25/04"

7 10 LETTER DATED 5/10/04 3744
8 FROM STATE OF NEW YORK
9 DEPARTMENT OF HEALTH

10 11 LETTER FROM JOHN M. DUNN 3781
11 TO ALEC CIESLUK DATED
12 4/23/04

12 APPLICANT'S
13 EXHIBITS

14 126 "WELLS AND FRACTURE 3867
15 YIELDS"

16
17
18
19
20
21
22
23
24
25

(WATER SUPPLY, GROUNDWATER, SURFACE WATER ISSUES)

3651

1 (July 30, 2004)

2 (9:37 A.M.)

3

P R O C E E D I N G S

4

ALJ WISSELER: Good morning, folks. It
is July the 30th. This hearing is continued.

5

6

If I can have the appearances of
counsel for the record, please.

7

8

MR. GERSTMAN: Marc Gerstman for the
Catskill Preservation Coalition.

9

10

MS. KREBS: Carol Krebs for the
Department staff.

11

12

MR. RUZOW: Dan Ruzow and Terresa
Bakner for the Applicant.

13

14

ALJ WISSELER: Okay. Ms. Bakner.

15

MS. BAKNER: We are ready to go.

16

ALJ WISSELER: Okay.

17

MS. BAKNER: We're going to be
addressing Applicant's Exhibit 98, which is
the response drafted by Alpha Geoscience to
the comments of Mr. J.A. Habib dated
July 28th, 2004.

18

19

20

21

22 Mr. Trader, the first thing I would
23 like you to address is can you describe what
24 this letter of July 28th does.

25 MR. TRADER: This letter is trying to
(WATER SUPPLY, GROUNDWATER, SURFACE WATER ISSUES)

3652

1 explain a little bit of what we had talked
2 about the last time this issue came up, which
3 was after Mr. Habib's testimony. And we just
4 wanted to try to clarify some of that
5 testimony for the record.

6 MS. BAKNER: All right. You have also
7 provided here Applicant's Exhibit 100, which I
8 think you may have in front of you, regarding
9 the calibrations of the flow meter. Can you
10 please describe how this is relevant to
11 Mr. Habib's comments.

12 MR. TRADER: The first version of
13 Table 1A contained flow measurements that were
14 made with a Global water flow meter, stream
15 flow meter. It was uncalibrated. This
16 correspondence here relates because it tells
17 how you can correct the data collected from
18 the uncalibrated meter. You can actually
19 correct that by hand in-house. It's a simple
20 conversion.

21 MS. BAKNER: Okay. So that's covered
22 on the fax cover sheet from Global water from
23 one of the engineers. And it says basically,
24 you can multiply the flow data set by 0.4056?

25 MR. TRADER: That is correct. And
(WATER SUPPLY, GROUNDWATER, SURFACE WATER ISSUES)

3653

1 that was confirmed in an e-mail from the
2 president of the company.

3 MS. BAKNER: All right. And that
4 e-mail is dated December 14th, 2001, and I'm
5 assuming that John Dickerman is the president
6 of Global Water?

7 MR. TRADER: Yes, reportedly to me.

8 MS. BAKNER: Okay. So in correcting
9 the data set, did you use the methods set
10 forth in here?

11 MR. TRADER: Yes, I did.

12 MS. BAKNER: So are you confident that
13 the numbers in the revised Table 1A are an
14 accurate reflection of the flows?

15 MR. TRADER: Yes.

16 MS. BAKNER: Okay. We've also
17 attached the Global Flow Probe Instruction
18 Manual, and we have the probe itself here.

19 Steve, could you pick that up and just
20 explain how it works and what led to it being
21 out of calibration in the first place.

22 MR. TRADER: Sure. The flow meter has
23 a propeller that spins when you put it in the
24 water that's flowing in a ditch or stream.

25 The rate that that is spinning is converted by
(WATER SUPPLY, GROUNDWATER, SURFACE WATER ISSUES)

3654

1 this little widget here at the top, which
2 needs to be calibrated. When I just put it on
3 here, it should be already calibrated. It
4 doesn't come from the factory in a calibrated
5 sense. You have to manually lower it
6 according to the instruction manual.

7 ALJ WISSLER: How do you calibrate it?

8 MR. TRADER: You calibrate it by going
9 through the menu options on the computer
10 readout here. And there's a calibration
11 number, and it's 83 -- 82.13 is the way that
12 it comes, and I have to actually show you.
13 Let me bring up the manual.

14 The "V" is velocity if water was
15 actually moving through here. What I'm
16 looking for is the calibration, how to
17 maneuver through the menu.

18 Here is where it says your probe
19 calibration, so let's get to that here. If
20 you change your batteries, you will have to
21 reset this number. So when you change the
22 batteries, the number that will be showing at
23 this point is actually 82.13, and you have to
24 decrease it downward to 33.31.

25 ALJ WISSLER: When you put in a new
(WATER SUPPLY, GROUNDWATER, SURFACE WATER ISSUES)

□

1 battery, it says 82.31?

3655

2 MR. TRADER: Right. It defaults to
3 that.

4 ALJ WISSLER: Where does it say that
5 in the instruction manual?

6 MR. TRADER: It doesn't say that in
7 the instruction manual, but if I take the
8 batteries out --

9 MS. BAKNER: Go ahead.

10 MR. TRADER: Let's go through this and
11 let's see what it says right now.

12

MS. BAKNER: Okay.

13

MR. TRADER: Right now it says "mi,"

14

and it stands for miles, which means you're in

15

feet. Enter the setup sequence by holding

16

both buttons down for 80 seconds. Now we see

17

the "mi" right there. Now we see calibration,

18

so it's calibrated right now, 33.31. All

19

right. What I'm going to do now is just go

20

ahead and turn this off. I'm going to take

21

the battery out. (Indicating)

22

I've taken the battery out.

23

MR. GERSTMAN: So noted.

24

MR. TRADER: Now we see the

25

calibration says 82.13. So now I'm going to
(WATER SUPPLY, GROUNDWATER, SURFACE WATER ISSUES)

□

1

calibrate it and bring it where it should be.³⁶⁵⁶

2

So I pressed the right button.

3

ALJ WISSLER: Now, let me just ask you

4

this: when you were out in the field taking

5

the reading, you started with 82.13; is that

6

what you're saying?

7

MR. TRADER: Apparently so.

8

ALJ WISSLER: Who is it apparently?

9

You did not take this --

10

MR. TRADER: Sam and I started the

11

readings.

12

DR. GOWAN: Your Honor, when we first

13

started using this flow probe, we had the

14

proper calibration. And then through time, we

15

don't know when, we removed the battery

16

because we were actually having some

17

difficulty with the probe, and we didn't

18 realize that when we took the battery out and
19 put it back in that we changed the
20 calibration.

21 So we went through a period of correct
22 calibrated readings, and then all of a sudden,
23 we started making recordings over a period of
24 months where we had an uncalibrated probe. We
25 actually discovered this when we loaned out
(WATER SUPPLY, GROUNDWATER, SURFACE WATER ISSUES)

1 the meter to a competitor of ours, and they ³⁶⁵⁷
2 came back and said, "Hey, these numbers aren't
3 making any sense," and that's when we looked
4 at it.

5 MR. TRADER: I press the left button
6 when the arrow is pointing down and we see it.
7 Now I have to stand here until it goes down to
8 33.31. (Indicating)

9 We started at 82, we're down to 75
10 now. So we have to go all the way to 33.31 if
11 we really want to do that.

12 ALJ WISSELER: But in any event, you
13 changed the battery, but you didn't go through
14 the calibration?

15 MR. TRADER: No, because we didn't
16 realize it.

17 Down to 64.

18 56.

19 45. (Indicating)

20 ALJ WISSELER: Is there a low battery
21 indicator on that thing?

22 MR. TRADER: No, not on this version.

23 MR. RUZOW: Each time you start, you
24 could check the calibration number?

25 DR. GOWAN: Yes.
(WATER SUPPLY, GROUNDWATER, SURFACE WATER ISSUES)

3658

1 ALJ WISSLER: So that -- and the
2 reason why you would do that is because as the
3 level of the battery decreases -- there will
4 come a threshold where it doesn't operate the
5 unit anymore. But the purpose of the
6 calibration is that whatever your battery
7 strength is, you can calibrate it to the level
8 of that strength and take readings off of that
9 battery until it's dead; right?

10 DR. GOWAN: I don't believe the
11 calibration has anything to do with the
12 battery itself.

13 MR. TRADER: Yes.

14 ALJ WISSLER: Keep your voices up.

15 MR. TRADER: The calibration doesn't
16 start changing as the battery life goes away.
17 It stays wherever you set it. What it's doing
18 is it's making a conversion for you in the
19 field so that the data you're reading is
20 exactly what you want to see. If you don't
21 make the conversion in the field
22 automatically, you have to convert all the
23 data by multiplying by that coefficient.

24 ALJ WISSLER: All right. So when you
25 turned this instrument on, it gave you that
(WATER SUPPLY, GROUNDWATER, SURFACE WATER ISSUES)

3659

1 reading of 82 -- whatever?

2 MR. TRADER: 82.13.
Page 10

3 ALJ WISSLER: On the calibration it
4 did that, or it gave you a reading as zero?
5 When you started taking the flows, it's zero;
6 correct?

7 MR. TRADER: I don't recall what it
8 said when we first started. It's either going
9 to say 82.13, or it will be calibrated to
10 33.31 just like I did.

11 DR. GOWAN: See, it defaults. When
12 you take that battery out --

13 ALJ WISSLER: -- and you put a new one
14 in, it defaults to the 82. I understand that.
15 But when you turned that instrument on, it's
16 only in that calibration mode that you're
17 going to get that reading of 82 or 33,
18 whatever it is; am I right?

19 MR. TRADER: You won't see that unless
20 you manually go through the menu to get to
21 that point.

22 ALJ WISSLER: To get to the
23 calibration.

24 So when you turn it on, it comes up
25 zero?

□ (WATER SUPPLY, GROUNDWATER, SURFACE WATER ISSUES)

3660

1 MR. TRADER: It comes up in a
2 different menu option, which is just measuring
3 flow.

4 ALJ WISSLER: Which, when you just
5 turn it on and you haven't stuck it in the
6 water yet, it says zero?

7 MR. TRADER: Correct.

8 ALJ WISSLER: Okay. So in order to
9 know whether or not it was giving you accurate
10 readings in the field, you need to scroll
11 through the menu to the calibration number and
12 say is this thing at 33.31, and if it isn't
13 then my numbers are suspect. If it isn't,
14 then I take that difference and that ratio to
15 33.31 and multiply that times the factor, and
16 that should adjust the flow reading that I
17 got; is that what we're saying?

18 MR. TRADER: That's right. The ratio
19 would be 33.31 divided by whatever that
20 calibration set that was --

21 ALJ WISSLER: But for each of those
22 readings for that period of time, the readings
23 you've taken with it -- and this was the same
24 instrument that was used all 14 months?

25 MR. TRADER: Yes, it was.
(WATER SUPPLY, GROUNDWATER, SURFACE WATER ISSUES)

1 ALJ WISSLER: Okay. So for all the ³⁶⁶¹
2 readings that were taken during that 14-month
3 period, at no time did we check the
4 calibration of this instrument?

5 MR. TRADER: I don't recall checking
6 that calibration until we realized that
7 something had gone wrong with it after the
8 battery change.

9 ALJ WISSLER: What made you realize
10 something had gone wrong?

11 MS. BAKNER: Dr. Gowan, if you could
12 explain that again.

13 DR. GOWAN: Yes. We loaned that
Page 12

14 instrument out, and actually, it was on a
15 project that we were supporting a competitor,
16 and they took some stream flow measurements.
17 And I don't know how they knew this, but if
18 they had known the discharge into a stream,
19 and the numbers just didn't correlate to what
20 they had expected them to be, and they said
21 this isn't reading right. And that's when we
22 looked into it to evaluate why it wasn't
23 reading right and discovered the calibration
24 problem.

25 ALJ WISSLER: But in any event,
(WATER SUPPLY, GROUNDWATER, SURFACE WATER ISSUES)

1 obviously, this calibration was not done for³⁶⁶²
2 each of the times you went out during that
3 14-month period?

4 MR. TRADER: That's right.

5 MS. BAKNER: Now, to the legal side of
6 the argument for just a brief second. In the
7 Applicant's Exhibit 98, Mr. Trader has
8 attached to his letter a letter of August 5th,
9 2002. The letter of August 5th, 2002 went
10 from Whiteman, Osterman & Hanna to Alec
11 Ciesluk to respond to comments that were
12 submitted, public comments that were submitted
13 on the application for a water supply permit
14 modification on behalf of Pine Hill Water
15 Company.

16 Directing your attention to --

17 ALJ WISSLER: What letter are you
18 talking about? I'm looking at Applicant's

19
20
21
22
23
24
25

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24

100, or 98 rather?
MS. BAKNER: Applicant's 98. It's the
second to last attachment at the back.
ALJ WISSLER: Letter of August 5th,
2002?

MS. BAKNER: Yes.
If you look at page 3, you'll see on
(WATER SUPPLY, GROUNDWATER, SURFACE WATER ISSUES)

3663

page 3 under the paragraph entitled,
Redactions in Monitoring Data.
MR. RUZOW: Reductions.
MS. BAKNER: I'm sorry. It's a bad
copy, I apologize.
It says in here, "During the two-year
monitoring period, the batteries in the flow
meter were changed. Without a constant source
of power, the meter calibration resets to the
default number." And it goes through in
detail exactly the difference between
Table 1 -- the original Table 1A and the
revised Table 1A. And this was given to the
Department in response to comments that were
actually submitted by Mr. Habib, and this was
in the year 2002.
When DEC made their determination to
issue a permit in this matter, they had this
information in front of them. Department
staff looked at all the responses to public
comments and took them into account in issuing
the permit.
After the permit was issued, a number
of parties sued the Department in connection

25 with the issuance of the approvals, and the
(WATER SUPPLY, GROUNDWATER, SURFACE WATER ISSUES)

3664

1 results of that lawsuit are included as
2 exhibits from yesterday. There's a Memorandum
3 of Decision by Albany County Supreme Court,
4 which is Exhibit 112, and it's dated 4/25/03.
5 And then there's an amended decision dated
6 July 16th, 2003, and that's Exhibit 111.

7 So while we're quite happy, of course,
8 to answer any questions that your Honor has
9 about this, I think I just want to make it
10 very clear for the record that these issues
11 were all addressed previously in the context
12 of that previous permit proceeding which was
13 then challenged additionally, and the decision
14 was of course upheld by the Court.

15 ALJ WISSLER: Let me just ask you,
16 the letter of August the 5th, that third page,
17 the paragraph that you directed my attention
18 to, Reductions in Monitoring Data --
19 redaction. Redaction?

20 MR. TRADER: Reduction.

21 ALJ WISSLER: Is that an A or a U?

22 MS. BAKNER: I can't tell, your Honor.

23 ALJ WISSLER: Looks like redactions.

24 MR. TRADER: I think it's reductions.

25 ALJ WISSLER: But anyway, that
(WATER SUPPLY, GROUNDWATER, SURFACE WATER ISSUES)

3665

1 paragraph specifically addresses the table
2 that Mr. Habib spoke about and the changes
3 that were made in that table. So when this

4 paragraph talks about the monitoring period,
5 it's talking about the period in which that
6 table was compiled; am I right?

7 MR. TRADER: Yes. The initial version
8 of the table was, I think, April of 2001.

9 ALJ WISSLER: Okay. So that's what
10 this paragraph -- I mean there's no other data
11 sets out there, is what I'm saying?

12 MR. TRADER: Oh, by the time this
13 letter came out, the flow study was completed,
14 December of 2001.

15 ALJ WISSLER: Okay. But this
16 paragraph is talking about an explanation of
17 the apparent problem that Mr. Habib
18 highlighted, which is now what is Table 1A,
19 derived from an earlier set of field
20 observations that needed to be corrected?

21 MR. TRADER: Yes.

22 MS. BAKNER: Is there anything else we
23 want to add to this particular issue?

24 MR. TRADER: No.

25 MS. BAKNER: Mr. Trader, could you go
(WATER SUPPLY, GROUNDWATER, SURFACE WATER ISSUES)

3666

1 through the method again of how you took the
2 flow measurements, the three different
3 methods, and just explain where those are
4 affected by the flow meter, where they were
5 not affected by the flow meter, in relation to
6 Table 1A.

7 MR. TRADER: Sure. Stream flows were
8 measured with the Global flow meter that I
9 just brought forth. Most of the springs were

10 measured using a bucket method or a tub
11 method. We had a calibrated 5-gallon capacity
12 bucket. We would measure the flow out of the
13 pipe from one of the springs and measure how
14 long it would take to fill the bucket. We
15 calculated the rate of the discharge that way.

16 MR. RUZOW: Is that a standard
17 methodology?

18 MR. TRADER: Yes. We also had an
19 18-gallon capacity metal tub for the
20 larger-producing springs that had a pipe
21 discharge that we could direct the flow into
22 the tub. Measuring, again, with a stopwatch,
23 we could determine how long it took and got
24 our rate of discharge in that method.

25 One of the springs, Railroad Spring,
(WATER SUPPLY, GROUNDWATER, SURFACE WATER ISSUES)

3667

1 is not conducive for either of those two
2 bucket or tub measurement methods. The spring
3 is coming out of a rock face coming into a
4 ditch, so we have to use the Global flow meter
5 for that.

6 So those are the three different
7 methods.

8 MS. BAKNER: Okay.

9 MR. TRADER: I guess one of the points
10 there is that the spring flow methods for
11 Silo A Spring, Silo B Spring, those are not
12 affected by the calibration problem on the
13 flow meter.

14 MR. RUZOW: Because they used the

15
16
17
18
19
20
21
22
23
24
25

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20

bucket method?
MR. TRADER: Because they used the
18-gallon metal tub.
And at Bonnie View Springs, there's a
side ditch that has overflow, or flow that's
not captured by the spring collection boxes.
The flow in that ditch is actually water
that's coming from Bonnie View Springs that
does not enter the water supply system there.
That is in a ditch that's measured with the
flow meter, so that portion of Bonnie View
(WATER SUPPLY, GROUNDWATER, SURFACE WATER ISSUES)

3668

Springs data was affected by the calibration
problem.
The rate at which the flow
measurements are going through the in-line
flow meter at Pine Hill is not affected,
neither is the measurement of the overflow
when the valve is closed and the reservoir is
not filling. The overflow from that is not
affected because that was measured with either
an 18-gallon tub or bucket.

MR. RUZOW: You use an 18-gallon tub
where the flow rate would fill a 5-gallon
bucket too quickly to be comfortable that you
got the time correctly?

MR. TRADER: Yes.

ALJ WISSLER: And all of this flow
data is now contained in what is Table 1A?

MR. TRADER: Yes.

ALJ WISSLER: Okay. If I understand
what you're saying, some of the entries in

21 Table 1A used that flow meter and some of
22 those readings did not?

23 MR. TRADER: That's right.

24 ALJ WISSLER: Does Table 1A break that
25 out and tell you which is which?
(WATER SUPPLY, GROUNDWATER, SURFACE WATER ISSUES)

1 MR. TRADER: Which method was used, ³⁶⁶⁹
2 no.

3 ALJ WISSLER: Can you tell me which
4 method was used?

5 MR. TRADER: Sure. why don't you look
6 at --

7 MS. BAKNER: And, actually, your
8 Honor, there's an easy way to tell what method
9 was used because if you compare the original
10 version of Table 1A and the corrected version
11 Table 1A, which actually has a different
12 footer, which has in the footer "calibrated,"
13 then you can tell which was used for what. So
14 we can pull those out and go over it really
15 easily.

16 ALJ WISSLER: That would be helpful.

17 MR. TRADER: The numbers that have
18 changed are the ones that were --

19 ALJ WISSLER: -- flow-metered.
20 Numbers that were taken from buckets
21 and so forth were not changed?

22 MR. TRADER: Exactly.

23 ALJ WISSLER: Because you didn't have
24 to calibrate the bucket.

25 MR. TRADER: Well, we calibrated it by
(WATER SUPPLY, GROUNDWATER, SURFACE WATER ISSUES)

1 dumping 5 gallons of water in it initially.

2 MS. BAKNER: If you give us a second,
3 we can find those.

4 MR. RUZOW: So that's in Exhibit 98.

5 MR. TRADER: Attachment 2.

6 MS. BAKNER: And, your Honor, if you
7 look at the bottom, it says -- of Version 2,
8 it says, 00109, Flow Table C-a-l-i-b-r-a- it
9 says calibrated, Calibrated Flows.

10 MR. RUZOW: On the footer on the far
11 right.

12 MS. BAKNER: Right here. (Indicating)

13 ALJ WISSLER: Show me.

14 Okay. And which of these values are
15 the --

16 MS. BAKNER: Steve, why don't you come
17 up and do that, but point it out in a way so
18 that the --

19 ALJ WISSLER: This is the version that
20 appears in 51B; right?

21 MS. BAKNER: That's correct.

22 ALJ WISSLER: Okay, Version 2 is that
23 version of Table 1A which appears in
24 Applicant's 51B.

25 MR. TRADER: what I will do is just go
(WATER SUPPLY, GROUNDWATER, SURFACE WATER ISSUES)

1 down the list and tell you which ones were
2 measured or had a component of measurement
3 using this Global flow meter.

4 ALJ WISSLER: Okay. Why don't you
5 give me a little checkmark.

6 MR. TRADER: Woodchuck Hollow Spring.
7 Railroad Spring, Crystal Spring Brook above
8 Bonnie View Spring, Bonnie View Side Ditch,
9 Crystal Spring Brook above Cathedral Glen
10 Brook, Cathedral Glen Brook above Crystal
11 Spring Brook, Crystal Spring Brook below
12 Silo A, Station Road Ditch above and below
13 Depot Spring, that's two of them. The Depot
14 Spring total is affected because it's a
15 calculation using some of the other
16 components. Bailey Brook above Crystal Spring
17 Brook, Crystal Spring Brook above Birch Creek,
18 Birch Creek above and below Crystal Spring
19 Brook.

20 MR. RUZOW: These are two different
21 entries?

22 MR. TRADER: Yes. And that's all.

23 MS. BAKNER: Okay. Steve, in your
24 opinion, all of the issues that were raised by
25 Mr. Habib in his most recent comments
□ (WATER SUPPLY, GROUNDWATER, SURFACE WATER ISSUES)

1 3672
2 regarding how the measurements were taken,
3 what the mistake was, all of those comments,
4 were they in your opinion previously addressed
5 to the Department in the Pine Hills water
6 supply permit modification application?

6 MR. TRADER: All of them, no.

7 MS. BAKNER: Okay. Which ones were
8 not addressed?

9 MR. TRADER: I can direct you to the
10 numbered comment.

11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16

MS. BAKNER: Okay.

MR. RUZOW: This is in Applicant's 98, Exhibit 98.

MS. BAKNER: Yes, it is.

MR. TRADER: Comment number 7.

MS. BAKNER: Okay. Can you please go over that comment. It said, "Mr. Habib spends considerable time pointing out apparent mathematical errors in the calculation of average flow and low flow values for Bonnie View Springs." Can you explain what our response is to that?

MR. TRADER: Sure. The initial engineering report for the Pine Hill water Company, which was put out in April of 2001, (WATER SUPPLY, GROUNDWATER, SURFACE WATER ISSUES)

3673

there was an incorrect formula for the calculation of flows at Bonnie View Springs. The incorrect formula arose from the engineers' misunderstanding of the hydrological components that were used in the estimation of the Bonnie View Springs' total yield. The formula should not have referenced flows at Crystal Spring Brook in the estimation -- in the estimation of flows at Bonnie View Springs. The formula did, in fact, result in elevated low flows and average flows for Bonnie View Springs. These elevated flows were exacerbated at the time due to the Table 1A uncalibrated measurements that existed up until that point.

ALJ WISSLER: Exacerbated lower?

17
18
19
20
21
22
23
24
25

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21

MR. TRADER: Higher.
ALJ WISSLER: Higher?
MR. TRADER: Right. The uncalibrated measurements were higher.
ALJ WISSLER: Okay.
MR. TRADER: In February of 2002, the engineering report for the Pine Hill water Company contained the correct estimate of flows, but the method of calculation that was (WATER SUPPLY, GROUNDWATER, SURFACE WATER ISSUES)

3674

presented there was held over from the previous report and was still incorrect.
MR. RUZOW: So the narrative description was incorrect?
MR. TRADER: Yes. The numbers were correct, but the narrative description at the time was still incorrect.
That February of 2002 engineering report contained Version 2 of Table 1A, the correct version of Table 1A. Most recently, the conceptual design report for Big Indian Plateau, which is Exhibit 51B, May 2004, that contains a proper accounting of the Bonnie View Springs water supply system on pages 13 and 14, shows the proper method of calculating the flow.
Mr. Habib, along these same lines, was confused about the low flow calculations that existed. As of April 2001, the low flow measured at Bonnie View Springs had at that time been in September of 2000. Year 2000 was

22 not a particularly dry year, so at the time,
23 the engineers had used a multiplier of 0.7 to
24 reduce the numbers to estimate a low flow
25 period. September 2000 was the lowest flow to
(WATER SUPPLY, GROUNDWATER, SURFACE WATER ISSUES)

3675

1 that point, so they just reduced the numbers
2 artificially to try to simulate a drought or a
3 low flow condition.

4 Our flow study continued through the
5 rest of 2000 and 2001. And as has been stated
6 before, the latter half of 2001 was a dry
7 year. The flows measured during that time
8 took advantage of this to see what the dry
9 season flows actually were. In the latter
10 part of that year, November was a drought
11 watch for Ulster County, December was a
12 drought warning for Ulster County. The flow
13 measurements at Bonnie View Springs -- I'm
14 sorry.

15 Since the August 2001 measurement,
16 which was the lowest measurement of the flows
17 at Bonnie View Springs during that dry season
18 and into the drought, that value was used, and
19 the 0.7 multiplier was no longer necessary to
20 reduce any data because we had a dry season,
21 drought-type measurement now, so they used
22 that number in the most recent --

23 MS. BAKNER: I just want to refer to
24 Applicant's Exhibit 56, which was the permit
25 that was issued by DEC to the Pine Hill Water
(WATER SUPPLY, GROUNDWATER, SURFACE WATER ISSUES)

3676

1 Company, and I want to specifically note that
Page 24

2 the permit was issued by DEC on
3 September 13th, 2002. And the corrected
4 estimate of the low flow amounts as is set
5 forth in Applicant's Exhibit 98 references the
6 February 28th, 2002 engineering report for the
7 Pine Hills Water Company. So unless I've --
8 so it's clear that the corrected information
9 was before the Department before they issued
10 the permit, February coming before September.

11 I think that's pretty much it in terms
12 of the response of Mr. Habib, unless there's
13 anything else that you'd like to say. This
14 may be your last chance to respond to these
15 comments which we have responded to
16 previously.

17 MR. TRADER: No, I don't think I have
18 anything else.

19 MS. BAKNER: Okay.

20 MR. GERSTMAN: Since Mr. Habib is not
21 here today, we request the opportunity, once
22 we receive the transcripts, to submit his
23 written reply. We will submit Exhibit 98 and
24 Exhibit 100 to him, and I'd like to see the
25 transcripts if I could. Thank you.

(WATER SUPPLY, GROUNDWATER, SURFACE WATER ISSUES)

3677

1 ALJ WISSLER: Okay.

2 MS. BAKNER: Next, we would like to
3 move back to some of the issues that were
4 raised yesterday. And specifically, I think
5 what we need to do at this point, if we can,
6 is go back through some of the tables that are

7 included as our exhibits regarding the pumping
8 tests and the history of the pumping tests for
9 the Big Indian Plateau as they can be very
10 confusing.

11 So what I'd like you to do is start
12 with Applicant's Exhibits 101 and 102, which
13 we have up on the board, and I'd like you to
14 address it up there if you can, Steve. I
15 think it will be easier for people to follow.
16 They can at least see where you're pointing.
17 What I'd like you to do is go through the
18 chronology and exactly which of the Rosenthal
19 wells were tested when, and the methods of
20 pump testing the various wells.

21 I just want to mention for the record
22 that the various reports and information are
23 all set forth at one place in Applicant's
24 Exhibit 51A, but I think we would like to
25 explain it just a little bit further.

(WATER SUPPLY, GROUNDWATER, SURFACE WATER ISSUES)

3678

1 Go ahead, Steve.

2 MR. TRADER: Well R2 was the first
3 well that was tested. We did an individual
4 test on Well R2 in November of 2001. It was a
5 72-hour constant rate pumping test.

6 ALJ WISSLER: We're referring to
7 Applicant's 102.

8 MR. TRADER: That is for Well R2.
9 The next test that was performed was
10 on Well R1. We did a 72-hour constant rate
11 individual test on Well R1, September of 2002.

12 MS. BAKNER: And, Steve, can you just
Page 26

13 take a second and explain to us what you mean
14 by a constant rate pump test. What is a
15 constant rate pump test?

16 MR. TRADER: This was a pumping test
17 which we started at a specific pumping rate.
18 At well R1, we used 77 gallons per minute, and
19 we maintained that discharge rate throughout
20 the entire test.

21 MS. BAKNER: And what were you trying
22 to show from that constant rate pump test?

23 MR. TRADER: Trying to show if the
24 pumping test could show that well R1 could
25 produce 77 gallons per minute to make sure
(WATER SUPPLY, GROUNDWATER, SURFACE WATER ISSUES)

1 that that could help meet the demands of the ³⁶⁷⁹
2 project.

3 ALJ WISSELER: Because it would be
4 helpful for me, where in 51B is that stuff
5 summarized?

6 I mean, I think, Ms. Bakner, you
7 indicated that it was --

8 MS. BAKNER: Your Honor, could we have
9 five minutes so we can --

10 ALJ WISSELER: Sure. I think that
11 would be helpful.

12 MS. BAKNER: All right.

13 ALJ WISSELER: Five minutes.

14 (10:20 - 10:27 A.M. - BRIEF RECESS
15 TAKEN.)

16 ALJ WISSELER: Let's reconvene.

17 MS. BAKNER: Before Mr. Trader starts,

18 we will tell you the locations of all of the
19 pump test reports in the record so far. The
20 most recent pump test, simultaneous pump test
21 of well R1, R2 and R3 can be found as an
22 attachment to Applicant's Exhibit 51B, which
23 is the conceptual design report for the Big
24 Indian Plateau Water Supply Treatment and
25 Distribution. And it is located at Exhibit E
(WATER SUPPLY, GROUNDWATER, SURFACE WATER ISSUES)

□

1 to that document, and it's dated May 2004. 3680

2 The test was actually conducted in April of
3 2004.

4 ALJ WISSLER: Exhibit or appendix?

5 MS. BAKNER: It's actually called
6 Exhibit E. Here is where it is in our version
7 here. It's right after these slippery maps.

8 ALJ WISSLER: I have Exhibit B.

9 MS. BAKNER: No, that's water quality
10 field report.

11 ALJ WISSLER: I understand that.

12 MS. BAKNER: All right. The other
13 tests can be found in Volume 3 of the Draft
14 Environmental Impact Statement, and it is
15 Volume 3, Appendix 7, which is all the water
16 supply reports. The new conceptual design
17 report, which is Applicant's Exhibit 51B, only
18 contains the most recent simultaneous well
19 pump test for R1, R2 and R3. Volume 3,
20 Appendix 7, of the DEIS has Exhibit E which is
21 "Report and Testing of Well R2," and it's
22 tabbed, at least to my knowledge.

23 ALJ WISSLER: You know what, I do have
Page 28

24 this. Let me take a minute and go get my
25 copy.

(WATER SUPPLY, GROUNDWATER, SURFACE WATER ISSUES)

3681

1 MS. BAKNER: Okay.

2 (10:31 - 10:36 A.M. - BRIEF RECESS
3 TAKEN.)

4 ALJ WISSELER: Do we someplace have
5 where 51B supersedes Appendix 7?

6 MS. BAKNER: It actually doesn't, your
7 Honor.

8 ALJ WISSELER: Is that broken out
9 somewhere?

10 MS. BAKNER: Yes. Well, I can break
11 it out for you, but no, it's not broken out
12 anywhere. I can show you which part of it has
13 been superseded, and it's a very small matter.

14 ALJ WISSELER: If it's a matter of just
15 telling me where it is.

16 MS. BAKNER: Yes. Your Honor, it's
17 merely the December 2002 conceptual design
18 report narrative. That's the only thing that
19 has been superseded here. So it's just the
20 first couple -- it's just the report itself.

21 ALJ WISSELER: The first tabbed section
22 inside the Big Indian Plateau water supply
23 tab?

24 MS. BAKNER: Yes. And it's pages 1
25 through 25, essentially.

(WATER SUPPLY, GROUNDWATER, SURFACE WATER ISSUES)

3682

1 ALJ WISSELER: Right. Okay. And then
2 there were a couple of tables?

3 MS. BAKNER: Analytical results.
4 Those are all good. Those are all good
5 things. What we did when we revised the
6 report that's Applicant's Exhibit 51 is we had
7 to change the narrative to update the project
8 and also to reflect the new simultaneous well
9 pump tests of 1, 2 and 3 together.

10 So that's what's happening, and I
11 apologize for the confusion. We didn't mean
12 for it to be confusing.

13 So Exhibit E --

14 ALJ WISSELER: It happens easy for me.

15 MS. BAKNER: Well, we were having a
16 little trouble planning it. "Installation,
17 Development and Testing of well R1," and it's
18 a report prepared by Alpha Geoscience dated
19 January 2002.

20 ALJ WISSELER: You're looking at
21 Exhibit --

22 MS. BAKNER: Exhibit E after -- go
23 past the green, and I'm reading the front
24 page.

25 ALJ WISSELER: It says, installation,
(WATER SUPPLY, GROUNDWATER, SURFACE WATER ISSUES)

3683

1 what?

2 MS. BAKNER: "Installation,
3 Development and Testing" --

4 ALJ WISSELER: -- of well R2?

5 MS. BAKNER: -- of well R2, that's
6 right.

7 Now, we're going to the next report
8 that is the well testing report. Now we're

9 going to the test, Tab F, "Simultaneous
10 Testing Report of wells R1 and R2," and that's
11 prepared by Alpha Geoscience dated
12 November 2002.

13 ALJ WISSLER: Tab F.

14 MS. BAKNER: The next tab we're going
15 to is Tab I, which is Roman numeral I, "Well
16 R1 Report."

17 ALJ WISSLER: I'm sorry, we're going
18 to which now?

19 MS. BAKNER: We're going to Tab I,
20 Roman numeral I. That's "Step Rate and
21 Constant Rate Testing of well R1." And that's
22 dated November 2002 by Alpha Geoscience.

23 Okay? And that's all of them.

24 Now that we have located all of the
25 reports, what I would like you to do, Steve,
(WATER SUPPLY, GROUNDWATER, SURFACE WATER ISSUES)

1 is go through the history of the pump testing ³⁶⁸⁴
2 and describe what type of testing was done.

3 MR. TRADER: In November of 2001,
4 well R2 had a 72-hour pumping test done on
5 that well. It was a constant rate pumping
6 test. The test was pumped at a constant rate
7 of 82 gallons per minute throughout the test.

8 The next test was at well R1 in
9 September of 2002. It was a 72-hour constant
10 rate pumping test. We pumped it at 77 gallons
11 per minute throughout the test.

12 A combined test with well R1 and well
13 R2 pumping was performed in September of 2002.

14 It was a constant rate test where well R1 was
15 pumped at 57 gallons per minute and well R2
16 was pumped at 71 gallons per minute. Those
17 two values are not shown on this table.

18 ALJ WISSLER: why the lower values?

19 MR. TRADER: We had initially
20 tested -- the individual tests were at 77 and
21 82. We wanted to make sure we -- at the time,
22 would meet what the demand was. And with 57
23 and 71, we felt that was more decent pumping
24 rates that we could achieve a successful
25 pumping test and meet the demands.

(WATER SUPPLY, GROUNDWATER, SURFACE WATER ISSUES)

3685

1 ALJ WISSLER: The demand being
2 114,817?

3 MR. TRADER: I don't recall what the
4 demand at the time was, if it was the same or
5 different.

6 MS. BAKNER: we will go over the
7 demands later.

8 MR. TRADER: The most recent test was
9 in April of 2004. It was a simultaneous test
10 of wells R1, R2 and R3. It was not a constant
11 rate pumping test. The results of that test
12 show that the individual rates for R1, R2 and
13 R3 were 63 gallons per minute, 74 1/2 gallons
14 per minute, and 11 1/2 gallons per minute,
15 respectively.

16 MS. BAKNER: And this is when all
17 three wells are pumping simultaneously?

18 MR. TRADER: That's correct.

19 MS. BAKNER: All right. So that shows
Page 32

20 that there's some interconnection amongst
21 those wells in that well field?

22 MR. TRADER: Yes.

23 MS. BAKNER: The next thing I would
24 like you to cover is what is the difference
25 between the first simultaneous well pump test
(WATER SUPPLY, GROUNDWATER, SURFACE WATER ISSUES)

3686

1 that you did and the -- R1 and R2, and the
2 second simultaneous well pump test that you
3 did, which was R1, R2 and R3; what was the
4 difference?

5 You have described one as a constant
6 rate test and the other one as not a constant
7 rate test and I would just like you to explain
8 the technical difference.

9 MR. TRADER: The constant rate test
10 was exactly that, a constant rate. Both wells
11 were pumped from start to finish at the same
12 rate. The most recent test was the -- it's a
13 well yield test. We pumped them initially at
14 a higher rate. I don't recall right offhand
15 what exactly those rates were, but they're in
16 the documentation.

17 MS. BAKNER: Was there a reason why
18 you pumped them at a higher rate at the
19 get-go?

20 MR. TRADER: Yes. Based on the
21 results of the R1 and R2 simultaneous test, we
22 knew at what point in time that the graph of
23 that data appeared to approach -- started to
24 approach stability. We knew how much water

25 had been removed from the system at that
(WATER SUPPLY, GROUNDWATER, SURFACE WATER ISSUES)

3687

1 point, so we pumped -- in R1, R2, R3 test, we
2 pumped at a higher rate to get that same
3 volume out of the system. That was the reason
4 for pumping it at a higher rate.

5 MS. BAKNER: And why did you want to
6 get the volume of storage out of the system?

7 DR. GOWAN: Because on that steeper
8 part of the curve, that's the storage, and
9 what we really want to get to is when we have
10 a cone spread out far enough where we're going
11 to reach out to the recharge that's going to
12 sustain a stable level, stable pumping level
13 at a constant rate of pumping. So we wanted
14 to remove that storage and get it out to
15 stress that system as quickly as possible. We
16 knew how much water it would take to do that,
17 and we wanted to get that out of the system
18 and then get closer to that point quicker.

19 MS. BAKNER: Right. And you weren't
20 guessing where that point was. You knew where
21 that point was?

22 MR. TRADER: No, that's when we backed
23 off the pumping rate.

24 DR. GOWAN: We knew how much volume,
25 how much water we needed to get out of there
(WATER SUPPLY, GROUNDWATER, SURFACE WATER ISSUES)

3688

1 to get to that point, and that's how we
2 determined that.

3 MS. BAKNER: On your constant rate
4 test, what method did you use of recording

5 your data? How did you plot your data?

6 MR. TRADER: The data was plotted up
7 on a semi-log graph.

8 MS. BAKNER: The purpose of that was
9 to show the reaction of the well when you
10 pumped it at a constant rate?

11 MR. TRADER: Correct.

12 MS. BAKNER: Okay.

13 ALJ WISSELER: Where is that graph in
14 the materials?

15 MS. BAKNER: It would be in the
16 reports, the pump test reports for the
17 different wells, so it will either be in
18 the --

19 ALJ WISSELER: Those sections of
20 Appendix 7?

21 MS. BAKNER: That's correct. All
22 right?

23 ALJ WISSELER: I want you to show me
24 that graph.

25 MS. BAKNER: Okay.
(WATER SUPPLY, GROUNDWATER, SURFACE WATER ISSUES)

□

1 MR. TRADER: Sure. which test were we ³⁶⁸⁹
2 speaking of?

3 ALJ WISSELER: The semi-log graphs you
4 just referred to.

5 MR. TRADER: Okay.

6 MS. BAKNER: They would have done
7 semi-log graphs on each of them.

8 ALJ WISSELER: As you speak of them, I
9 want you to show me.

10 MS. BAKNER: Here they are. Here is
11 the constant rate test graph for well 2.

12 MR. TRADER: Exhibit I shows the
13 individual tests for the R1. (Indicating)

14 MS. BAKNER: Right, go ahead and just
15 flip through the graphs.

16 MR. TRADER: We have a linear plot of
17 the data and a semi-log plot of the data.
18 That's R1. (Indicating)

19 MS. BAKNER: Okay. And now you want
20 to flip to R2, which is Exhibit E, which is
21 toward the front.

22 MR. TRADER: Okay.

23 MS. BAKNER: We're doing the
24 individual ones first. The words "appendix"
25 and "exhibit" are not particularly helpful in
(WATER SUPPLY, GROUNDWATER, SURFACE WATER ISSUES)

3690

1 this context.

2 Is that everything now?

3 MR. TRADER: That's where they are.

4 MS. BAKNER: Okay. That's where they
5 are. All right.

6 MR. TRADER: Not necessarily the one
7 page but associated pages.

8 ALJ WISSELER: I can handle it.

9 MS. BAKNER: Okay. Why don't we go
10 ahead and get that open for the simultaneous
11 pump tests for this one. Let's mark those
12 there too. (Indicating)

13 MR. TRADER: Good point.

14 MS. BAKNER: Now that we have tabbed
15 everything, okay, so we can compare all the

16 logs.

17 You have discussed the constant rate
18 test, which there were three, and you have
19 discussed the simultaneous well R1, R2 and R3,
20 and you've gone over why you didn't pump that
21 at a constant rate at the beginning.

22 And I think, Dr. Gowan, you explained
23 the reason -- were you relatively confident,
24 based on your previous test of R1 and R2
25 simultaneously, that you knew that magic point
(WATER SUPPLY, GROUNDWATER, SURFACE WATER ISSUES)

□

1 in which you should pump to?

3691

2 DR. GOWAN: I wouldn't call it a magic
3 point, but we had a good understanding of the
4 amount of water we needed to remove, and we
5 knew when we had to remove that water.

6 MS. BAKNER: And you knew that based
7 on empirical evidence?

8 DR. GOWAN: Yes, from our previous
9 tests.

10 MS. BAKNER: So the next question I
11 have for you is, can you describe the further
12 progression of that test and show us why the
13 criticisms that Mr. Rubin made of your test
14 are exaggerated or inappropriate? And say
15 what you're referring to.

16 MR. TRADER: I'm referring to
17 Exhibit 51B, Appendix F.

18 MS. BAKNER: I think it would be
19 helpful for the Judge if you could describe
20 that graph that shows the progression of this

21 test and relate it to the requirements -- the
22 test method, the standard test method that was
23 approved by DOH.

24 MR. TRADER: The first page there in
25 Appendix F, as you look at that curve, we had
(WATER SUPPLY, GROUNDWATER, SURFACE WATER ISSUES)

1 an average flow rate from the first nearly ³⁶⁹²
2 3000 minutes of the test of 78 1/2 gallons per
3 minute. You can see the curve of the water
4 level that was generated by pumping at that
5 rate.

6 The end of that portion of the test,
7 as we said, was due to -- we knew that
8 so-called magic point where a certain volume
9 of water was removed from storage and we were
10 going to step rate back. We moved it back to
11 70 gallons per minute and watched to see it,
12 looked for stabilization at that point. We
13 knew what kind of flow rate we needed for the
14 project, so we wanted to -- we were trying to
15 run a 72-hour test, at least 72 hours to meet
16 what the DOH asked for.

17 So we figured that instead of waiting
18 for that pumping rate to stabilize, we could
19 suffice to back the pumping rate off a little
20 bit more and it would stabilize quicker, and
21 we wouldn't have to pump for days and days and
22 days. We could get it in a short time after
23 72 hours. So that final rate showing
24 63 gallons per minute, we stuck on this
25 well -- R1, for example, we stuck with that
(WATER SUPPLY, GROUNDWATER, SURFACE WATER ISSUES)

1 rate until it stabilized. That was after 75
2 hours.

3 According to DOH protocol, that was
4 accepted, where the last six hours at a
5 constant rate of discharge had to meet certain
6 qualifications regarding fluctuations of the
7 water level based on how much water was in the
8 well to start with. And that graph is shown,
9 I believe, on the next page.

10 ALJ WISSLER: This first linear graph
11 is just created -- well, you've got a well log
12 someplace that you have been keeping and you
13 just entered that data on this and got this?

14 MR. TRADER: This data was recorded by
15 a transducer. It automatically records the
16 water level. These are all at ten-minute
17 intervals. (Indicating)

18 ALJ WISSLER: Okay. But I mean
19 that's -- the transducer collected the data
20 for you, but, I mean, the point is that
21 somebody drew this on the map here?

22 MR. TRADER: This was done in a
23 program.

24 DR. GOWAN: There's no manual.

25 ALJ WISSLER: But there's some
(WATER SUPPLY, GROUNDWATER, SURFACE WATER ISSUES)

1 spreadsheet someplace and the data points are
2 collected and are represented here?

3 MR. TRADER: Right. They're
4 automatically collected by the transducer and
5 downloaded.

7-30-04crossroads_myap
ALJ WISSLER: Okay.

MR. TRADER: The last six hours of this graph at 63 gallons per minute is shown on the following page, I believe. And that shows the final six hours of pumping at well R1, and that was at 63 gallons per minute.

What you see there are ten-minute intervals. You see where each of the points are taken that represent a water level at a ten-minute interval during that six hours. The two horizontal lines you see there, it says 0.995 feet, that is in order to show the fluctuation amount that was allowed by the DOH protocol. So based on the total amount of water in the well, there is 0.5 feet fluctuation allowed for every 100 feet of water in the well at the start of the test.

So based on those parameters, you end up with 0.995, and what this graph is showing (WATER SUPPLY, GROUNDWATER, SURFACE WATER ISSUES)

is that these data points generally plot right ³⁶⁹⁵ in between those two brackets, and it's fluctuating up and down.

The Ulster County DOH personnel were on site during the last two hours of this test and agreed this met with their qualifications as well.

ALJ WISSLER: This was at 63 gallons per minute?

MR. TRADER: Right.

DR. GOWAN: And one thing we'd like to

12 point out on this example is well R1. At the
13 end, the last several readings, it's
14 relatively level. There's no downward trend
15 at the tail end of that.

16 ALJ WISSLER: From about 4300 minutes
17 to 45, the last couple hundred minutes in
18 there? Is that what you're looking at?

19 DR. GOWAN: Yes.

20 MS. BAKNER: Can you please now go to
21 CPC's exhibits which are put up there and
22 explain how -- give us your opinion of those
23 representations.

24 DR. GOWAN: We're talking about

25 Exhibit 82A.

(WATER SUPPLY, GROUNDWATER, SURFACE WATER ISSUES)

1 ALJ WISSLER: which one are we looking ³⁶⁹⁶
2 at?

3 DR. GOWAN: We're looking at 82A.

4 ALJ WISSLER: 82 and 82A?

5 DR. GOWAN: Yes. And these represent
6 Mr. Rubin's plots for test well R1. And these
7 are semi-log plots. That's different from
8 what we were just looking at which is a linear
9 plot.

10 ALJ WISSLER: Okay. But it's the same
11 data, only plotted differently?

12 DR. GOWAN: That's correct.

13 ALJ WISSLER: Okay.

14 DR. GOWAN: And what this does, of
15 course, is as you get further on the test, the
16 X axis becomes tighter for a different

17 interval of time, so the data is scrunched up
18 together.

19 ALJ WISSLER: It's a semi-log.

20 DR. GOWAN: That's right, correct.

21 And what has happened here is you
22 really mask that end. You can't see very well
23 the end point where it's leveled off or
24 stabilized. And actually, in two of our wells
25 it actually came up a little bit. It's very
(WATER SUPPLY, GROUNDWATER, SURFACE WATER ISSUES)

□

1 hard to see on here. And unfortunately, what ³⁶⁹⁷
2 Mr. Rubin has done is he has plotted these
3 blue lines showing a steep renewed aquifer
4 drawdown, which is actually covering over that
5 tiny little tail of stabilization, so you
6 can't really see it on these curves.

7 MS. BAKNER: So in your opinion, would
8 a graph like that have been useful to the
9 regulatory agencies who were trying to look at
10 whether it stabilized during that last
11 six-hour period?

12 DR. GOWAN: No. They would not --
13 from this graph, the way this is plotted,
14 there's no way they would have been able to
15 make that determination.

16 ALJ WISSLER: Which format did they
17 require, the linear or semi-log?

18 DR. GOWAN: The linear plot.

19 ALJ WISSLER: I mean, that's what the
20 regs require?

21 DR. GOWAN: No, that's not required.

22 MS. BAKNER: Let me repeat my
Page 42

23 question. Here is my question to Dr. Gowan.

24 It was: If you used the semi-log plots like

25 Mr. Rubin did here, would it have been any
(WATER SUPPLY, GROUNDWATER, SURFACE WATER ISSUES)

1 help to the agencies who have to review your³⁶⁹⁸
2 report, would it have been any assistance to
3 them in looking at that critical last six-hour
4 period?

5 ALJ WISSLER: I understand that. But
6 my question is just a more general question,
7 is when you make application for these things,
8 does DOH or somebody require that the format
9 you use is a linear format with this or you
10 use a semi-log format?

11 MS. BAKNER: There are no regulatory
12 requirements related to that.

13 ALJ WISSLER: Okay.

14 MR. TRADER: I would also like to
15 point out, this is from well R1, the final six
16 hours. What you're seeing here, this entire
17 time period is condensed into basically the
18 width of this thick blue line. You take the
19 entire interval here and put it down almost to
20 one dot. It's almost impossible to see.

21 (Indicating)

22 ALJ WISSLER: Referring to CPC 82A.

23 MR. TRADER: Right.

24 ALJ WISSLER: The set of data points
25 most to the right side of the graph.

(WATER SUPPLY, GROUNDWATER, SURFACE WATER ISSUES)

1 MR. TRADER: Correct. This data is³⁶⁹⁹

7-30-04crossroads_myap
2 not displayed on this graph, only the last
3 maybe 1/16th of an inch is shown. And that
4 represents the same interval of time.

5 MS. BAKNER: To Dr. Gowan and
6 Mr. Trader, Mr. Rubin indicates that
7 stabilization was never achieved during your
8 April 2004 test. Do you agree with that
9 statement?

10 DR. GOWAN: No, we disagree with that.

11 MS. BAKNER: Can you explain why you
12 feel stabilization was reached.

13 DR. GOWAN: Because the graphs either
14 show that it's level, the linear plots show
15 that it's level, or actually climbing. Two of
16 them, I believe the R2 and R3, I believe, the
17 water level was actually rising at the end of
18 the test.

19 MS. BAKNER: There was some suggestion
20 made yesterday that you were cutting back on
21 the pumping throughout the course of your test
22 in some way to manipulate the water levels so
23 that stabilization could artificially be
24 achieved. Can you explain why that is not the
25 case?

□ (WATER SUPPLY, GROUNDWATER, SURFACE WATER ISSUES)

3700

1 DR. GOWAN: I have previously
2 explained that we were trying to remove the
3 storage, trying to stress, get the tests
4 further along so we're stressing the aquifer,
5 and that's what we did.

6 MS. BAKNER: So you're confident that
7 this is a stabilized pumping rate that can be

8 achieved using these three wells?

9 DR. GOWAN: Yes.

10 ALJ WISSLER: 63 gallons per minute?

11 DR. GOWAN: 63 gallons per minute for
12 the one.

13 Steve, could you say what the other
14 rates were?

15 MS. BAKNER: It's on the chart.

16 MR. TRADER: Yeah, it's on the chart.

17 We have 74 1/2 gallons a minute and
18 11 1/2 gallons a minute for wells R2 and R3,
19 respectively.

20 DR. GOWAN: And that's the total
21 149 gallons a minute for the well field.

22 ALJ WISSLER: Not counting Silo A?

23 DR. GOWAN: Correct.

24 MR. RUZOW: And pumping all those
25 three wells simultaneously.

(WATER SUPPLY, GROUNDWATER, SURFACE WATER ISSUES)

3701

1 DR. GOWAN: Correct.

2 ALJ WISSLER: At those rates?

3 DR. GOWAN: Yes.

4 MS. BAKNER: Does your Honor have any
5 more questions about that?

6 ALJ WISSLER: No.

7 MS. BAKNER: I want to move now to
8 Dr. Michalski's discussion of well Point 1,
9 and your monitoring of well Point 1 during the
10 simultaneous R1, R2 and R3 well pump tests.

11 Specifically, he seems to indicate
12 that there was a half-foot drop of water in

13 well Point 1 during the simultaneous pump test
14 and he that attributes that to the pump test.
15 Do you agree with that?

16 MR. TRADER: No.

17 MS. BAKNER: Can you explain why?

18 MR. RUZOW: If you're going to
19 reference a document, you need to direct the
20 Judge to it.

21 MR. TRADER: We're looking at
22 Exhibit 51B, the pumping test report for
23 Well R1, R2, R3 which is Exhibit E, and
24 specifically Figure 4 of that report.

25 The figure shows when the pumping test
(WATER SUPPLY, GROUNDWATER, SURFACE WATER ISSUES)

3702

1 was conducted, between April 7th and
2 April 10th of 2004. You can see that by the
3 arrowed bracketed margins there. The well
4 point in question is a monitoring point of the
5 water table. The upper two series of data
6 points show the Birch Creek gauges. That's
7 SG1 and SG2. These are approximately daily
8 measurements that were collected at those
9 points. You can see now it's falling and
10 rising and going along. (Indicating)

11 There was a precipitation event on
12 April 1st of 2004 of 1.4 inches. You can see
13 the response of Birch Creek. It rose a little
14 bit after that. You can see that in the SG1
15 and SG2 data, which is the blue diamonds and
16 the pink squares. The precipitation event is
17 also reflected in the data points on this
18 figure for the shallow well points, namely

19 well points WP1 and WP3. The water levels in
20 those well points began to rise as well in
21 response to the precipitation event.

22 Well Point 1 continued to rise all the
23 way up until April 5th. After April 5th, the
24 water level in Well Point 1 began to fall.

25 There are two triangles for WP1 shown on
(WATER SUPPLY, GROUNDWATER, SURFACE WATER ISSUES)

3703

1 April 7th. One of those triangles was
2 collected before the pumping test started.
3 Those two triangles almost totally overlap
4 each other. You can see there is a little bit
5 of the bottom of the triangle, looks a little
6 thicker. There's actually two triangles
7 there. I have to refer to the table that that
8 data actually exists in. (Indicating)

9 Table 2, which is three pages back
10 from there, that shows the Well Point 1 data.
11 And if you look down at the data point for
12 April 5th, you'll see it says 6.8. It began
13 falling. April 6th, it says 6.85. That means
14 it's further down to the water. April 7th has
15 two entries there, one was collected 30
16 minutes prior to the pumping test, and the
17 water level in that well point had dropped to
18 7.2. It continued to drop from that point
19 forward in time until April 10th -- through
20 April 10th, it dropped. There was no
21 measurement collected on April 11th. The last
22 one showed here shows it to have come up
23 slightly. (Indicating)

24

So WP1 was already dropping in its

25

water level prior to the pumping test.
(WATER SUPPLY, GROUNDWATER, SURFACE WATER ISSUES)

□

1

There's no reason to expect that that was in

3704

2

relation to the pumping test.

3

MS. BAKNER: What do you expect that
it was in relation to?

5

MR. TRADER: Well, well Point 1 of the
well points actually had a larger response to
the precipitation event. It's also the same
well that has the most drop in water level
after the precipitation event. So I don't
know the exact reason for that. It may have
to do with its proximity to the creek.

12

MS. BAKNER: Dr. Gowan, are you
confident that that drop in well Point 1 was
not related to the simultaneous well pumping
test?

13

14

15

16

DR. GOWAN: Yes, I am. And it's not
only looking at the data and having the
reason, being the precipitation and the
changes in creek level, but also the geology
supports this because we know we have got a
very thick sequence of low permeable material
between those well points in the water table
and the deep aquifer system for the pumping
tests.

17

18

19

20

21

22

23

24

25

ALJ WISSLER: How do we know that?
(WATER SUPPLY, GROUNDWATER, SURFACE WATER ISSUES)

□

1

DR. GOWAN: Based on the geologic logs

3705

2

from the drilling of R1, R2 and R3.

3

MS. BAKNER: During the course of the
Page 48

4 testimony yesterday, I believe that both
5 Dr. Michalski and Mr. Rubin made the statement
6 that we are mining water for this project.
7 Can you explain what that means.

8 DR. GOWAN: Yes. Mining of water,
9 it's a term just like what you use in mining
10 of, say, sand or gravel or rock. It's a
11 removal of a resource that is not going to be
12 returned. It's a permanent, or in the case of
13 some water table aquifers, it's a great enough
14 removal so that that resource is going to be
15 taken out of or reduce the point where it will
16 no longer be usable. And there's some really
17 good examples of this in the country. For
18 example, the Ogallala Aquifer. That's a major
19 aquifer in the High Plains in which there's a
20 tremendous amount of extraction going on. And
21 that extraction -- that water is being
22 extracted at a higher rate than the recharge,
23 so water levels are dropping and there's going
24 to be a point in time when that resource will
25 no longer be available. Of course, it does
(WATER SUPPLY, GROUNDWATER, SURFACE WATER ISSUES)

1 have recharge. Once that's reached a reduced³⁷⁰⁶
2 level, it may take hundreds of years. And I
3 don't know the exact -- I know people studied
4 this -- I don't know the exact amount of time,
5 but it will take a very long time for those
6 water levels to get back.

7 This also happens in combined
8 aquifers. For example, the Wilcox Aquifer in

9 Texas, which has been the major resource for
10 the City of Houston. They have been
11 overpumping that aquifer for many decades, and
12 in that case, being a confined aquifer, it
13 yields its water through compression of the
14 aquifer, and it's actually squeezed together.
15 They're having tremendous settlement problems
16 in Houston. That aquifer will never recover
17 that.

18 That's not the situation that we see
19 here at the Rosenthal well field. This
20 aquifer does receive recharge, and in fact, we
21 ran a pumping test in 2002, the combined R1
22 and R2 tests, and the water levels -- at the
23 time we ran the three well tests in 2004, the
24 water levels had come up over 4 feet above
25 where they were at the start of that test in
(WATER SUPPLY, GROUNDWATER, SURFACE WATER ISSUES)

□

3707

1 2002. so we had full recharge, plus
2 additional recharge. And it was back onto its
3 normal cyclic variability that an aquifer goes
4 through, depending on natural recharge and
5 discharge.

6 After running the test in April 2004,
7 we've since had full recovery. And I know
8 Mr. Frisenda has been collecting his water
9 level data ever since we ran the test. I
10 don't know what those numbers are. I haven't
11 looked at them, but I understand we've had
12 full recovery since April. It took a fair
13 amount of time because we removed storage and
14 we don't get that direct vertical recharge.

15 The recharge has to come from beyond that
16 confined area. So it takes time for that
17 water to move in, but it does. It receives a
18 constant recharge.

19 ALJ WISLER: Is it recharged now? I
20 mean, how long did it take to recharge?

21 DR. GOWAN: I haven't looked at the
22 data, so I don't know how long it took. We
23 know that it was taking a considerable amount
24 of time because we only got --

25 MR. TRADER: -- days.
(WATER SUPPLY, GROUNDWATER, SURFACE WATER ISSUES)

3708

1 MS. BAKNER: Three days after, how
2 much had it recharged to? I believe you have
3 that number here. Eighty --

4 MR. TRADER: It depends on the well.

5 MR. RUZOW: Each well is different.

6 MS. BAKNER: Each well is different.

7 ALJ WISLER: One was about 3700
8 minutes, and the other one was about 4400 or
9 something like that.

10 MS. BAKNER: Okay. Here you go.

11 DR. GOWAN: We can take some time and
12 put that together.

13 MR. RUZOW: Well, let's come back --
14 here, let's go back to that.

15 ALJ WISLER: I mean, it exists
16 somewhere within the materials, correct, the
17 recovery time?

18 MS. BAKNER: Up to a certain point.

19 ALJ WISLER: The recovery time?

20

MR. TRADER: To a point.

21

As an example, one of the wells might

22

have recovered 87 percent by a certain date.

23

That kind of information is in there.

24

ALJ WISSLER: But beyond that, no?

25

MR. TRADER: Correct.

□

(WATER SUPPLY, GROUNDWATER, SURFACE WATER ISSUES)

3709

1

ALJ WISSLER: Okay.

2

MR. TRADER: But with the digital

3

levels, it could be calculated.

4

MS. BAKNER: I just want to point out

5

Applicant's Exhibit 125, which are these

6

photographs of the Pepacton Reservoir levels

7

in December 20th, 2001. They were taken from

8

the DEP's website. And they basically show

9

conditions in the reservoirs at roughly the

10

time we undertook some of our well testing.

11

And that's just to show that it was indeed

12

during a time of stress for the environment

13

generally because of lack of water.

14

And in your experience then, was it a

15

fortuitous or a good thing that we did the

16

simultaneous well pump tests and a lot of this

17

testing during a drought period?

18

DR. GOWAN: Yes.

19

ALJ WISSLER: When exactly were these

20

tests done, the date?

21

MR. TRADER: The simultaneous test for

22

well R1 and R2 was done in September of 2002,

23

72-hour simultaneous test of well R1 and R2.

24

That was a constant rate test in September of

25

2002. Ulster County was under a drought watch

1 at that point.

2 The earlier tests at R2, the
3 individual test at R2, was performed in
4 November of 2001, which was also a drought
5 watch. I believe these pictures were from
6 December of that same year.

7 well R1, the individual test performed
8 on that was in September of 2002, and that was
9 also a drought watch.

10 MR. RUZOW: Alpha Geoscience's
11 involvement and Delaware Engineering's
12 involvement in measurements of stream flow and
13 wells for the project site have extended over
14 a several year period of time and continuing,
15 it continues up to this year as well; is that
16 correct?

17 MR. TRADER: Flow measurements
18 generally were from between -- throughout
19 January of 2000 through December of 2001. We
20 do have some data that's collected during
21 pumping tests that would represent flows of
22 some of the springs and streams.

23 MR. RUZOW: But my question goes to
24 sort of the length of the study. This is not
25 a job, if you will, where you come in for a
(WATER SUPPLY, GROUNDWATER, SURFACE WATER ISSUES)

1 couple of months, look at some data, do a test
2 and rely on that particular test or particular
3 segment of data that's been collected. You've
4 had an opportunity to review this information

5 over a fairly long period of time; is that
6 correct?

7 MR. TRADER: That's correct, yes.

8 DR. GOWAN: Yes.

9 MR. RUZOW: And over cyclical periods
10 of time in terms of levels of precipitation
11 and groundwater levels changing due to the
12 changes in precipitation both in drought
13 watch/warning periods of time, as well as in a
14 more heavily -- more normal season. Does that
15 help you in making judgments about the
16 adequacy of the supply for purposes of the
17 project's demands?

18 DR. GOWAN: Yes, it does.

19 We can see the behavior of the aquifer
20 in the springs and everything under all these
21 various conditions, and that really goes to
22 answering these questions. In fact, I know we
23 have given a few examples in the last two
24 days. A good example, I believe, would be
25 Silo A where we projected a lower flow.

(WATER SUPPLY, GROUNDWATER, SURFACE WATER ISSUES)

3712

1 And correct me if I'm wrong, Steve,
2 but we projected a lower flow, but we were
3 able to measure this during a drought period,
4 and we realized that a higher flow would be
5 sustained during a drought.

6 MR. TRADER: And that would be Bonnie
7 View Springs.

8 MS. BAKNER: No, Silo A.

9 DR. GOWAN: Silo A, at 69 gallons a
10 minute.

11 MR. TRADER: Oh, I see what you're
12 saying.

13 MR. RUZOW: And your involvement in
14 the review of data for the Pine Hill water
15 Company and Delaware Engineering's review of
16 both Pine Hill water Company data in an active
17 sense, not simply getting a set of data and
18 reviewing it from a critique point of view,
19 and involvement in the Fleischmanns water
20 system and understanding that system, does
21 that help you reach a judgment also with
22 regard to the adequacy of those supplies over
23 an extended period of time for a project like
24 this?

25 MR. TRADER: Yes.
(WATER SUPPLY, GROUNDWATER, SURFACE WATER ISSUES)

3713

1 DR. GOWAN: Yes, it does.

2 MR. RUZOW: Is this unusual in the
3 sense of the kind of work that is done for
4 projects or even municipal supplies in terms
5 of the overall length of time extending
6 several years now in a project review?

7 DR. GOWAN: Yes, it is. Typically,
8 when we're doing municipal work on very
9 limited budgets, we do a proposal. We come
10 in, whatever it is, pumping tests, evaluate
11 their system, turn in a report, and that's
12 essentially the end of the project. Those are
13 often a snapshot in time.

14 MS. BAKNER: Okay. Just to get back
15 to the issue of mining water for a second.

16 You have mentioned that this area draws from a
17 very large area for a recharge of water for
18 this bedrock aquifer. What are the sources of
19 recharge that are associated with this project
20 that makes you confident that we're not just
21 taking water out of the system?

22 DR. GOWAN: Recharge occurs, of
23 course, through the whole basin, and in that
24 particular area where the well field is, we
25 have recharge that's coming through the
(WATER SUPPLY, GROUNDWATER, SURFACE WATER ISSUES)

1 bedrock and valley side walls. we have got ³⁷¹⁴
2 groundwater moving down the valley from all of
3 the upland areas and valley areas up valley,
4 and we're also going to get recharge spread
5 out through the streams and so forth in the
6 surface water that's passing through the
7 system.

8 MS. BAKNER: And what about the
9 recharge from the water that we're sort of
10 taking and moving up to the top of the
11 mountain, in what ways are we going to use it
12 that contribute to recharge?

13 DR. GOWAN: That water, of course, and
14 I -- maybe others can speak to it a little
15 better than I. Wildacres, for example, water
16 is going to be used, effluent is going to be
17 used for irrigation purposes, and some of it,
18 I understand, is going to be released. I
19 believe it's in Belle 5. And this water will
20 either recharge the groundwater or it will
21 flow off as surface water, and both will help

22 to maintain or actually increase the baseflow
23 for the groundwater and surface water issues.

24 Big Indian will have the same kind of
25 situation. We're recycling that water that's
(WATER SUPPLY, GROUNDWATER, SURFACE WATER ISSUES)

1 already passed out of that part of the basin,³⁷¹⁵
2 if you will. We're bringing it back into the
3 head of the basin.

4 MR. RUZOW: And that example, that
5 condition, is also true for the Belleayre Ski
6 Center; is it not?

7 DR. GOWAN: That's correct.

8 In their case, of course, it's
9 primarily with the snowmaking period, and that
10 water adds significantly to recharge and -- in
11 the spring, both surface water and
12 groundwater. Of course, the water that enters
13 the surface water system is going to leave
14 fairly quickly in the spring, but groundwater
15 takes a considerable amount of time to move
16 through the system.

17 MR. RUZOW: And does that benefit the
18 Pine Hill water system, the municipal water
19 system as well?

20 DR. GOWAN: Yes.

21 MS. BAKNER: Yesterday there were some
22 discussion of things called S and T. And I
23 just wanted you to address, given the
24 characteristics of the geological setting, how
25 useful are those concepts for this project?
(WATER SUPPLY, GROUNDWATER, SURFACE WATER ISSUES)

1 DR. GOWAN: All right. The S stands
2 for storativity and T is transmissivity, and
3 these are aquifer parameters. We heard some
4 testimony yesterday about how these can be
5 used to determine drawdown of distance and
6 you've got to make an assumption. They're
7 best used when you've got a fairly uniform
8 system. In other words, if you've got a
9 fractured bedrock system, it works best if
10 you've got the same water-bearing capability,
11 both in storage and also in the ability to
12 move water throughout that system if you've
13 got a regular pattern and it's a very
14 broad-based system. Under that kind of
15 condition -- and actually, I should say that
16 sand and gravel aquifer is the best way to use
17 these terms, but you can also apply them in a
18 bedrock with that assumption, uniformity.

19 well, in this particular situation, we
20 don't have uniformity at all. We know we've
21 got large variations and the ability of
22 fractures to transmit water, and we know that
23 just because we have a fracture at one well in
24 the well field, that same fracture may not
25 appear in one of the other wells, so we don't
(WATER SUPPLY, GROUNDWATER, SURFACE WATER ISSUES)

3717

1 have good continuity across this system in
2 fractures.

3 And in the physical parameters of this
4 aquifer, we have an aquifer that occupies a
5 moderately narrow valley, and it's elongate up
6 and down valley. And at the edges we've got,

7 again, differences in fracture density.

8 So when you go to apply these values
9 of storativity and transmissivity through
10 trying to calculate drawdown, you're not going
11 to come up with anything that's real. You're
12 not going to get a number that you can say,
13 all right, I'm going to go out 3000 feet, I
14 predicted the drawdown is going to be such and
15 such. It would be an accident for you to go
16 out and put a well down there and find that
17 amount of drawdown because we just don't have
18 that kind of continuity in this system. So
19 it's not a very useful tool in this particular
20 aquifer setting.

21 MR. RUZOW: Are pump tests a better
22 tool?

23 DR. GOWAN: Yes, pump tests and direct
24 observations.

25 I know there were some comments
(WATER SUPPLY, GROUNDWATER, SURFACE WATER ISSUES)

□

1 yesterday about lack of observation wells. ³⁷¹⁸ We
2 had observation wells. We had observation
3 wells close and at great distance, and we are
4 very comfortable that that information is
5 giving us at least a sense of what kind of
6 drawdown characteristics we have.

7 And again, admittedly, if we moved one
8 of these wells over, we may see a different
9 pattern, but we feel very confident in what
10 our assessment of the impacts will be on this
11 system based on the pumping that we did.

12 MS. BAKNER: Dr. Gowan, could you go
13 back up and go through, sort of, where you
14 agree and disagree with Dr. Michalski's
15 characterization of the geology of the
16 setting.

17 DR. GOWAN: I believe the best place
18 to start is in this diagram that Dr. Michalski
19 included in his submissions. It's Exhibit 80,
20 page 4.

21 This is the diagram out of the
22 Reynolds publication, and this diagram shows
23 the stacked system, the sandstones and the
24 shales, intervening shales, and I agree with
25 this concept. This is a representation,
(WATER SUPPLY, GROUNDWATER, SURFACE WATER ISSUES)

1 reasonable representation, schematic of the ³⁷¹⁹
2 geology we see in this area.

3 And one thing I'd like to point out is
4 that on this diagram, he's actually, in a
5 conceptual format, Reynolds, he's showing a
6 higher density of fracturing near the surface,
7 closer to the surface than at depth. That's
8 really where your primary flow is going to be.
9 So I agree with that concept.

10 ALJ WISSLER: That's consistent with
11 your exhibit right there?

12 DR. GOWAN: Yes, it's consistent with
13 ours.

14 what we didn't do is we don't show it
15 conceptually, we don't show those shale areas.
16 we're just lumping all the bedrock together.
17 And we also conceptually show that higher

18 density of fractures at the top.

19 ALJ WISSLER: At this point, you're
20 referring to Exhibit --

21 MR. RUZOW: 99B.

22 DR. GOWAN: One of the primary areas
23 of disagreement between us and Dr. Michalski
24 is he hypothesized the presence of this
25 deep-seated bedding plane fracture that passes
(WATER SUPPLY, GROUNDWATER, SURFACE WATER ISSUES)

1 through the Highmount area that would connect³⁷²⁰
2 the wells at Fleischmanns with the Pine Hill
3 water system and Crystal Spring Brook and also
4 Birch Creek.

5 ALJ WISSLER: Are we looking
6 specifically at page 18 of Dr. Michalski's
7 report? Is this what you've been referring
8 to?

9 MS. BAKNER: No.

10 ALJ WISSLER: When you're talking
11 about that shale?

12 DR. GOWAN: No, I'm referring to -- I
13 don't know if in his discussion and one of his
14 text diagrams or --

15 MR. TRADER: This is part of it right
16 here, Sam. (Indicating)

17 ALJ WISSLER: What page is that?

18 MR. RUZOW: That was page 18.

19 ALJ WISSLER: Yes. That's not what
20 you're talking about when you talk about this?

21 DR. GOWAN: Page 18 is really talking
22 about -- that's -- 18 is representing down by

23 our Rosenthal test, and that's not --

24 ALJ WISSLER: You're talking about a
25 geologic formation, a shale layer which is --
(WATER SUPPLY, GROUNDWATER, SURFACE WATER ISSUES)

1 DR. GOWAN: He's talking about -- not ³⁷²¹
2 necessarily about a shale layer in specific;
3 he's talking about a bedding plane separation
4 that would extend through the Highmount and
5 connect the systems, such that when you're
6 pumping water over here at Fleischmanns, you
7 see one of these big walls, and when you
8 increase the pumping over here, you're going
9 to draw down the water out of Crystal Spring
10 Brook and also from the Pine Hill water supply
11 system.

12 MS. BAKNER: That's addressed on
13 page 12 of Dr. Michalski's document where he
14 refers to coalescing cones of depression all
15 the way from the Rosenthal wells through to
16 Fleischmanns.

17 ALJ WISSLER: Is that right, Doctor?

18 DR. GOWAN: Yes.

19 ALJ WISSLER: Okay.

20 DR. GOWAN: And we strongly disagree
21 with that because of the lack of permeability
22 in any fractures that are at depth underneath
23 that Highmount area.

24 MS. BAKNER: Because the lack of
25 permeability at depth?
(WATER SUPPLY, GROUNDWATER, SURFACE WATER ISSUES)

1 DR. GOWAN: Because of the lack of ³⁷²²
2 permeability at depth, any fractures that may

3 even appear at depth, because we know that
4 even if they are there, they're very tight.

5 ALJ WISSELER: Because they're being
6 compressed by the land above it.

7 DR. GOWAN: Being compressed and they
8 also haven't been subjected to weathering or
9 stress relief. Our evidence for this, which
10 is consistent with our model of a thinner zone
11 of fracturing in your highland areas, deeper
12 penetration of fracturing and more fracturing
13 at depth is the fact that the wells that we
14 see in the highlands are very low producers.
15 In fact, many of these are very deep wells,
16 and they're drilled deep in many cases just to
17 add storage. And I know some of these only
18 produce 2 to 3 gallons per minute. They're
19 very low producers.

20 As you proceed down, let's say we're
21 going towards the east through the Pine Hill
22 system towards R1 and R2, you're seeing a
23 progressive increase in your ability of your
24 wells to yield higher quantities of water.

25 We're seeing better fracture connection.
(WATER SUPPLY, GROUNDWATER, SURFACE WATER ISSUES)

□

1 And we see the same thing as you go ³⁷²³
2 over towards Fleischmanns. The wells are able
3 to produce much higher quantities of water
4 because of better fracturing, deeper
5 penetration of the fractures and better access
6 to recharge. So that's a basic difference in
7 our opinion.

8 MS. BAKNER: Okay. I just wanted to
9 add also for the record that Dr. Michalski's
10 comments on groundwater issues of DEIS for
11 Belleayre Resort, which was attached to the
12 CPC petition, also contains the theory that he
13 discussed yesterday regarding this connection,
14 and that's on page 3, Paragraph 2.

15 ALJ WISSLER: Exhibit B?

16 MS. BAKNER: Yes. Page 3,
17 paragraph 2.

18 ALJ WISSLER: An anomalous depth of
19 water of -- that paragraph?

20 MS. BAKNER: Yes.

21 DR. GOWAN: In this paragraph, he also
22 relates the ski wells to this withdrawal. The
23 Belleayre ski Resort wells are on the east
24 side of this Highmount divide.

25 MS. BAKNER: Dr. Gowan, does that also
(WATER SUPPLY, GROUNDWATER, SURFACE WATER ISSUES)

3724

1 represent the divide between the Delaware
2 River Basin and the Birch Creek and the Esopus
3 Basin?

4 DR. GOWAN: Yes.

5 MS. BAKNER: Is there anything else
6 you would like to add to that, or are you all
7 set?

8 DR. GOWAN: I think I'm all set.

9 MS. BAKNER: Your Honor, we'll move
10 ahead to how we calculated water demand so
11 that we know from an engineering perspective
12 how much water we need and if we have enough
13 water to supply it.

14 And, Gary, if you could come up
15 briefly and explain how water demand was
16 calculated and how it relates to the quantity
17 of water that's going to be supplied by the
18 wells.

19 MR. KERZIC: What I have for today,
20 your Honor, are Table 1 from the conceptual
21 design reports, which I believe are
22 Applicant's Exhibit 51 -- there's one for Big
23 Indian and one for Wildacres.

24 ALJ WISLER: Which one are we looking
25 at?
□ (WATER SUPPLY, GROUNDWATER, SURFACE WATER ISSUES)

1 MR. KERZIC: The methodology for
2 petroleum demand.

3 MR. RUZOW: 51B and 51D.

4 MS. BAKNER: Yes.

5 Why don't you point out to the Judge
6 where you are.

7 MR. KERZIC: These are enlarged
8 versions of those tables. (Indicating)

9 The way we calculated the potable
10 water demand for each of the resorts is by --
11 it's best to explain it using this table going
12 from left to right across the table as I can
13 explain what the different columns represent.

14 The first column is a listing of all
15 the different types of facilities at each
16 resort that would use potable water. For
17 instance, a lodge, restaurants, retail stores,
18 spa, pool and so on. The next column from the

3725

19 left is a listing of the different types of
20 units within these facilities where potable
21 water would be used. For instance, a lodge,
22 it's a room; restaurant, it's a patron; in the
23 case of meeting space, it's square footage.

24 If you look at the third column, we
25 list the total number of units in each of
(WATER SUPPLY, GROUNDWATER, SURFACE WATER ISSUES)

1 these facilities. And I want to stress that ³⁷²⁶
2 is the total number of units in each of the
3 facilities.

4 The fourth column is the daily demand
5 or the daily amount of water that each one of
6 those units would use. And we derive that
7 number from a New York State Department of
8 Health publication entitled, Rural water
9 Supply. And in that publication, they had a
10 table which lists a number of different types
11 of facilities. And if you were to look at
12 that table, you would see that they list
13 facilities that don't exactly line up with
14 what we have here. For instance, they don't
15 list a lodge, they list dwellings and
16 apartments. So what we had to do was we had
17 to use our judgment and determine which
18 listings in that table were most closely
19 related to the types of facilities that we
20 will have.

21 ALJ WISSLER: There's no listing there
22 for hotels or anything like that?

23 MR. KERZIC: No, but there's a listing
24 for apartments, which was very similar based

25 on, you know, what we felt was a reasonable
(WATER SUPPLY, GROUNDWATER, SURFACE WATER ISSUES)

1 daily water usage. And that's represented in ³⁷²⁷
2 the rightmost column. If you were to look at
3 the table out of the Rural Water Supply
4 publication, you would see these references
5 that we show in the rightmost column.

6 And the fifth column from the left is
7 an estimate of the water demand, and that's
8 simply the product of the total number of
9 units times how much water each unit would
10 consume in a day. For instance, the lodging
11 units for wildacres, there are 200 units
12 without kitchens. Those would use
13 approximately 120 gallons per day. When you
14 do the math, it comes out to 24,000 gallons
15 per day.

16 And the same thing with lodging units.
17 There would be 50 units with kitchens. Those
18 would use a bit more water at 150 gallons per
19 unit per day. And when you do the math, it
20 comes out to 7,500 gallons per day for those
21 units.

22 If you look at the bottom of the
23 tables, the numbers are all totaled down to
24 give you a total potable water demand on a
25 daily basis. And because we've used the total
(WATER SUPPLY, GROUNDWATER, SURFACE WATER ISSUES)

1 number of units in this estimate, we're ³⁷²⁸
2 calling this estimate an average daily demand,
3 but it is, in fact, a maximum daily demand

4 because we're using the total number of units.
5 We're not assuming that a certain occupancy --
6 we're assuming it is going to be 100 percent
7 occupancy, and we're calling that total number
8 our average daily demand. That's the common
9 methodology for both resorts, both tables.

10 We estimate a maximum daily demand by
11 then putting a multiplier of 1.65 on that, and
12 that's a common multiplier that's used. So
13 you can see from this that our estimates, what
14 we're calling an average daily demand or
15 maximum daily demand, are pretty much
16 exaggerated. And that gives us a comfort
17 level that we are more or less overestimating
18 how much water we will need.

19 MS. BAKNER: Mr. Kerzic, can you
20 explain how the age of the data is relevant
21 relating to water-saving fixtures?

22 MR. KERZIC: Yes. The information
23 that's provided in this publication, Rural
24 Water Supply, is several years old. I think
25 it dates back to the early '90s, or possibly
(WATER SUPPLY, GROUNDWATER, SURFACE WATER ISSUES)

3729

1 before then. And it doesn't reflect modern
2 day plumbing fixtures. This will be a new
3 resort. It will be required to use what's
4 called water-saving fixtures.

5 As an example, an old style toilet
6 would use anywhere between 3 to 5 gallons for
7 flush, but a new toilet by code can only use
8 1.6 gallons. So these numbers, we don't feel
9 reflect modern day construction. And because

10 of that, it is an overestimation again of what
11 the actual water demand would be.

12 In some cases, we would make an
13 adjustment to these numbers and say that
14 whatever we total here, we would say you're
15 only going to use 80 percent of that because
16 you're going to realize a savings of as much
17 as 20 percent if you use water-saving
18 fixtures.

19 MS. BAKNER: Just to be clear, we did
20 not do that.

21 MR. KERZIC: We did not do that. So
22 our numbers are overestimation based on the
23 fact that we're calling average day assuming
24 total occupancy of units, and also we don't
25 make an adjustment for the fact that
(WATER SUPPLY, GROUNDWATER, SURFACE WATER ISSUES)

3730

1 water-saving fixtures would be used.

2 MS. BAKNER: During the course of the
3 review by the Department of Health and the
4 Department of Environmental Conservation, did
5 you or anyone in your staff look at actual
6 occupancy rates for resorts to verify that
7 this overestimation was existing?

8 MR. KERZIC: Yes. We received some
9 data from a resort association that tracks
10 that type of information. I believe they gave
11 us some actual information from five or six
12 resorts in this part of the country. And from
13 that data, we were able to determine that a
14 facility such as this would have an average

15 occupancy of between 60 and 70 percent. So
16 we're assuming 100 percent, but in reality, it
17 would be much less than that.

18 MS. BAKNER: Any questions, your
19 Honor?

20 ALJ WISSLER: No.

21 MR. RUZOW: Your Honor, I think that
22 information is consistent with the offers of
23 proof from HVS International, I believe Erich
24 Baum's testimony about the variations in

25 occupancy rates, and what their stabilized --
(WATER SUPPLY, GROUNDWATER, SURFACE WATER ISSUES)

3731

1 I believe they used the expression of
2 stabilized rate of occupancy, was around
3 65 percent for their projections, so the water
4 usage is consistent with the levels of
5 occupancy rate.

6 MS. BAKNER: Thank you, Mr. Kerzic.

7 ALJ WISSLER: So if you had 60 percent
8 occupancy, are you saying that in the bottom
9 line total figure, you would be taking
10 60 percent of that, or would that only affect
11 the lodging units?

12 MR. KERZIC: I would say you could
13 take 60 percent. The lodging units, sir,
14 would use the most amount of water, but I
15 would say you could take 60 percent of the
16 total because you could assume that's a spa --

17 ALJ WISSLER: That everything else
18 would be proportionately less.

19 MR. KERZIC: Exactly.

20 MS. BAKNER: Mr. Franke, if you could
Page 70

21 come forward for us and briefly review the
22 manner in which we are using the same water
23 supply for both irrigation and potable water
24 purposes.

25 MR. FRANKE: The information I'll be
(WATER SUPPLY, GROUNDWATER, SURFACE WATER ISSUES)

3732

1 referring to comes from Section 3.2,
2 Applicant's 51B, Conceptual Design Report, and
3 specifically page 7, the accompanying table is
4 behind the blue divider sheet. I'll refer to
5 Table 2, entitled, "Irrigation water Supply
6 and Demand, Big Indian Country Club."

7 AS Ms. Bakner mentioned, there will
8 not be a separate or different source for
9 irrigation water for either the Big Indian
10 Resort or the Wildacres Resort. Both will
11 have, as their ultimate supply, the potable
12 water supply.

13 AS we mentioned previously, we're
14 proposing to use recycled or treated effluent
15 for irrigating the golf courses. In analyzing
16 the irrigation water supply, we looked at
17 three factors. We looked at supply, we looked
18 at demand, we also looked at storage that's
19 available within the irrigation ponds.

20 ON the supply side of the equation, we
21 used the values that Mr. Kerzic was just
22 speaking of, the average daily demand. For
23 the Big Indian Plateau, that equates to
24 115,000 gallons per day of potable water that

25 would then be treated within our wastewater
(WATER SUPPLY, GROUNDWATER, SURFACE WATER ISSUES)

1 treatment plant and would be pumped to the
2 irrigation ponds. On those days when our
3 actual occupancy may create a demand that is
4 lower than 115,000 --

5 ALJ WISSLER: So you're at 60 percent
6 occupancy?

7 MR. FRANKE: Right. We still have a
8 system that's capable of meeting that full
9 demand.

10 So we've set up the piping system so
11 that the amount of water below that
12 115,000 gallons a day that's not being used
13 for potable can be piped directly to the
14 irrigation pond, raw water. So it's still
15 using the same total capacity of the system;
16 it's just that that water isn't being
17 processed by humans or by the treatment plant,
18 so to speak.

19 So you would have the processed water
20 of the 60 percent occupancy, plus the unused
21 water from that 115,000 gallons a day.

22 MR. RUZOW: If you needed it.

23 ALJ WISSLER: As you needed it.

24 MR. FRANKE: Exactly. That's the
25 supply side.

□ (WATER SUPPLY, GROUNDWATER, SURFACE WATER ISSUES)

1 On the demand side, we looked at two
2 different sources, the first being a
3 publication by the Toro Company, T-O-R-O,
4 they're one of the leading manufacturers of
5 irrigation equipment in the United States.

6 They have a publication that deals with all
7 United States and Canada and provides climate
8 data. It provides rainfall amounts and your
9 evapotranspiration amounts on a monthly basis.

10 ALJ WISSLER: For what? For the whole
11 country?

12 MR. FRANKE: For the whole country.

13 And for New York State, they have ten
14 different regions. So New York State itself
15 is broken into ten different regions. So we
16 would fall within the Hudson valley region
17 within New York State.

18 As I mentioned, they have monthly
19 rainfall totals and evapotranspiration totals.

20 ALJ WISSLER: Did you rely on those
21 totals?

22 MR. FRANKE: Initially, just to figure
23 out what months evaporation was exceeding
24 precipitation, and those months turned out to
25 be, as expected, June, July and August. And
(WATER SUPPLY, GROUNDWATER, SURFACE WATER ISSUES)

1 we have specific values for the rainfall and ³⁷³⁵
2 pan evaporation data.

3 ALJ WISSLER: Reflected in Table 2.

4 MR. FRANKE: Reflected, correct, in
5 Table 2.

6 Armed with this, we consulted the
7 Northeast Regional Climate Data Center and
8 obtained the 30-year or nearly 30 years' worth
9 of data for pan evaporation, precipitation,
10 for the nearest station that had both sets of

7-30-04crossroads_myap
11 data. That turned out to be the Downsville
12 NOAA station, which is on the Pepacton
13 Reservoir approximately 26 miles from the
14 site.

15 And using those long-term more local
16 data, we also calculated the amounts that
17 evapotranspiration exceeded rainfall or the
18 irrigation demand for those months. It turns
19 out that the period was a little bit longer
20 than the Toro data. It was actually May
21 through August, instead of June through
22 August. But the actual amounts in each one of
23 the months, amount that evapotranspiration
24 exceeded precipitation, was somewhat less. A
25 slightly longer period but a slightly less
(WATER SUPPLY, GROUNDWATER, SURFACE WATER ISSUES)

□

3736

1 amount.

2 So using the supply numbers for Big
3 Indian, 115,000 gallons a day, extrapolating
4 that for a full month, you get a monthly total
5 of what's available. Using the weather data,
6 and irrigating 100 acres of golf course, we
7 basically ran a balance sheet to supply your
8 demand, along with the 7 1/2 million gallons
9 of storage that are in the irrigation ponds,
10 and that's what's summarized in Table 2.

11 Depending on whether you use the Toro
12 data, which is in Scenario 1 of Table 2, or
13 whether you use the Downsville data, which is
14 Scenario 2 in Table 2, basically the balance
15 sheet shows that with supply and demand and
16 the available storage, we will have enough

17 water to irrigate the golf course throughout
18 the growing season.

19 Scenario 1 under the sum, there's a
20 net deficit of about 4.5 million gallons, but
21 given our storage of 7 1/2 million gallons
22 that we're starting with -- in balance, we
23 will have enough water.

24 Using Scenario 2 with more local

25 Downsville data, there's actually an excess
(WATER SUPPLY, GROUNDWATER, SURFACE WATER ISSUES)

3737

1 amount. You see the positive number of
2 approximately 2.5 million gallons. So our
3 system has the ability to supply 2.5 million
4 gallons more than actually what would be
5 required over the course of the summer.

6 MS. BAKNER: Just a couple of quick
7 questions. Can you explain -- in your
8 opinion, are you going to have enough
9 irrigation water available to you during the
10 grow-in of the golf course?

11 MR. FRANKE: Yeah, because as we
12 discussed previously, construction will be
13 phased over a number of years. We won't be
14 growing in the entire golf course or 18 holes
15 at one time since it will be nine holes at a
16 time. Establishment can use more water
17 typically than what happens during your
18 operational phase, but that's only if you're
19 growing in the entire 18 holes at once.

20 MS. BAKNER: What demands in terms of
21 people drinking them will there be at that

22 time?

23 MR. FRANKE: Right. There will be no
24 demand for potable water during the grow-in
25 phase, so that water also will be available.
(WATER SUPPLY, GROUNDWATER, SURFACE WATER ISSUES)

3738

1 MS. BAKNER: And the first things that
2 are to be built are limited totally to the
3 hotel, so that all of the capacity to be
4 provided to the lodging units for the first
5 three to --

6 MR. FRANKE: Three to eight years.

7 MS. BAKNER: -- eight years won't be
8 being drunk by people. It will be available
9 for irrigation?

10 MR. FRANKE: Regardless, the full
11 total amount of that average daily demand will
12 be available one way or another, either as raw
13 water or as processed water.

14 MR. RUZOW: And the irrigation ponds
15 are part of the first phase of the project;
16 correct?

17 MR. FRANKE: Yes. They will be built
18 and filled prior to construction so that water
19 will be there ready and waiting.

20 MS. BAKNER: Did the Department of
21 Health make any request or the Department of
22 Environmental Conservation with respect to
23 only taking irrigation water out of the
24 irrigation ponds?

25 MR. FRANKE: Correct, yes. That is, I
(WATER SUPPLY, GROUNDWATER, SURFACE WATER ISSUES)

3739

1 believe, a condition of the permit. If not a

2 condition, it certainly was discussed. That's
3 the way the system has been designed. Any
4 water for irrigation will come from the ponds,
5 will not be taken directly from the wells, and
6 put on the golf course. It will always come
7 out of the ponds.

8 MS. BAKNER: And, Mr. Kerzic, at what
9 point or how is the irrigation system
10 completely separate from the potable water
11 distribution system?

12 MR. KERZIC: Water will be -- water
13 for irrigation will be pumped from the sources
14 to the ponds, and then a separate pumping
15 system will pump it into a separate irrigation
16 distribution system.

17 MS. BAKNER: From the wet well where
18 the Rosenthal wells -- where the water is
19 being gathered, do you have a separate pipe
20 going up to transfer the irrigation water?

21 MR. KERZIC: Yes. In the case of Big
22 Indian in the Rosenthal well field, water will
23 be pumped from the Rosenthal wells into a
24 concrete basin, and from there the water could
25 be pumped either through a treatment system,
(WATER SUPPLY, GROUNDWATER, SURFACE WATER ISSUES)

3740

1 disinfection system, into a potable water
2 distribution system, or it could be pumped
3 directly without treatment into the irrigation
4 system. It's a separate series of pipes, no
5 interconnection whatsoever so there's no
6 possibility for untreated non-potable water

7-30-04crossroads_myap
7 being mixed with treated potable water.

8 MS. BAKNER: Were the regulatory
9 agencies also concerned about effluent,
10 treated effluent in the irrigation ponds
11 somehow being drawn out for potable water
12 purposes? Is that another reason why the
13 systems are completely separate?

14 MR. KERZIC: Yes. There's no physical
15 connection between any potable system and any
16 non-potable system, so there's no chance for
17 any non-potable water being drawn into the
18 potable system. And that's both with the
19 irrigation water that would come from the
20 wells as well as the effluent recycled from
21 the wastewater treatment plant.

22 MS. BAKNER: Both you gentlemen, we
23 heard several times yesterday from
24 Dr. Michalski that we were going to be pumping
25 this system at a constant rate of 149 g.p.m.
(WATER SUPPLY, GROUNDWATER, SURFACE WATER ISSUES)

1 while this resort is up and operating, and we
2 were going to -- everyday we were going to be
3 pumping that. And I'm hearing a totally
4 different description from you guys. Can you
5 explain to me?

6 MR. FRANKE: I guess to start off, the
7 115,000 g.p.d., gallons per day, average daily
8 demand at Big Indian equates to approximately
9 80 gallons a minute, as opposed to the 149
10 number that's been talked about before.

11 MR. KERZIC: In the case of the
12 potable water distribution system, the system

13 will consist of a series of pipes as well as a
14 storage tank. And the storage tank for each
15 resort will be sized so that it will be able
16 to store more than two days' worth of water.
17 And that's assuming an average daily demand at
18 numbers that are on the table.

19 So at that usage, the tank would only
20 be filled every two days or so, so the pumps
21 would only be on every two days. The way it
22 works is the pumps kick on automatically, they
23 fill the tank, and then water is drawn in and
24 the pump go off when the tank is full. And
25 the water level just drops until it hits a low
(WATER SUPPLY, GROUNDWATER, SURFACE WATER ISSUES)

3742

1 level mark and then the pumps are then
2 signaled to kick back on again. So you'll
3 have more than two days' worth of storage
4 available. And once that's drawn down to the
5 lower level, then the tank will be refilled.
6 And that storage amount is more than two days.

7 MR. RUZOW: Mr. Franke, you have
8 familiarity with other golf courses that
9 utilize effluent for irrigation purposes. Can
10 you just explain that? You're comfortable
11 that the irrigation water as a source will
12 meet the golf course's needs, and therefore,
13 it will not need to put a greater demand on an
14 alternate potable line?

15 MR. FRANKE: Right. There's two
16 courses that come to mind right away, both in
17 the northern part of the state; a golf course

18 in Lake Placid, New York, and also a golf
19 course in Canton, New York. Both utilize
20 tertiary-treated wastewater as their primary
21 irrigation water supply. Lake Placid was the
22 first of the two courses to use it, and there
23 has been, I believe, DEC-sponsored studies of
24 quality in the area that demonstrate the
25 safety and the efficiency of using treated
(WATER SUPPLY, GROUNDWATER, SURFACE WATER ISSUES)

3743

1 wastewater on golf courses in New York.

2 MS. BAKNER: Is there anything else
3 you two would like to add?

4 MR. KERZIC: No.

5 MR. FRANKE: No.

6 MS. BAKNER: Any questions that you
7 have, your Honor?

8 ALJ WISSLER: No.

9 MS. BAKNER: Then that would be all
10 that we have.

11 ALJ WISSLER: And that would take us
12 to noon. Do we want to break for lunch?

13 MR. GERSTMAN: Whatever is convenient,
14 Judge. We certainly want to complete today.
15 I understand DEC staff has half an hour to an
16 hour response.

17 MS. KREBS: A half hour, 45 minutes
18 probably.

19 MR. GERSTMAN: And we have another
20 hour and a half to two at the most, so we
21 should be okay.

22 ALJ WISSLER: Why don't we break
23 now -- do we want to break now?

24 MS. KREBS: That will be fine, your
25 Honor, whatever you prefer.
(WATER SUPPLY, GROUNDWATER, SURFACE WATER ISSUES)

1 ALJ WISSLER: Why don't we come back ³⁷⁴⁴
2 at 12:45.

3 (12:04 - 1:00 P.M. - LUNCHEON RECESS
4 TAKEN.)

5 MS. KREBS: I'll mark these exhibits.

6
7 ("DRAFT PERMIT #2 - 6/25/04" RECEIVED
8 AND MARKED AS DEC EXHIBIT NO. 9, THIS DATE.)

9 (LETTER DATED 5/10/04 FROM STATE OF
10 NEW YORK DEPARTMENT OF HEALTH RECEIVED AND
11 MARKED AS DEC EXHIBIT NO. 10, THIS DATE.)

12 (AMBIENT STORMWATER AND
13 MONITORING REQUIREMENTS RECEIVED
14 AND MARKED AS DEC EXHIBIT NO. 7, THIS
15 DATE.)

16 ALJ WISSLER: Ms. Krebs.

17 MS. KREBS: Thank you, your Honor.

18 Yesterday I handed out Exhibit
19 Department Staff 7 to your Honor and counsel.
20 I just want to note for the record, it's
21 entitled, "Ambient and Stormwater Monitoring
22 Requirements," and it's a smaller version of a
23 larger chart which Mr. Bill Mirabile had used
24 during his testimony regarding stormwater.

25 In addition, your Honor, I have two
(WATER SUPPLY, GROUNDWATER, SURFACE WATER ISSUES)

1 other exhibits to put into evidence. ³⁷⁴⁵

2 Department Staff 9 is an update of the draft

3 7-30-04crossroads_myap
water supply permit for the Big Indian
4 Waterworks Corporation, which I have given
5 your Honor and counsel.

6 There are a few minor changes, your
7 Honor, based on some Department of Health
8 input, and they're highlighted in red.

9 And Department Staff Exhibit No. 10,
10 your Honor and counsel already have this.
11 It's sent with a cover letter of May 21st,
12 2004 from me to your Honor and counsel. It's
13 regarding the Ten State Standards. I just
14 wanted to have that in the record.

15 ALJ WISSLER: Okay. We'll receive
16 those. With respect to Staff's 9, the draft
17 permit, as an Office of Hearings Exhibit, I
18 think we took in water supply permits for both
19 facilities.

20 MS. KREBS: Yes, we did, your Honor,
21 but there are only changes in the Big Indian.

22 ALJ WISSLER: Okay. So Office of
23 Hearings 11 remains as to wildacres, but as
24 with respect to Big Indian, it is now

25 superseded by Staff's 9?
(WATER SUPPLY, GROUNDWATER, SURFACE WATER ISSUES)

1 MS. KREBS: Yes, it is. Thank you. 3746

2 We're going to have three witnesses,
3 your Honor. First of all, I'll turn to
4 Mr. Michael Holt.

5 Mr. Holt, if you could indicate where
6 you work and your title please.

7 MR. HOLT: I'm an Environmental
8 Engineer II with the New York State Department

9 of Environmental Conservation in Albany. I'm
10 a licensed professional engineer in New York
11 State. I have a Bachelor's Degree in
12 Biological Sciences from SUNY Oswego, and a
13 Bachelor's Degree in Civil Engineering from
14 Union College. And I've been working in the
15 public water supply permit program for
16 approximately 15 years.

17 MS. KREBS: Okay. Can you please
18 state your work duties regarding the water
19 supply permits.

20 MR. HOLT: My colleague and I
21 coordinate the program from Albany. We assist
22 the different regions and review all sorts of
23 water supply applications. In this particular
24 case, because of the complexity of it and the
25 size of it, we were asked to spend a little
(WATER SUPPLY, GROUNDWATER, SURFACE WATER ISSUES)

3747

1 more time on it, and that's what we're
2 representing here today.

3 MS. KREBS: Okay. I understand you
4 reviewed the DEIS and other application
5 materials?

6 MR. HOLT: That's correct.

7 MS. KREBS: And then you also wrote
8 the draft water supply permits for Big Indian
9 and Wildacres?

10 MR. HOLT: I did.

11 MS. KREBS: And did you consult
12 with -- other than other Department staff, did
13 you consult with anyone else regarding the

14 permits?

15 MR. HOLT: Yes. When I drafted the
16 permits, we had several meetings prior to
17 drafting the permits with both the state and
18 county departments of health. The PSC was
19 involved to a lesser extent also, and we
20 collaborated with Mr. Dunn's office, with the
21 state health department, on basically every --
22 the entire permits.

23 MS. KREBS: Since there are actually
24 no direct questions concerning the draft water
25 supply permits, I was just going to point out
(WATER SUPPLY, GROUNDWATER, SURFACE WATER ISSUES)

3748

1 two conditions, one of which, I guess, has
2 already been addressed. Silo A condition,
3 it's on page 3 of 5 of Department Staff 9.
4 It's regarding the Crystal Spring Brook. I
5 think it's already been commented on, but
6 could you just briefly summarize what that's
7 about.

8 MR. HOLT: Right. There was basically
9 two concerns here, that the use of Silo A
10 would possibly adversely affect the Pine Hill
11 water district sources, and there is also
12 concerns by the department fishery staff that
13 the use of Silo A would lessen the flow in
14 Birch Creek or Crystal Spring -- Birch
15 Creek -- Crystal Spring Brook, I'm sorry, in
16 that vicinity.

17 So what I attempted to do here is, if
18 you look at the description of the permit, it
19 allows them to take up to 69 gallons a minute,

20 but I have further limited it here in
21 consultation with the Department of Health and
22 with our fisheries staff to try and ratchet
23 down how much water would be available from
24 that silo as a drought would occur, and it's
25 basically based on the Tennant method of flow
(WATER SUPPLY, GROUNDWATER, SURFACE WATER ISSUES)

1 in the stream. As the stream flow is dropped
2 down, the ability for the Applicant to take
3 water from the silo is decreased accordingly.
4 And it finally drops down to no more than
5 10 gallons per minute if the flow in the creek
6 falls below 797, which is 30 percent of the
7 Tennant flow to that creek in that vicinity.

8 ALJ WISSLER: What does Tennant flow
9 mean?

10 MR. HOLT: I'm not really the expert
11 on that, but basically, it's a percentage of
12 flow based on average, I believe, that
13 optimizes cold water fishery habitat. So the
14 30 percent --

15 ALJ WISSLER: Why is it called Tennant
16 flow, after Harry Tennant who invented it or
17 something like that?

18 MR. GERSTMAN: That's correct.

19 MR. HOLT: I also wanted to point out
20 that in the case where the flow did drop below
21 30 percent, we were in the
22 10-gallon-per-minute range. I put in
23 additional conditions that would require for
24 the flow to increase for a period of time so

25 you wouldn't be flip-flopping back and forth,
(WATER SUPPLY, GROUNDWATER, SURFACE WATER ISSUES)

3750

1 to try to get it up to an established level
2 for an established period of time. So that
3 you wouldn't one day be a 10 and then go to
4 34, and then you drop back to 10, something
5 like that. So I tried to work that into the
6 condition too.

7 ALJ WISSLER: Is there specific data
8 that you looked at in the Applicant's
9 application for this water permit that led you
10 to make those adjustments in withdrawal rates?

11 MR. HOLT: well, on the fishery side,
12 they had concerns about the flow in the creek,
13 and they wanted us to minimize the use of
14 silo A during these low flow periods as much
15 as possible.

16 ALJ WISSLER: Do you know where in the
17 Applicant's application that that data that
18 fisheries may have been concerned with is
19 located, if you know?

20 MR. HOLT: I couldn't point it out
21 right now. But the Applicant and -- either in
22 DEIS or I think in some of the subsequent
23 documents -- talks about the necessity to cut
24 back flow when flow in the creek -- taken from
25 the silo, when the flow in the creek drops,
(WATER SUPPLY, GROUNDWATER, SURFACE WATER ISSUES)

3751

1 that they would reduce their take from the
2 silo.

3 Now, I also corroborated with the
4 Department of Health on that because they had

5 concerns about the silo being at least
6 available for some extent during -- if in
7 fact, one of the larger wells at the Rosenthal
8 wells was out of service. It's one of the Ten
9 State Standard requirements. So that's why
10 we -- so that's how we came up with the 10.
11 That was the number that they felt was the
12 minimum amount that they would be comfortable
13 with in a drought, and that was the number
14 that the fisheries people were comfortable as
15 being a minimum amount that they would be
16 taking so that the effect on the creek would
17 be minimized.

18 MS. KREBS: Understand, your Honor,
19 that the 30 percent Tennant flow, that's not a
20 rigid number. That's the ideal point below
21 which, I believe it's trout, can be affected.

22 But if your Honor has further
23 questions on that, we can supplement the
24 record or address it during the aquatic
25 habitat portion.

(WATER SUPPLY, GROUNDWATER, SURFACE WATER ISSUES)

3752

1 ALJ WISLER: Okay.

2 MS. KREBS: And the only other
3 condition I was going to have you speak to,
4 there was a question concerning pumping of
5 wells and the possible effect it could have on
6 residential water supply wells. And I'd just
7 point you to Special Condition No. 14 on page
8 5 of 5 of Department Staff's Exhibit 9.

9 MR. HOLT: This is pretty much a

10 standard condition that we put in all permits
11 that approve wells where there are private
12 wells in the vicinity that, you know, there's
13 a possibility there could be some adverse
14 effect on. And as you can see, I've tried to
15 change the wording a little bit to try and
16 clarify what our real purpose is here. If
17 somebody's well is lowered by a foot and they
18 have a 300-foot well, then even though
19 theoretically it's diminished, is that really
20 significant. So I tried to change the wording
21 to be a little bit more clear as far as that
22 goes.

23 So basically, what we're telling the
24 Applicant is that if for some reason you do
25 significantly make somebody's well
(WATER SUPPLY, GROUNDWATER, SURFACE WATER ISSUES)

3753

1 nonproductive, that they need a water supply,
2 then you have to either provide them water
3 directly from your service or drill them
4 another well, or come up with some sort of
5 other alternative to make sure that they're
6 not harmed.

7 ALJ WISSLER: Who makes the
8 determination that Condition 14 has been
9 tripped, and what kind of protocol does the
10 Department have in place to insure that
11 residents receive the potable water supplies
12 they need to receive?

13 MR. HOLT: Basically, if somebody was
14 affected, they would petition the Department
15 and say, you know, there is a condition in

16 this permit and they violated that condition,
17 the Department needs to take action on it. We
18 would contact the permittee and say: what's
19 your position on this. First, we would have
20 to determine whether or not it was a
21 legitimate claim or not, and then we would
22 have to say: well, okay, what is your
23 proposed remedy of solution now.

24 If the proposed remedy of solution is
25 acceptable to us; in other words, they say
□ (WATER SUPPLY, GROUNDWATER, SURFACE WATER ISSUES)

1 we'll run a main over to you and connect you ³⁷⁵⁴
2 up and provide you potable water, not
3 necessarily for free, but I mean we will
4 provide you with a source of supply, and that
5 resident goes: well, I don't want to buy, I
6 don't want to drink chlorinated water, I want
7 you to redrill my well, then from our
8 standpoint, we would say that that condition
9 had been met. In other words, they had
10 provided a solution. If they did not agree on
11 that type of solution, then they could take
12 further legal action through the court system.

13 MS. KREBS: Okay. I know, Mr. Holt,
14 you worked in conjunction with other
15 Department staff about the adequacy of the
16 water, so I won't get into that right now.
17 But based on the review of the DEIS, the
18 application and other materials, do you
19 believe the Big Indian and wildacres permits
20 meet Part 601 requirements?

21 MR. HOLT: I do. But I would like to
22 say I reserve the right to look at some of
23 this information we have just received in a
24 little bit more detail and possibly --
25 probably not make any changes in my decision,
(WATER SUPPLY, GROUNDWATER, SURFACE WATER ISSUES)

1 but I would like to be able to review that a ³⁷⁵⁵
2 little bit more closely. Obviously, again,
3 this is a draft permit. Certainly possible
4 modifications could be proposed by either
5 party that we could consider. Certainly if
6 somebody sees something that I left out or I
7 missed out or something, that would make
8 either of them better permits, then we'll
9 certainly consider that too.

10 ALJ WISSELER: Do you at this point
11 have some notion of what those conditions
12 should be?

13 MR. HOLT: No, no. I mean, but --

14 ALJ WISSELER: Okay.

15 MR. HOLT: I'm saying I'm open to any
16 other suggestions if there are any, but
17 basically, this is -- the modification or the
18 second draft was basically in response to a
19 comment letter by the Applicant. Some of the
20 comments, I didn't feel warrant a change, and
21 some of them I made some minor changes.

22 ALJ WISSELER: In evaluating these
23 permit applications, you look at the
24 Applicant's application, in this case the DEIS
25 and other studies and so forth that were done;
(WATER SUPPLY, GROUNDWATER, SURFACE WATER ISSUES)

1 am I correct?

2 MR. HOLT: Yes.

3 ALJ WISSELER: So other than the
4 package that is presented to you, essentially
5 that's what you look at when you make your
6 permit decision in a case like this?

7 MR. HOLT: Yes, but in this case --

8 ALJ WISSELER: You corroborated with
9 Health in Ulster County?

10 MR. HOLT: Exactly. But in this case,
11 because of the Pine Hills situation and the
12 permit, I also drafted that permit that was
13 issued about two years ago, we looked at that
14 situation in correspondence with this too.
15 But typically, you're right. We would get an
16 application, we would look at it --

17 ALJ WISSELER: And that's the package
18 you would look at?

19 MR. HOLT: Pretty much, yes.

20 ALJ WISSELER: In terms of present
21 future growth and future needs for the water
22 supply system and so forth, what did you look
23 at?

24 MR. HOLT: Basically the information
25 that was submitted in the application, the
(WATER SUPPLY, GROUNDWATER, SURFACE WATER ISSUES)

1 projections of the total buildout in the Pine³⁷⁵⁷
2 Hill area and the charts that Gary showed us
3 there as far as demands.

4 And I also -- if you look in here,
5 there's a condition that limits the area of

6 the water serviceability which is less than if
7 you look at the maps, you see these larger
8 areas of ownership, but I said we want to
9 restrict the size of this system down to
10 basically what it is. So if you want to
11 expand it, in other words add another section
12 of condos or something like that, you would
13 have to reapply to the Department and we would
14 reevaluate, you know, your conditions at that
15 time.

16 ALJ WISSLER: Show me what conditions
17 you're talking about.

18 MS. KREBS: I believe it's Special
19 Condition 10, your Honor, on page 4.

20 MR. HOLT: That's 10 in the Big Indian
21 permit and 5 in the wildacres permit.

22 ALJ WISSLER: And 10 is what? The
23 service area map is basically the borders of
24 the proposed Big Indian and the proposed
25 wildacres?

(WATER SUPPLY, GROUNDWATER, SURFACE WATER ISSUES)

1 MR. HOLT: No, actually it's a smaller³⁷⁵⁸
2 area. I mean, I could attach those maps to
3 the permit. I mean that's a possible thing we
4 could do, but I mean, that's not necessary.
5 It was referenced into the application papers.

6 ALJ WISSLER: I'm just trying to pick
7 up on something you said. Do we have the map?
8 Do we know the map we're talking about here?

9 MR. HOLT: I'm not sure if I have it
10 with me, your Honor.

11 ALJ WISSLER: LA Group -- I assume
Page 92

12 it's one of the maps that was submitted;
13 correct?

14 MS. BAKNER: Your Honor, it shows the
15 area of proposed development, not the land
16 that's supposed to be preserved. That is what
17 Mr. Holt is commenting on.

18 MR. HOLT: Okay. The approved area
19 for service is smaller than the larger --

20 ALJ WISSLER: And the approved area
21 for service is essentially what we're talking
22 about developing?

23 MS. BAKNER: Exactly.

24 MR. HOLT: Yes.

25 ALJ WISSLER: Okay. But now my
(WATER SUPPLY, GROUNDWATER, SURFACE WATER ISSUES)

3759

1 question is if the number -- so whatever
2 construction happens, whatever development
3 happens, as long as it happens within the
4 borders of that water district, that this
5 permit covers that?

6 MR. HOLT: The private water company,
7 yes.

8 ALJ WISSLER: Okay. So if we had 50
9 condos called for and over time we added a
10 hundred, we could still -- we wouldn't have to
11 come back to you for another water permit?

12 MR. HOLT: If they stayed within the
13 borders.

14 ALJ WISSLER: Within the borders.

15 So it's about the borders and not
16 necessarily the density of use within the

17 borders?

18 MR. HOLT: Not normally, although
19 there are cases where we have specifically
20 limited that you can build within this area
21 and you can build up to 1500 units or just to
22 pick a number. And you could do that too.

23 ALJ WISSLER: But in this case, as
24 long as you're within the borders of that
25 district, you're fine?

(WATER SUPPLY, GROUNDWATER, SURFACE WATER ISSUES)

3760

1 MR. HOLT: Right.

2 ALJ WISSLER: Okay.

3 MR. HOLT: And obviously, you know,
4 it's all limited on how much water they're
5 approved to take too. If they try to double
6 the size of their service area and they needed
7 to take more water, they would have to come
8 for a permit for that. They can't go beyond
9 what we have allowed as a maximum taking.

10 ALJ WISSLER: Thank you.

11 Ms. Krebs.

12 MS. KREBS: Thank you, your Honor. If
13 you don't have any questions for Mr. Holt, I
14 will turn to Mr. Garry.

15 Please state your name and where you
16 work for the record, please.

17 MR. GARRY: My name is James D.
18 Garry. I work at the Department of
19 Environmental Conservation, Division of Water
20 in Albany. I've worked as a geologist for
21 about 26 years, the last 20 or so with the
22 Department. I am a licensed professional

23 geologist in the State of Pennsylvania, New
24 York doesn't have a licensing program. And

25 I'm also a member of the National Groundwater
(WATER SUPPLY, GROUNDWATER, SURFACE WATER ISSUES)

3761

1 Association.

2 In my time with the Department, I have
3 worked on a wide variety of tasks, from
4 wellhead protection to contaminant trackdown,
5 remediation to water resource investigation.
6 And the water resources investigation part is
7 something I have done all along, so that's
8 where I have my most experience. I have
9 reviewed, in terms of numbers, hundreds of
10 pump tests, and I've personally been involved
11 in a couple dozen. I think that's good for
12 background.

13 MS. KREBS: Okay. And I understand
14 you assisted in the review and the evaluation
15 of the application materials for these
16 permits?

17 MR. GARRY: That's right.

18 MS. KREBS: Okay. And how did you go
19 about that generally, or what did you review?

20 MR. GARRY: It's a process that goes
21 back and forth. Obviously, I get information
22 and I review all the information I get. If I
23 see something that I need, I get back with the
24 Applicant and ask for that information. And
25 that did happen a couple of -- a couple times
(WATER SUPPLY, GROUNDWATER, SURFACE WATER ISSUES)

3762

1 I needed a better map, I wanted some

2 information broken out from the EIS. Since
3 the EIS was so huge, I wanted to make sure I
4 had everything pertaining to a particular
5 topic.

6 In this case, or in all cases, one of
7 the first things I do is to make sure that the
8 tests were properly run, that they were the
9 tests that we need and that these were
10 properly set up and executed. And then I take
11 a look at the raw material. I also take a
12 look at the results that are written up by the
13 Applicant, and I evaluate accordingly.

14 MS. KREBS: And did you review -- I
15 think the Applicant has gone through the test
16 results this morning and yesterday. Did you
17 review those also?

18 MR. GARRY: Yes, I did.

19 MS. KREBS: And did you accept -- on
20 which tests did you approve?

21 MR. GARRY: Well, I, all along have
22 felt the R1/R2 combined test in 2002 was quite
23 sufficient, and I approved according to that.
24 Department of Health had some concerns based
25 on protocols they've used for many years, and
(WATER SUPPLY, GROUNDWATER, SURFACE WATER ISSUES)

1 I had no objection to them doing another test,³⁷⁶³
2 and as a matter of fact, we needed to do
3 another test because in that time, another
4 well had been added to that well field that
5 had to be evaluated.

6 ALJ WISSLER: That was Rosenthal
7 well 3?

8 MR. GARRY: That was Rosenthal 3,
9 right.

10 So in 2004, I reviewed the protocol,
11 it was okay, and they went ahead and did that
12 other test. And that test is --

13 MS. KREBS: When you say the other
14 test --

15 MR. GARRY: The R1, R2 and R3 tests in
16 April of 2004. That gave good information
17 also.

18 And the final numbers for the permit
19 were based on that test, although I do want to
20 talk a little bit about the R1/R2 tests and
21 the fact that that was a constant rate test
22 helped in being able to establish that
23 long-term, six-month numbers with drawdown,
24 and you really do need a constant rate test
25 for that. The 2004 test was --

(WATER SUPPLY, GROUNDWATER, SURFACE WATER ISSUES)

3764

1 ALJ WISSLER: which test supports
2 that?

3 MR. GARRY: The September 2002 test
4 where they did a simultaneous pumping of R1
5 and R2. When they did that at a constant rate
6 for three days, they were able to extend the
7 drawdown line on the semi-log plot to find out
8 whether there would be enough water in the
9 wells if they pumped at full capacity for six
10 months with no recharge, which is a doubly
11 conservative number. It's very conservative.
12 And if it makes that test, you know that you

13 have a good producing well because, first of
14 all, there will be recharge, and second of
15 all, the well will not be pumped at full
16 capacity 24 hours a day, seven days a week for
17 six months. Wells are turned on and off, and
18 recharge does occur.

19 So I liked that test because it showed
20 the long-term consequence of pumping. The R1,
21 2 and 3 tests in April of this year was a good
22 test because it showed some stabilization and
23 it showed what R3 was capable of pumping while
24 R1 and R2 were also pumping. So I used all
25 the tests.

(WATER SUPPLY, GROUNDWATER, SURFACE WATER ISSUES)

□

1 ALJ WISSLER: Have you been involved
2 in tests that may have been run in Pine Hill
3 or in other wells in this bit of a valley
4 where the Rosenthal well group is?

5 MR. GARRY: I did look at the Pine
6 Hill tests, but I wasn't involved in that test
7 as it was being conducted.

8 ALJ WISSLER: Are you familiar with
9 the geology of that specific area?

10 MR. GARRY: Certainly.

11 ALJ WISSLER: Certainly, meaning what?

12 MR. GARRY: Well, the geology was
13 covered in all of the information the
14 Applicant had, so I'm familiar with what they
15 presented, and I'm generally familiar with
16 basic geology across the state.

17 ALJ WISSLER: You seem to have been
18 to -- similar in a lot of ways but different

19 in some ways to points of view presented by
20 Dr. Gowan and Dr. Michalski. Do you have any
21 specific knowledge with respect to this valley
22 where these wells are all located with respect
23 to what is the underlying geology there?

24 MR. GARRY: Based on the well logs
25 that we have, it is -- this exhibit, what is
(WATER SUPPLY, GROUNDWATER, SURFACE WATER ISSUES)

3766

1 this?

2 MR. RUZOW: That's 99B,
3 Applicant's 99B.

4 MR. GARRY: I accept this as the
5 geology as we know it. Certainly there is
6 what's been termed "stacked aquifers" due to
7 various sedimentation, and they do have some
8 control over what's happening. But I
9 certainly would find it, or do find it, highly
10 unlikely that pumping on one side of Highmount
11 is going to affect pumping, you know, a mile
12 or two away on the other side.

13 ALJ WISSLER: But the suggestion that
14 there may be stacked aquifers in this area
15 around the Rosenthal field and so forth in
16 Pine Hill, you would say yes, that could be,
17 in fact, the case?

18 MR. GARRY: I would say that there's
19 certainly layers of shale that add -- that are
20 controlling the movement of groundwater, but
21 we don't know how continuous those layers are
22 and the exact amount of --

23 ALJ WISSLER: -- flow.

24

MR. GARRY: -- flow that they're

25

stopping or allowing. Certainly there are
(WATER SUPPLY, GROUNDWATER, SURFACE WATER ISSUES)

□

3767

1

fractures -- there have to be fractures in

2

there, and I would not think that water would

3

flow down to a particular shale layer and then

4

just completely be diverted and moved along.

5

There's flow all through, and that the

6

fractures -- this has been documented in this

7

area by USGS -- fractures down lower in the

8

valleys, or especially lower in the valleys,

9

are mostly near the surface. And that's the

10

major controlling factor for groundwater

11

movement in the bedrock.

12

ALJ WISSLER: Okay.

13

Ms. Krebs.

14

MS. KREBS: There was a question

15

raised regarding month-long pump tests versus

16

the 72-hour pump tests. I don't know if you

17

could address that.

18

MR. GARRY: I would just address it on

19

the fact that it's not something that New York

20

State has ever asked for, as far as a 30- or

21

60-day pump test. And I'm fairly familiar

22

with the adjacent states, and they don't

23

require that. And also, while -- in writing

24

some of the protocols for our section, for

25

instance, the pump test protocols and the well
(WATER SUPPLY, GROUNDWATER, SURFACE WATER ISSUES)

□

3768

1

decommissioning protocols, I've done some

2

research from states all around the country

3

and I've never seen any state -- I'm not

4 saying it doesn't happen -- but I personally
5 am not aware of any state that requires more
6 than a three-day pump test.

7 MS. KREBS: So you regard our
8 Department's acceptance of the 72-hour test
9 was appropriate?

10 MR. GARRY: Yes.

11 MS. KREBS: I think that's it, your
12 Honor, for Mr. Garry, unless you have any
13 other questions?

14 ALJ WISSELER: No.

15 MS. KREBS: And finally, I have
16 Mr. John Dunn from the State Department of
17 Health to speak.

18 Mr. Dunn, if you could please state
19 your name and where you work for the record.

20 MR. DUNN: Sure. My name is John
21 Dunn, you can call me Jack, with the New York
22 State Department of Health. I graduated from
23 Union College with a Bachelor's Degree in
24 Civil Engineering many years ago. I'm a
25 licensed professional engineer in New York
(WATER SUPPLY, GROUNDWATER, SURFACE WATER ISSUES)

1 State, have been for 30 years. I should note³⁷⁶⁹
2 that I got my license when I was nine years
3 old, so I'm a lot younger than I look. with
4 the Bureau of Public Water Supply Protection,
5 I've been with the water supply program with
6 the New York State Department of Health for 26
7 years. Currently, I'm the assistant director
8 of the Bureau of Public Water Supply, and I've

7-30-04crossroads_myap
9 been in that position for six years.

10 Prior to that, I was the supervising
11 engineer for the design section for seven
12 years, and the design section is involved with
13 basically reviewing and accepting and
14 approving these type of projects, new source
15 takings, new treatments, operating water
16 systems. And prior to that, I worked as a
17 senior engineering staff member of the design
18 section for about 13 years prior to that.

19 MS. KREBS: Okay. Can you describe
20 your involvement with the water supply permits
21 at hand, the Big Indian and wildacres, please.

22 MR. DUNN: Sure. I and my staff have
23 reviewed the project, and as we do with any
24 water supply permit and application, we deal
25 with DEC. We look at the estimated demands of
(WATER SUPPLY, GROUNDWATER, SURFACE WATER ISSUES)

1 the system, and in fact whether we should 3770
2 accept them or not. We also look at the
3 yields that have been documented or intend to
4 be documented. We look at conceptual designs
5 as well.

6 MS. KREBS: Okay. And that's what you
7 did in this case also?

8 MR. DUNN: Yes.

9 MS. KREBS: I believe you had some
10 comments on the DEIS and the proposed resort
11 itself.

12 MR. DUNN: Well, we met obviously with
13 the Applicant, with Mike Holt's staff earlier
14 on in the year, but we also issued a letter

15 dated April 23rd, '04 on overall issues of the
16 project, many issues, but within that, also
17 water supply issues that we wanted to have
18 addressed or had questions about.

19 ALJ WISSLER: Is that part of public
20 comment, or is that part of --

21 MS. KREBS: Yes, it's in the public
22 comment letters, but I could put it in the
23 record, your Honor.

24 ALJ WISSLER: I want you to, please.

25 MS. BAKNER: Your Honor, I think it's
(WATER SUPPLY, GROUNDWATER, SURFACE WATER ISSUES)

3771

1 already been entered into the report.

2 ALJ WISSLER: Is it? It might be, I
3 don't know. If it is, just tell me where it
4 is in the record.

5 MS. BAKNER: We entered it for another
6 purpose earlier, your Honor.

7 MS. KREBS: I can enter it into the
8 record now, your Honor.

9 ALJ WISSLER: Some time somebody tell
10 me where it is.

11 MR. DUNN: We also wrote a letter
12 dated March 23rd regarding specific pump test
13 protocol that was proposed for the
14 simultaneous pump testings on R1, 2 and 3
15 earlier this spring, and basically endorsed
16 what they were intending to do, but it, in
17 fact, did meet our protocol.

18 MS. KREBS: Okay. But before we get
19 to that, and we will get back to that, your

20 Honor, to your knowledge, were the other
21 comments addressed with regard to water
22 supply? I believe you wrote that letter in
23 conjunction with Ulster County Department of
24 Health.

25 MR. DUNN: Yes, we reviewed --
(WATER SUPPLY, GROUNDWATER, SURFACE WATER ISSUES)

3772

1 actually, when we say we, the State Health
2 Department also works with our field structure
3 in this particular case on Big Indian, and
4 it's Ulster County Health Department. We
5 provided comments. We asked questions. At
6 this point, we're satisfied that our concerns
7 are addressed or will be addressed as the
8 Applicant has indicated.

9 MS. KREBS: And then turning to those
10 pump test results, simultaneous test results
11 for 1, 2 and 3, you mentioned a protocol that
12 you had approved?

13 MR. DUNN: Right. And this is
14 interesting, I'm glad it was brought up
15 because I think there were a couple
16 misstatements yesterday by both the Applicant
17 and CPC on our protocol for rock testing. The
18 protocol we require this Applicant to use is
19 the same protocol we've used for the 26 years
20 I've worked for the Health Department. It is
21 not a new protocol.

22 Basically for rock wells, we are
23 looking for at least a 72-hour pump test, and
24 we're looking for stabilization. And that is
25 what was performed. It hasn't changed in the

1 26 years I've worked for the Health
2 Department, so it's not a new protocol.

3 The reason why we look for at least a
4 72-hour test is that rock wells are unique
5 animals compared to other wells. You can be
6 relatively comfortable with a shorter pump
7 test in an unconsolidated sand and gravel
8 formation. You can come up with
9 transmissivity and stuff like that. Rock
10 wells are unique.

11 ALJ WISSLER: How so?

12 MR. DUNN: It takes a while to get
13 the, quote/unquote, storage down out of the
14 rock to really determine what the inflow is
15 and compare that with the pump tests which is
16 the outflow and reach stabilization. We have
17 a lot of applicants over the years -- they
18 still argue, especially small villages and
19 towns, that 72 hours is too onerous, but the
20 72 hours has served us well and we have
21 actually -- very comfortable in that a 72-hour
22 pump test with stabilization at the end will
23 document a sustained yield.

24 MS. KREBS: Mr. Dunn, did the
25 Department of Health accept the R1 R2, 3 pump
(WATER SUPPLY, GROUNDWATER, SURFACE WATER ISSUES)

1 tests results?

2 MR. DUNN: Yes. Verbally, we have
3 done that working with Mike Holt in
4 drafting -- in fact, it's a good lead-in --

5 typically, what we will do is write an
6 endorsement letter to Mike's office saying
7 that we are now satisfied. As you asked
8 earlier what do we review, we review all the
9 material that DEC is reviewing, at least as it
10 pertains to water systems.

11 we certainly ask additional questions
12 or have concerns. We had concerns with the
13 demands that were originally proposed to us
14 back in early spring. We did not buy into the
15 reduced water conservation. It may come to
16 fruition, but based upon our input, the
17 average daily demands for the system were
18 upgraded to approximately 80, 82 gallons per
19 minute which we're satisfied with.

20 we should probably take a minute to
21 determine how the Health Department fits in
22 with the whole process. We regulate public
23 water systems in New York State. Basically,
24 at the very end of this process, we will
25 approve plans and specs for the construction
(WATER SUPPLY, GROUNDWATER, SURFACE WATER ISSUES)

□

1 of this water system, including the wells,
2 including transmission mains, treatment,
3 including disinfection, storage, and whatever
4 other components of the water system. Before
5 they can go to construction, they have to have
6 our plans and specs approval. Once
7 constructed before they can utilize it, they
8 have to get our completed works approval that
9 we're satisfied it was built in conformance
10 with those plans and specs.

3775

11 However, this is an earlier conceptual
12 stage. At this point, the permitting process
13 is DEC. They are the water resource managers
14 of the State. We act as technical advisors to
15 them, and we've had an excellent relationship
16 over the last 26 years. I've worked at the
17 Health Department -- over the last 26 years,
18 they will not issue a permit until we are
19 satisfied. Now, who we are, basically any new
20 source taking, our office actually gets
21 involved in, but we do use the county health
22 departments. The county health departments
23 are our field structure.

24 DEC has a very strong regional office.

25 They are the one-on-one with the regulated
□ (WATER SUPPLY, GROUNDWATER, SURFACE WATER ISSUES)

1 parties. In the Health Department structure,
2 the county health departments are the
3 one-on-one with the water systems using our
4 policies, our regulations. So when we review
5 these projects, basically we're tapping into
6 Ulster County, Alan Dumas or Dean Pallen from
7 Ulster County. We will incorporate their
8 comments and concerns into our comments until
9 they're resolved and satisfied.

10 In the case of wildacres, there is no
11 full county health department. In that case,
12 we have a district office, which is located in
13 Oneonta. They act in lieu of a county health
14 department. And that's the whole process.

15 But basically, at this conceptual

16 stage, Mike is not going to write a permit
17 until he knows that we're satisfied; one, that
18 we're satisfied with the estimated demands;
19 and also that we're satisfied that the
20 quantity is there to meet not only current
21 demands but also future demands, buildout; and
22 also that the quality is satisfactory with or
23 without treatment. In this case, there will
24 be treatment.

25 ALJ WISSLER: when you look at
(WATER SUPPLY, GROUNDWATER, SURFACE WATER ISSUES)

3777

1 buildout, you look at what?

2 MR. DUNN: we look at what they
3 propose and what the application material is,
4 what the buildout is. And you raise an
5 interesting question. what if down the line
6 they want to build more. well, there's some
7 interesting trigger mechanisms because if they
8 were to build either residential homes or
9 temporary residences, hotels, motels, it
10 triggers another but different health
11 department code. They have to have a permit
12 for a temporary residence if they want to
13 build a motel up there, which Ulster County
14 Health Department gets involved in, but that
15 would trigger a review again of all the
16 components of the systems. They would trigger
17 a review of the water supply. It would
18 trigger sewage, effluent treatment issues.

19 If, in fact, we're satisfied that the
20 water supply would be there, then those
21 permits would be issued and life could go on.

22 If we had concerns about that, we would say:
23 You don't have enough yield, you don't have
24 enough sustained source of supply, and that
25 would trigger another water supply
(WATER SUPPLY, GROUNDWATER, SURFACE WATER ISSUES)

1 application, and they wouldn't be able to go ³⁷⁷⁸
2 forward until we're satisfied that either new
3 sources were developed to meet those increased
4 demands that weren't included in the original
5 proposal.

6 ALJ WISSLER: Either some new permit
7 or modification of the old one?

8 MR. DUNN: Exactly.

9 MS. KREBS: Okay. And finally,
10 Mr. Dunn, there were some questions raised
11 yesterday regarding stabilization, and they
12 were detailed in CPC Exhibit 81 where they
13 quoted from a letter of yours. The quote is
14 there in CPC Exhibit 81.

15 MR. DUNN: Actually, this whole draft
16 regs for new well construction is in truly
17 draft. It's probably clouded the issue more
18 than it's resolved it. I wrote a couple
19 sentences in that paragraph dealing with
20 fluctuation in response to an Applicant who
21 raised an issue about fluctuation.

22 Certainly over the last 26 years, the
23 design staff, especially if you're reviewing
24 rock well testing, will see bouncing around,
25 fluctuation, if you would, once the well has
(WATER SUPPLY, GROUNDWATER, SURFACE WATER ISSUES)

1 reach a stabilized pumping rate. It's just
2 the nature of the beast. It will go up and
3 down. It's not like a sand-and-gravel act for
4 which there would be an almost steady state.
5 So we always take that into consideration.

6 Our main concern is that over a period
7 of time, whether it's looking back 6 hours or
8 10 hours or 20 hours, that during whatever
9 time we look at, that stabilization has
10 occurred. So the whole issue of fluctuation,
11 again, that's draft regs. I have actually,
12 since this come up, have recommended dropping
13 them from the proposed regs. But here again,
14 they're draft. They're probably creating more
15 confusion the way they are written. I don't
16 even know how they got out to the public
17 comment. But having said that, we do look at
18 fluctuation. But the main concern, as I tried
19 to pose in that paragraph, is the
20 stabilization. And we're satisfied looking at
21 the ten-minute data points throughout that it
22 will have occurred.

23 Basically, if you look at the three
24 wells, there's approximate sustained yield of
25 149 gallons per minute in the rock aquifer in
(WATER SUPPLY, GROUNDWATER, SURFACE WATER ISSUES)

□

1 the vicinity of Rosenthal 1, 2 and 3. We're
2 quite satisfied comparing that, whether it's
3 off a couple g.p.m -- if you compare it with
4 the average daily demand which would be the
5 long-term steady state usage, a PD-2, we're
6 satisfied that that will have been met.

3780

7 MS. KREBS: Were you also satisfied
8 with the pump tests results for the wildacres
9 site, I assume?

10 MR. DUNN: Yes. Although some have to
11 be -- and as we've discussed yesterday,
12 there's one well that's been out of service
13 since the flood of '96. And I think the
14 condition of the permit, and what the
15 Applicant has agreed to, or hopefully will be,
16 that that well has to be rehabilitated, put
17 on-line, and a yield test performed to
18 document yield.

19 MS. KREBS: Thank you, your Honor. I
20 think we're done.

21 MS. BAKNER: We checked the exhibit
22 list and the Department of Health letter is
23 not in there, so, Carol, if you want to
24 introduce it, I have a copy.

25 MS. KREBS: Yes, your Honor. I can
(WATER SUPPLY, GROUNDWATER, SURFACE WATER ISSUES)

□
1 introduce it and provide copies to counsel. 3781

2 ALJ WISSLER: It will be 11, Staff 11.

3 (LETTER FROM JOHN M. DUNN TO ALEC
4 CIESLUK DATED 4/23/04 RECEIVED AND MARKED AS
5 DEC EXHIBIT NO. 11, THIS DATE.)

6 ALJ WISSLER: And it is a letter of
7 what?

8 MS. KREBS: It's a letter from John M.
9 Dunn, P.E., to Alec Ciesluk dated April 23,
10 2004.

11 MR. RUZOW: Your Honor, just a point

12 of information. In response to Mr. Holt's
13 comment about the service area, in Applicant's
14 Exhibit 51B, after the second blue -- Figure 5
15 is the figure that he referred to for Big
16 Indian.

17 ALJ WISSELER: Okay.

18 MR. RUZOW: And in the
19 Applicant's 51D, which is the wildacres, there
20 is a Figure 1 which is comparable for the
21 wildacres Resort with the blue line.

22 ALJ WISSELER: Do you need a minute or
23 what?

24 MR. GERSTMAN: Judge, in terms of the
25 Tennant threshold, I refer you to our
(WATER SUPPLY, GROUNDWATER, SURFACE WATER ISSUES)

3782

1 Exhibit J to the petition, Mr. Piotr
2 Parasiewicz. Piotr is P-I-O-T-R; Parasiewicz
3 is P-A-R-A-S-I-E-W-I-C-Z. Mr. Parasiewicz has
4 referred to the Tennant threshold just for
5 your reference, Judge, on page 3.

6 ALJ WISSELER: CPC exhibit what?

7 MR. GERSTMAN: Exhibit J to the
8 petition. And page 2 and 3 refers to the
9 Tennant threshold as basically the person who
10 established both the optimum, reasonable and
11 catastrophic stream flow levels as they relate
12 to aquatic habitat and survivability, not just
13 fish but all aquatic organisms. And we will
14 be dealing with that during the aquatic
15 habitat section.

16 Also additionally, I just want you to
17 note that the representations that have been

18 made about irrigation and the contribution to
19 recharge that we have heard both yesterday and
20 today by Crossroads are counterintuitive in
21 terms of the statements made in the letter
22 provided. I think it's Exhibit 98.

23 Basically, they're suggesting that the
24 irrigation will actually provide a surcharge
25 to groundwater to stream flow. For that to
(WATER SUPPLY, GROUNDWATER, SURFACE WATER ISSUES)

3783

1 happen, there would have to be a significant
2 amount of contribution from the irrigation.
3 Irrigation, if it's applied in accordance with
4 best management practices, is not going to
5 result in a significant amount of runoff from
6 the golf course. It's not going to result in
7 a significant amount of recharge. It's going
8 to be used for the primary purpose of growing
9 grass and sod for the golf course. So the
10 notion that's set forth in, I believe it's the
11 July 28th letter -- I have to find which
12 exhibit it is from Crossroads -- is really
13 countered by the notion that irrigation is
14 going to be used for a particular purpose
15 using best method practices to maintain the
16 sod. It's also been the premise of
17 Crossroads, essentially, evaluation of the
18 impacts of the golf course and runoff
19 throughout the entire discussion on stormwater
20 and pesticide impacts.

21 what we have at this point, Judge, is
22 a fairly significant disagreement among the

23 experts concerning the hydrogeology of the
24 site. You have heard offers of proof from the
25 Applicant. You certainly heard offers of
(WATER SUPPLY, GROUNDWATER, SURFACE WATER ISSUES)

1 proof by Dr. Michalski, which we believe are ³⁷⁸⁴
2 backed up by the evidence that has, in fact,
3 been provided by the Applicant on the record
4 to support that the analysis prepared at this
5 point by Crossroads does not support their
6 conclusion, and we will identify, even after
7 the rebuttal that we have heard today, those
8 issues which remain outstanding.

9 we are pleased to hear that Dr. Gowan
10 is in agreement with several of the issues
11 between yesterday and today that were raised
12 by Dr. Michalski, including the issue of one
13 of the areas for recharge of the R1, R2 and R3
14 wells would be surface water. That's a very
15 significant concession. It's very important
16 in the construct of what the impacts would be
17 from drawing down R1, R2, R3.

18 we will also talk to the issue of
19 whether or not the simultaneous pumping from
20 R1, R2 and R3 really achieve stabilization.
21 We contend that nothing you have heard today
22 indicates that stabilization has been
23 achieved, and we'll show that as we go through
24 the process.

25 what we have here, Judge, is a
(WATER SUPPLY, GROUNDWATER, SURFACE WATER ISSUES)

1 potentially stressed water supply. we have ³⁷⁸⁵
2 the introduction of a significant water user

3 into the area where there's a potentially
4 stressed water supply. And we believe under
5 the circumstances, based upon the offers of
6 proof from Dr. Michalski and Mr. Rubin, that
7 there's a need for very close scrutiny of what
8 the impacts will be. Dr. Michalski has backed
9 up his conclusions with evidence from the
10 record, will continue to do that now in
11 response to the information we have heard from
12 Crossroads.

13 why don't we start, Judge, if we
14 could, with the log that was presented by
15 Crossroads, which is Crossroads Exhibit 99B.
16 what we have done is to take the original, and
17 using our limited resources, to make some
18 copies. We'll refer to Exhibit 99A, 99B and
19 99C.

20 Can we go off the record for a second.

21 ALJ WISSLER: Sure.

22 (2:08 - 2:09 P.M - DISCUSSION OFF
23 THE RECORD)

24 DR. MICHALSKI: This is a

25 hydrogeological section which is supposed to
(WATER SUPPLY, GROUNDWATER, SURFACE WATER ISSUES)

3786

1 show not only geology of the area but also
2 hydro element of this groundwater occurrence
3 and movement of the system. And as we heard
4 yesterday from the Applicant, the
5 conceptualization actually includes --
6 groundwater occurs in shallow bedrock within a
7 zone, 200, 300 feet, which is parallel to the

8 top of bedrock, and that the water table
9 follows topography. That's generally the
10 statement. (Indicating)

11 So essentially, we have a gray mass.
12 That's just what it is, because all these
13 fractures are just artistic
14 conceptualizations. They don't have any
15 site-specific meaning here. So this is how
16 the Applicant portrays it. And the
17 groundwater flow is just downhill.
18 (Indicating)

19 And when the Judge asked the question
20 about stacked aquifer yesterday, it does not
21 apply to the conceptual model. Today we hear,
22 okay, it's possible -- stacked aquifer system
23 may exist. However, we don't see any place
24 when it would be manifested on this cross
25 section, so it's just pure verbal. Okay. It
□ (WATER SUPPLY, GROUNDWATER, SURFACE WATER ISSUES)

3787

1 can be, but it has no site-specific location,
2 where the stacked aquifers are located.

3 The only thing you see here is the
4 geologic contact would correspond to bedding.
5 This is a geologic contact between two
6 geologic formations which has different names.
7 So this could be a stratigraphic boundary,
8 kind of what I could consider a bedding plane.
9 what I said in my testimony is that actual
10 groundwater flow is controlled primarily by
11 bedding fractures consistent with Heisig
12 concept, so it does not undermine. So those
13 aquifers actually reduce aquifer to fracture,

14 and I will come back in a moment to this.

15 Now, what I want to show is if you use
16 the conceptual model proposed by the
17 Applicant, you cannot explain certain things
18 which actually happens in the system. For
19 example, you cannot explain occurrence of high
20 elevation springs, why they occur. If
21 groundwater follows, it is uniform. Springs,
22 high elevation, it's set on elevation, and a
23 series should not occur because that would be
24 very unusual.

25 The stacked aquifer, yes, we have
□ (WATER SUPPLY, GROUNDWATER, SURFACE WATER ISSUES)

1 bedding -- in a stacked aquifer constant, this ³⁷⁸⁸
2 situation is possible because the constricting
3 layers intersect with topography created
4 so-called contact spring. But this require --
5 does require acknowledgment of heterogenities
6 and you have to locate it because spring
7 will -- contact spring occur, has a contact.
8 So this mapping has not been done in this kind
9 of situation. It's based on just topographic
10 assumptions and that everything will flow
11 down.

12 So this conceptual model actually,
13 which is pretty unique because bedrock is
14 something very -- it's just bedrock. It does
15 not explain this thing. It would not explain
16 disjointed water levels in some of the wells.
17 Like for example, in this well, which is well
18 number 3, which is Fleischmanns well number 3,

19 the Applicant says that the water level was
20 water table. Water level is at, if I recall,
21 240 feet below ground surface, or 120 feet
22 below the Emory Brook. So it's really low.
23 And why is it? If the groundwater follows
24 topography, why do you have water level of
25 240 feet? It's not exactly following the
(WATER SUPPLY, GROUNDWATER, SURFACE WATER ISSUES)

3789

1 topography.

2 So the system is -- this model does
3 not explain those things. This model does not
4 explain why you have cross flows, vertical
5 flows. Because the cross flow are between
6 when you have something at different water
7 level. The Applicant even does not show the
8 water level in the well. So if you have
9 well's location as projected on the section, I
10 would expect at least to show those water
11 levels, average typical for the wells. They
12 are not. So in this sense, it is not
13 hydrogeology cross section, it's just a verbal
14 representation showing a very few broad
15 strokes.

16 MR. GERSTMAN: Mr. Michalski, in your
17 review of the Draft Environmental Impact
18 Statement in Exhibit, I think it's 51, and the
19 other documents, did you find any data to
20 support the conceptualization or this artistic
21 rendering of what's a cross section
22 essentially, in essence?

23 DR. MICHALSKI: Yes. So the first
24 thing I did, I just look at the boring holes,
Page 118

25 and I did the same yesterday during our --
(WATER SUPPLY, GROUNDWATER, SURFACE WATER ISSUES)

1 during my presentation. And if you look at my ³⁷⁹⁰
2 Exhibit 80, and go to pages 6 and 7, you may
3 recall that I spent considerable amount of
4 time to establish in this well which is Pine
5 Hill, PH-1 well, which was 444 feet deep. The
6 only significant water level -- actually
7 water-bearing zone fracture was found at
8 99 feet, and I can probably use a copy just to
9 mark it, maybe on the judge's table. So that
10 was roughly well number -- one-fourth of it,
11 roughly here somewhere. (Indicating)

12 ALJ WISSLER: what we're doing is
13 marking up Exhibit 99B actually. We'll make
14 it a CPC exhibit.

15 DR. MICHALSKI: So that 60 percent of
16 water pumped from this well came from this
17 single one zone, which is probably a fracture.
18 So it tells you about discrete nature of
19 occurrence. Such transmissivity is not evenly
20 distributed within the section, just at
21 certain discrete zones which are typically
22 associated with bedding, bedding planes.

23 And I go back to Pine -- to Rosenthal
24 wells situation. And in my presentation

25 yesterday, I try to establish by looking at
(WATER SUPPLY, GROUNDWATER, SURFACE WATER ISSUES)

1 well log for R2, which was in my ³⁷⁹¹
2 Supplemental 80, Exhibit 80A on page S5, to
3 show that the Applicant logged the fracture,

4 not as a drill, not as a fracture, 186, with
5 substantial production of water. If I mark a
6 section then, in my exhibit, page 18 --
7 (Indicating)

8 ALJ WISSLER: Which well is that?

9 DR. MICHALSKI: It's R2.

10 MR. GERSTMAN: I think we'll make a
11 separate copy.

12 DR. MICHALSKI: (Indicating). And now
13 for this well, I can assume that the angle of
14 dip, I assume two degrees.

15 ALJ WISSLER: Between the bedding
16 planes?

17 DR. MICHALSKI: Yes, bedding plane and
18 show it. I'm simply trying to draw something
19 parallel to that line. So the same dip
20 because it says structure behaves, dips in one
21 direction here. So what we have, we have this
22 line which I also show on one of my exhibits
23 yesterday. What it does show is that wells
24 number 1, 2, 3 and Residential well number 4
25 would be along the same -- within the same
(WATER SUPPLY, GROUNDWATER, SURFACE WATER ISSUES)

3792

1 stratigraphic intervals exactly within the
2 same bedding.

3 ALJ WISSLER: And you're saying that
4 bedding plane can be identified by page S5 as
5 being at 186 feet?

6 DR. MICHALSKI: Yes.

7 ALJ WISSLER: So that 186 feet would
8 go from one strata to the next, from one plane
9 to the next; is that right? Will it cross the

10 plane at that point?

11 DR. MICHALSKI: It will cross, as I
12 indicated, it will go like this. So it will
13 have its subcrop under the Birch Creek, so it
14 is exactly what I'm trying to draw now is just
15 repeat of my figure from my Exhibit 80, what I
16 already show on page 18, so it's exactly the
17 same situation. I'm only slightly modifying
18 the dip angle. So instead of like using
19 2 degrees which would be 35, 35 feet per
20 thousand feet, so I'm using 1 degree, it will
21 be like 20 feet per thousand feet.

22 (Indicating)

23 ALJ WISSLER: Are you giving me new
24 exhibits?

25 MR. GERSTMAN: If you would like,
(WATER SUPPLY, GROUNDWATER, SURFACE WATER ISSUES)

3793

1 Judge.

2 ALJ WISSLER: When you're done here?

3 MR. GERSTMAN: Yes.

4 DR. MICHALSKI: So this would be one
5 of those what I would call transmissive
6 fractures associated with bedding. The
7 evidence for the continuity comes from the
8 pumping tests performed by the Applicant,
9 specifically response to pumping both on
10 drawdown time graph and drawdown distance
11 plots which I prepared.

12 And if we look at -- in my Exhibit 80
13 on page 11, this is a drawdown distance plot
14 which I discussed yesterday. What it does

15 show, it shows response to pumping of two
16 pumping events they conducted. They conducted
17 four. They pump R1, then when the other wells
18 were used as observation wells, so there's
19 three observation wells left which responded
20 to the pumping test, which was R1, R2, R3 plus
21 Residential well 4. And each of these wells
22 are shown as a point plotted on distance,
23 drawdown graph, and they project nicely on one
24 line, the three points. And as I mention, I
25 determine aquifer parameters based on this
(WATER SUPPLY, GROUNDWATER, SURFACE WATER ISSUES)

3794

1 situation.

2 Then the second one, I could
3 not -- the second one corresponds to
4 simultaneous pumping tests in two wells, S1
5 and S2. When I was left only with two
6 observation wells, S3 -- sorry, R3 and R5
7 -- and R4.

8 MR. GERSTMAN: Residential 4?

9 DR. MICHALSKI: Residential 4 and R3.

10 MR. GERSTMAN: Let's go back to that
11 again just to identify the wells because you
12 started to say S. I think you --

13 DR. MICHALSKI: No. R, residential
14 well. As I mentioned yesterday, this drawdown
15 distance plot is another way of analyzing
16 pumping test data, and it is much better than
17 drawdown versus log of time plots used for
18 pumping wells because it combines effects of
19 pumping in several ways together, so it allows
20 them to see the cone of depression, whether it

21 makes sense or not.

22 And as you can see for pumping test
23 number -- for the first pumping tests, those
24 three points really go along one line as it
25 theoretically should, so it indicate that the
(WATER SUPPLY, GROUNDWATER, SURFACE WATER ISSUES)

3795

1 cone of depression extends for certain
2 distance, and this distance was approximately
3 about 3,000 feet. What it means, that when
4 you go beyond 3,000 feet from the pumping
5 center within this transmissive fracture, you
6 cannot see effect of pumping during this
7 three-day pumping test because you did not
8 pump long enough. Had you pumped for a longer
9 time, then you would engage the other wells,
10 observation wells.

11 In this case, it would be probably
12 Pine Hill wells, and it is just based on
13 principle hydraulics. Because during the
14 pumping tests performed, cone of depression
15 grew and grew. It never stabilized, as
16 indicated by sustained drawdown sections.
17 And so you really need more time to see the
18 effect of pumping on other water users.

19 And I want to make this point very
20 clear, that you're claiming that there's no
21 interference of other materials. It's simply
22 artifact of pumping time which was too short
23 in relation to the problem at hand. What
24 comes handy here, maybe this test, which was
25 previously performed, not by -- I did not
(WATER SUPPLY, GROUNDWATER, SURFACE WATER ISSUES)

1 analyze this, this test.

2 MR. GERSTMAN: That represents CPC --

3 DR. MICHALSKI: This is Exhibit

4 CPC 84.

5 This is a test performed in Station
6 Road well, so it's a test performed on Pine
7 Hill water supply wells. So the pumping well
8 was Station Road well, which I'm pointing out,
9 so this is the well. And two other wells,
10 pumping wells number 1 and 2, were monitored
11 during the test as observation well, so they
12 were not pumped, they were using observation
13 well. And the distance between those two sets
14 of well is 1800 feet. So less than 2000.

15 (Indicating)

16 And as you can see on this section,
17 well PH-2 is not shown because it is very
18 close. Probably that was the reason, you
19 project it was pretty close to PH-1. So what
20 this graph show that you needed to pump for --
21 this is logarithmic time versus drawdown plot.
22 You needed to pump for about 1,000 minutes to
23 engage fracture, to engage fracture which was
24 found at 90 feet in this -- probably PH-2 well
25 by pumping well. So if you pumped a shorter
(WATER SUPPLY, GROUNDWATER, SURFACE WATER ISSUES)

1 time, you say: I see no impact. But when the
2 cone of depression reaches another fracture
3 set, another bedding plane, which is quite
4 transmissive, then this is what you get. You
5 get a very fast response after a long delay.

6 So this time delay is very important.

7 (Indicating)

8 When you pump this well, those
9 wells -- Station Road well, the other wells
10 responded after one day of pumping, distance
11 was 1800 feet. Now, when you pump those
12 wells, R1, R2, all three together, because the
13 distance is much larger and the relationship
14 is not -- you would have to pump a much longer
15 time to see this effect, but the effect will
16 surely come as indicated by this analog
17 because of the leaky nature of the system.

18 Stack aquifer means, what I tried to
19 plot here, that we have one -- this is one
20 bedding of those transmissive zone identified.
21 Another one I spent some time was at 90 feet
22 in this well, so it is about -- as you can
23 see, those two -- and I'm trying to plot it to
24 project it -- those two are not connected, so
25 you have pumping tests and give you two time
□ (WATER SUPPLY, GROUNDWATER, SURFACE WATER ISSUES)

1 of responses. One response is the well which ³⁷⁹⁸
2 intersect the same bedding fracture. It is
3 relatively fast response. But your pumping
4 can impact another system above it.

5 ALJ WISSLER: In another plane?

6 DR. MICHALSKI: In another plane,
7 after some time.

8 And when it reaches one, it actually
9 engages to it, and then it propagates quite
10 fast. My point is here, not all fractures are

11 created equal. You cannot plot all of them.
 12 In this system, you have like three sets of
 13 fracture. This is based on literature. One
 14 is parallel with bedding, that's one. Two
 15 other are perpendicular to it. It must be at
 16 right angles, so one follows a straight and
 17 the other follows -- and actually, the
 18 Applicant tried this. So one would be not
 19 necessary because it doesn't follow.

20 So right here, one would follow
 21 bedding and two are -- those which are
 22 perpendicular to bedding fracture sets, they
 23 don't go throughout the system. Normally,
 24 those fractures are ends at the bed boundaries
 25 just as you can see. Normally, the thinner
 (WATER SUPPLY, GROUNDWATER, SURFACE WATER ISSUES)

3799

1 the bed, the more densely fractured. The
 2 thicker, the most loosely fractured, greater
 3 distance the fracture, but they rarely go
 4 throughout the system. So those vertical
 5 fractures have limited extent, vertical
 6 extent. They contribute to leakage because
 7 they create communication between bedding
 8 fractures.

9 But bedding fractures, some of them,
 10 have hydraulic advantage over other fractures
 11 because they are more extensive by their very
 12 nature because they mark boundary in
 13 deposition. So when the stress relax because
 14 of some reason, say it has created a little
 15 separation, bedding separation, and this
 16 separation is larger aperture than in other

17 fracture. (Indicating)

18 And the rule of hydraulics says that
19 flow in a fracture is proportional to the
20 third power of fracture. So if you have one
21 fracture, which is only -- which has aperture,
22 envision its fracture, idealize as just
23 parallel plates and spaces in between them
24 represents aperture wedge, one has only two
25 times greater aperture than the other, so that
(WATER SUPPLY, GROUNDWATER, SURFACE WATER ISSUES)

□

3800

1 one with two times greater aperture can
2 transmit eight times more flow than other
3 fractures, and it has advantage of continuity.

4 ALJ WISSLER: Because 2 cubes is 8?

5 DR. MICHALSKI: Yes. So what it
6 means, that certain bedding fracture becomes
7 like master fracture. It automatically can
8 transmit a lot of water because of the height
9 of aperture and all other fracture becomes
10 service, because they provide flow, leakage to
11 this fracture. And this is how the system
12 works based on hydraulics.

13 But you cannot exactly say which
14 fracture is transmissive. You have to just
15 test it because not every fracture -- out of
16 the probably hundred of bedding planes of
17 fracture you see in a well, only one or two
18 become transmissive. So that is why it is
19 important to recognize existence of fractures.
20 And some of them probably serve as aquifer.

21 So what I'm saying essentially is that

22 those bedding fractures which have this
23 peculiar property, more open than other,
24 function as aquifers. But a special type of
25 aquifer with very little storage, but they
(WATER SUPPLY, GROUNDWATER, SURFACE WATER ISSUES)

3801

1 have to take water, connect -- hook to some
2 source of water. That is why if you do a
3 pumping test and your wells are located within
4 the transmissive fracture, you have a fast
5 response, and cone of depression just grows
6 and grows. And then it gets leakage into this
7 fracture. And this leakage may propagate over
8 time and impact another system as we see
9 documented in all those pumping tests.

10 Generally, you have, like, direct
11 response to pumping and indirect. Direct, you
12 can do a short-term pumping test to see
13 whether there's a connection. And you need to
14 do a very long pumping test to see impact of
15 pumping.

16 MR. GERSTMAN: Dr. Michalski, there
17 was a suggestion yesterday that the
18 methodology that you had used, that you
19 suggested using geophysics for boring to
20 calculate the characterization of boring
21 holes -- I'm sorry, I'm not saying this
22 properly -- to take the evaluation of well
23 holes, bore holes, through geophysics was some
24 academic exercise. Do you agree with that
25 evaluation?

(WATER SUPPLY, GROUNDWATER, SURFACE WATER ISSUES)

3802

1 DR. MICHALSKI: Geophysics has been
Page 128

2 around for a long, long time from the '60s
3 actually used, and it was recognized to be the
4 only method useful for fractured bedrock. If
5 you don't use bore hole geophysics, if you
6 don't even use water level measurements, you
7 are left with nothing. So this is -- you can
8 characterize the system if you see something
9 you want to see, you have proper tools. If
10 you are left without tools of hydrogeology
11 exploration, characterization, all you can see
12 is just a very generic drawing, gray mass, as
13 I say.

14 ALJ WISSLER: Those tests you talked
15 about the other day about cameras, sound,
16 whatever, there's no need to -- you don't have
17 to bore new holes already?

18 DR. MICHALSKI: No.

19 ALJ WISSLER: You can do it in the
20 present well?

21 DR. MICHALSKI: Absolutely not. They
22 are standard. You can hire a geophysical
23 contractor or hire a probe and do it yourself.
24 You just go down -- and it is automatically --
25 there's a logging system, the entire logging
(WATER SUPPLY, GROUNDWATER, SURFACE WATER ISSUES)

1 system. There's something visual needed, such ³⁸⁰³
2 as a digital camera. But you can use only
3 downhole TV, and it is not expensive. Another
4 set of tools contains temperature
5 conductivity.

6 what's your objective? If you have

7 big holes like this somewhere here and this
8 hole penetrates, intersect two transmissive
9 zone or three. That's what happens. And each
10 of these zones is at a different pressure.
11 You have a crossing. So that hole, open bore
12 holes becomes like a pumping well, which is at
13 the same time injection, so you have coming
14 something from above, and drawdown.

15 And the water level you see represents
16 like kind of composite of water levels in all
17 this fracture. So because of this mixing
18 effect, if you go with temperature
19 conductivity probe, you will see that water
20 entering from a transmissive fracture into a
21 bore hole have a different chemistry slightly
22 in orientation or temperature, therefore you
23 get an inflexion on your log. It changes
24 chemistry or mineralization of water. And
25 this inflexion is informative like little
(WATER SUPPLY, GROUNDWATER, SURFACE WATER ISSUES)

3804

1 change, little thing. And such inflexion
2 identifies location of such a transmissive
3 fracture. And this works very well. It
4 doesn't cost a lot.

5 ALJ WISSLER: It identifies where the
6 boundaries of the bedding --

7 DR. MICHALSKI: No, where the bedding
8 plane is located in the holes.

9 And when you go with downhole TV, you
10 can see seepage above the hole where the true
11 water level is because those holes are big.
12 Some of those transmissive zone don't provide

13 many water, therefore all you see is a wet
14 wall, water just dripping down the wall. It
15 happens.

16 But once you start using tools, your
17 perception of that is completely different.
18 You just cannot say, oh, this thing goes in
19 200 feet or so because there's no basis.
20 Sometimes it dips, sometimes -- then you can
21 see whether they go at the same stratigraphic
22 elevation. You need to test this hole, that
23 hole, the other hole. You will see their
24 location. Can you connect them along the
25 bedding plane or not? So you do your
(WATER SUPPLY, GROUNDWATER, SURFACE WATER ISSUES)

3805

1 hypothesis that they are transmissive
2 fracture.

3 And then what remains to be done is
4 to test whether they are truly connected
5 hydraulically. And this connection test is
6 done, you start pumping in one well and you
7 see very quick response in other wells which
8 are connected directly, which is intercepted.
9 If they're not directly connected, you have to
10 wait sometimes to get those.

11 So the system can be characterized,
12 and it can be characterized in a very
13 inexpensive -- it doesn't cost a lot of money,
14 and it's very practical, what I'm suggesting.
15 It's not a research project.

16 Do we need it here? That's the
17 question. And my answer is yes because this

18 aquifer is very stressed. It's not aquifer
19 hole -- two little watershed. What we have is
20 a ridge. If you look from a bird's view, the
21 area, in fact, is just a narrow valley, a
22 little topographic divide and another valley,
23 so you have a very small area in which your
24 cone of depression develops, and it develops
25 quite fast.

□ (WATER SUPPLY, GROUNDWATER, SURFACE WATER ISSUES)

3806

1 You have one pumping center here,
2 another pumping center here, and you are going
3 to pump, not for three days as the Applicant
4 did and then extrapolate it all, but it's
5 going to be pumping indefinitely. So really
6 you have what we call a sink hole or
7 depression of drawdown. You have impact on
8 other water users. And ultimately, your water
9 will come from surface water from the stream.
10 This is how it's -- in the long run, the
11 recharge will determine how much water you
12 actually can pump on a sustained basis.

13 MR. GERSTMAN: Dr. Michalski,
14 yesterday, I believe -- I'm sorry, this
15 morning, it appeared that the Applicant agreed
16 with your characterization in trying to
17 dismiss the use of transmissivity data, the
18 Applicant agreed that, in fact, there's a
19 large variation in the ability of the
20 fractures to transmit water, the same fracture
21 may not appear elsewhere, and basically the
22 Applicant was referring to various physical
23 parameters as being variable and

24 heterogeneous, as I believe you previously
25 characterized the aquifer here. would you
(WATER SUPPLY, GROUNDWATER, SURFACE WATER ISSUES)

1 agree with that characterization? 3807

2 DR. MICHALSKI: It is heterogenous
3 definitely, as I told from the very beginning,
4 and it is not only my saying, but it is based
5 on what is known south and north of this area.
6 Because this is heterogeneous in fracture, it
7 doesn't mean it cannot be characterized,
8 because it is not crystal in bedrock. It is
9 not made of, like, granite with fracture type.
10 There's certain order in it.

11 Question of transmissivity; whether it
12 makes sense, I'll go with parameters. I'm
13 going back to my drawdown distance plot. The
14 first test, the uppermost line, which is based
15 drawdown versus distant graphs when only one
16 well, R1, was pumped, 77 gallons, and three
17 others were used for observation. As you can
18 see, you have a nice line, and this line
19 determines the size of the cone of depression,
20 assuming that it will be circular because
21 that's the assumption. It's a logarithmic
22 curve, like a champagne-glass type of curve.
23 And I could determine transmissivity and
24 storage coefficient. What is the meaning of
25 this? This transmissivity is average for the
(WATER SUPPLY, GROUNDWATER, SURFACE WATER ISSUES)

1 tested area, for the whole area. And because 3808
2 I know that this fracture at 186 acted as a

3 principal aquifer, what I can say, that most
4 of this transmissivity is related to that
5 fracture.

6 Of course, when you go along this
7 bedding fracture, transmissivity may change
8 from one location to another in real world
9 because it is not a parallel plane, but there
10 are some contact between upper and lower
11 rocks. So as a result, the flow is in bedding
12 and is more tortuous, but nevertheless, it is
13 a privilege hydraulically located. So this
14 average tells me something, and this
15 transmissivity value is low. The storage
16 coefficient -- I determined the storage.
17 Because the whole average for the whole -- is
18 extremely low, that is why the value. That is
19 why this cone of depression has to grow for
20 long distances, because as you can see from
21 other type of plot, there was no recharge
22 indicated because the pumping rate -- whatever
23 recharge occur was not able to keep pace with
24 the pumping rate.

25 Every test they performed, and if you
(WATER SUPPLY, GROUNDWATER, SURFACE WATER ISSUES)

3809

1 look at drawdown versus log of time graphs,
2 none of them shows stabilization when you show
3 time in logs. Everybody is just -- either
4 negative boundary or downward is the end. So
5 what it means, it means that the whole system
6 was overpumped, that if you keep going on
7 beyond three days, you will pay price later
8 on. You will see boundary.

9 MR. GERSTMAN: Dr. Michalski, so you
10 would -- it's your opinion that the data
11 concerning storativity and transmissivity is
12 actually useful for evaluating the
13 availability of the water resources for this
14 application?

15 DR. MICHALSKI: Yes, they are useful.
16 You can look at things from two perspectives.
17 One perspective is a well perspective. Can
18 the well give us this production in the short
19 time. And I think that the Applicant and DEC
20 were preoccupied with this aspect. Simple,
21 can this well, simultaneous pumping, can we
22 get this -- yes, we can. And I'm not denying
23 that. It's only can you sustain it in the
24 long term.

25 And what would be consequences of
(WATER SUPPLY, GROUNDWATER, SURFACE WATER ISSUES)

□ 1 this? And to answer this question, you have ³⁸¹⁰
2 to look in the entire flow system, into this
3 whole little watershed. And regardless from
4 what perspective you say, was it from general
5 hydrogeologic evaluation, little valley,
6 little overburden deposit. It is not -- no,
7 actually hydraulically nothing. Or you extend
8 your boundaries because your conclusion is it
9 cannot be sustained, and the impact on this
10 will be significant.

11 MR. GERSTMAN: Dr. Michalski --

12 DR. MICHALSKI: So this is what should
13 be done because of potential impact and poor

14 water resources of this watershed, is that the
15 question of good stewardship require you to
16 look at the system, at the whole watershed,
17 not only whether I can get this rubber stamp.
18 Okay, you can, just because of this apparent
19 stabilization. So it's clearly insufficient,
20 and it invites problems.

21 MR. GERSTMAN: You've looked at the
22 pump tests that have been referred to
23 previously by the Applicant, the simultaneous
24 R1, 2 and 3 that was done in April of this
25 year. There were several done in prior years;
(WATER SUPPLY, GROUNDWATER, SURFACE WATER ISSUES)

1 an individual R1 pump test, an individual R2³⁸¹¹
2 pump test and a simultaneous R1 and R2 pump
3 test. In your opinion, do they show
4 stabilization?

5 DR. MICHALSKI: No, they don't. And
6 actually, yesterday, I went through some of
7 those as examples. And on my slide in
8 Exhibit 80, if you look at slide number 9, you
9 see a time drawdown, drawdown versus log time,
10 the graph of the pumping wells. So this is
11 for R1. And clearly, the first negative
12 boundary was achieved after 100 minutes of
13 pumping. This is a negative boundary. It was
14 the first indication that your pumping rate is
15 still high with regard to recharge you are
16 getting from that. And then it follows a
17 straight line. There was no diversion to the
18 right, as I indicated on those theoretical
19 plot one slide before. So on page 8, so

20 recharge stabilization would require your data
21 to bend upward, so that is an indication. But
22 it is recharge at a given rate. (Indicating)

23 So I'm not saying you can't find a
24 rate at this site for which recharge would
25 keep pace for it, but it won't be 122 gallons
(WATER SUPPLY, GROUNDWATER, SURFACE WATER ISSUES)

1 a minute as previously proposed, or definitely³⁸¹²
2 not 149 gallons per minute the Applicant now
3 proposes because the last line is insane in
4 this situation.

5 ALJ WISSLER: Dr. Michalski, you heard
6 earlier today that justification for the
7 simultaneous pump tests for R1, R2 and R3,
8 that the reason that there was a higher rate
9 of pumping was to get water out of the system
10 in order to find out whether or not pumping at
11 lower rates could be sustainable. Does that
12 make any sense to you?

13 Is it consistent with sound science
14 and technology?

15 DR. MICHALSKI: No. I would say what
16 is consistent when you start with higher rate,
17 just to get the effect of partial recovery
18 when you lower the rate. So you get temporary
19 relief, temporary appearance of drawdown
20 stabilization. It is well-known
21 hydraulically. So if you have confined
22 aquifer and you lower -- choke it slightly.
23 As I indicated, that such a constant drawdown
24 test should go beyond three days, and then you

25 would get a true pumping rate at this drawdown
(WATER SUPPLY, GROUNDWATER, SURFACE WATER ISSUES)

3813

1 to keep it stabilized.

2 MR. GERSTMAN: You examined the
3 recovery time for the simultaneous R1, R2, R3
4 pump test and the simultaneous R1, R2 test,
5 and you also heard the discussion of the
6 concept of mining water you had mentioned
7 yesterday, the Applicant came back and
8 discussed it today. Can you relate the
9 concept of recovery after a pump test or
10 during the end of the pump test to the concept
11 of mining water, what either the difference
12 is, whether one correlates to the other. Can
13 you explain that to the Judge?

14 DR. MICHALSKI: Yes. So in every test
15 conducted at the Rosenthal wells, and there
16 are four of them, time of recovery was much
17 longer than the pumping time. This is a clear
18 indication that the drawdown, that the
19 recharge was not sufficient. It is a
20 classical example of overpumping for a given
21 hydrogeologic situation.

22 If you look at the situation from the
23 outside, not from your pumping well, and it
24 happened in other situations. So you have a
25 case of overpumping, mining means -- and we
(WATER SUPPLY, GROUNDWATER, SURFACE WATER ISSUES)

3814

1 had this situation after three days of
2 pumping, three days of pumping -- one week
3 recovery sometimes was needed to get a
4 recovery. If you continue with this pumping

5 indefinitely, okay, or say for a year, and if
6 another pumping center here, and I believe
7 that there can be a connection between those
8 two, I just didn't go through this in my
9 rebuttal. So what happens is that either the
10 system will be completely just -- your pumping
11 rate -- everybody will have reduced pumping
12 rate because the recharge is clearly
13 insufficient to sustain this pumping rate.
14 Not only at one center, but at several.

15 MR. GERSTMAN: I show you Applicant's
16 Exhibit 103, I believe it is -- it's
17 Crossroads Exhibit 104. There's a depiction
18 of recharge areas that are shown on
19 Crossroad's Exhibit 104 and those are surface
20 water recharge areas; is that correct,
21 Dr. Michalski?

22 DR. MICHALSKI: This is area for
23 springs, that is only for different springs.
24 But it is based, those areas are based on
25 assumption that -- just topography which is
(WATER SUPPLY, GROUNDWATER, SURFACE WATER ISSUES)

□
1 only controlling factor. It doesn't take into
2 account stratigraphic structure aspect,
3 because as we heard yesterday that is not very
4 relevant. So to date, the testimony of
5 Applicant change, so this recharge area should
6 be reevaluated. And thank you for reminding
7 me because when I look at this cross section
8 now, I notice some discrepancy -- in Pine Hill
9 area, it's the only area which I had a chance

3815

7-30-04crossroads_myap
10 to visit. So when we go to Railroad Spring,
11 Railroad Spring just above Bonnie hills --

12 MS. BAKNER: Bonnie View?

13 DR. MICHALSKI: Bonnie Spring. I'm
14 referring to -- yeah. So Bonnie here. And
15 there's a railroad bend, and just at the bend,
16 you have water issuing, coming from the
17 bedrock. And it's probably -- (Indicating)

18 was it you who testified today and
19 said water was coming from the rock at this
20 elevation? Classical contact spring, seepage
21 from the bedding plane just going down the
22 rock face and just going into a ditch. And it
23 was exactly at this location which is that
24 bedrock railroad here. (Indicating)

25 And what I see in this cross section
(WATER SUPPLY, GROUNDWATER, SURFACE WATER ISSUES)

3816

1 is overburden, and it is quite thick
2 overburden, so I'm really surprised how it
3 happened when you have site-specific
4 knowledge.

5 And if you look at the location of
6 this, here is the spring coming from the
7 sandstone, and if you look at the Fleischmanns
8 spring which are here, there's another
9 railroad cart and springs, just if I may show
10 Judge. (Indicating)

11 ALJ WISSLER: So you would say that a
12 straight line -- are you saying that a
13 straight line drawn between those two springs
14 would define a bedding plane?

15 DR. MICHALSKI: They seem to be at the
Page 140

16 same horizon, bedding plane, or the same
17 stratigraphic position. That doesn't mean
18 that they're connected because the system is
19 three-dimensional up there just beyond the
20 section. But what it means, it means that
21 this would be one of those stack aquifers
22 which manifested because you don't
23 have -- spring causes drainage from center
24 area of these bedding fractures. So it's a
25 concentrated effort rather than seepage all
(WATER SUPPLY, GROUNDWATER, SURFACE WATER ISSUES)

3817

1 over the place.

2 MS. BAKNER: Your Honor, a point of
3 information. Steve, the railroad that
4 Dr. Michalski is pointing to there --
5 Dr. Michalski, if you could point to that
6 word, "railroad" --

7 DR. MICHALSKI: (Indicating)

8 MS. BAKNER: Steve, what does that
9 mean?

10 MR. TRADER: That's the railroad.
11 That's not Railroad Spring. The cross
12 section --

13 DR. MICHALSKI: Yeah, but
14 this -- because you have Pine Hill water
15 supply over here, Bonnie hill is next to it,
16 and I'm referring to the map, which is -- and
17 I've been in this area so I rely on my memory.
18 And exactly there, that was the location, so
19 there was not overburden. (Indicating)

20 MR. GERSTMAN: You can draw it here.

21

DR. MICHALSKI: Okay.

22

MR. GERSTMAN: So if we can just

23

clarify, in terms of the recharge areas, you

24

would say that while they may reflect surface

25

water drainage area, they bear no relationship
(WATER SUPPLY, GROUNDWATER, SURFACE WATER ISSUES)

□

1

to what's happening under the earth under the ³⁸¹⁸

2

ground?

3

DR. MICHALSKI: Yes. Not necessarily.

4

MR. GERSTMAN: Let me ask you about

5

the issue of, I think it's electroconductivity

6

that you've mentioned yesterday, in the issue

7

of Fleischmanns well number 3. Do you need

8

some documents for that?

9

DR. MICHALSKI: Yes.

10

MR. GERSTMAN: I'm referring to

11

Applicant's Exhibit 51D.

12

DR. MICHALSKI: Yeah. And I'm

13

referring to Appendix C, which is field water

14

quality data, which shows measurements, field

15

measurements of electrical conductivity. In

16

this case was specific conductance, so it was

17

electrical conductivity corrected to a

18

standard temperature for all those monitoring

19

points, springs and wells in Fleischmanns

20

area. And what it shows, that well number 1,

21

typical conductivity values are on the order

22

of less than 100.

23

MR. GERSTMAN: Showing the Judge the

24

exhibit you just referred to, 51D, Appendix C,

25

the first page after the --

(WATER SUPPLY, GROUNDWATER, SURFACE WATER ISSUES)

□

1 MS. BAKNER: Okay, wait a second. We
2 can't find it.

3 MR. GERSTMAN: Appendix C, dated
4 November 2000.

5 DR. MICHALSKI: So it has very
6 anomalous electrical specific conductance
7 values of 950 and 996. So the first number
8 refers to the start of step drawdown pumping
9 in this shallow, 70 feet well. And the latter
10 through end of the pumping -- so you see that
11 by end of the pumping, during which probably
12 couple of volumes of well and storage were
13 evacuated, you have 966 unit which is milli --
14 microsiemens [sic] per centimeter.

15 what it means, there's a very close
16 correlation between specific conductance and
17 dissolved solids because it's an ion
18 concentration and ionic concentration with
19 water which determines this value. So this
20 would correspond to total dissolved solids on
21 the order of 6, 700 milligrams per liter based
22 on typical relationship, so this is clearly
23 anomalous.

24 Now, water sample was collected
25 allegedly from this well. And if you go some
(WATER SUPPLY, GROUNDWATER, SURFACE WATER ISSUES)

1 20 page later into Appendix D, there is a
2 laboratory results for this well which says --
3 which is entitled, "Fleischmanns Catch well
4 number 1."

5 ALJ WISSLER: Dated November 27th,

6 2000.

7 DR. MICHALSKI: And I looked,
8 collected by --

9 ALJ WISSLER: Which one do you want me
10 to look at?

11 DR. MICHALSKI: Fleischmanns Catch
12 well number 1. It's after 3.

13 So the results of this analytical
14 sample are totally inconsistent with what we
15 know about the well in the sense that it shows
16 total dissolved solids, 55 milligrams per
17 liter, so at least ten times more than it's
18 supposed to be based on this very strong
19 correlation. Total dissolved -- suspended
20 solids, 11, so some suspended. And if you
21 look at the top, information collected
22 by -- missing, received by "SW". It could be
23 just an abbreviation.

24 MR. GERSTMAN: To the lab.

25 DR. MICHALSKI: To the lab. So it's
(WATER SUPPLY, GROUNDWATER, SURFACE WATER ISSUES)

1 really -- and the title is not Fleischmanns
2 well number 1, but Catch well number 1.

3 The Applicant offered testimony
4 yesterday, said it was because of iron. It
5 was excessive iron turbidity. This is not a
6 good explanation because iron precipitates at
7 concentration of 3.3 milligrams per liter when
8 you have iron in water. So concentration of
9 iron could not explain the difference. And
10 suspended solids generally do not contribute
11 to electrical conductivity. So I think that

3821

12 the explanation is not --

13 ALJ WISSLER: So iron would be at
14 about 5.0 milligrams per liter or 3.0 as
15 opposed to 5?

16 DR. MICHALSKI: No, no, no. I'm not
17 questioning the determination for iron. I'm
18 talking about explanation offering --

19 ALJ WISSLER: I understand.

20 DR. MICHALSKI: But, no, normally,
21 it's a standard for iron of like 0.3,
22 whatever, is based on aesthetics [sic] -- so
23 if you have excessive iron, you open your top
24 and you have staining. But it cannot, at this
25 level, it cannot contribute to the salinity.
□ (WATER SUPPLY, GROUNDWATER, SURFACE WATER ISSUES)

1 Iron is never a compound which causes problem. 3822

2 MR. GERSTMAN: So it's your opinion
3 that the conductivity is a result of the
4 salinity as opposed to the explanation offered
5 yesterday?

6 DR. MICHALSKI: Yes. I could -- but
7 those -- the conductivity measurements and lab
8 results do not square up, so it's clearly the
9 first thing I would flag out. They're very
10 inconsistent.

11 MR. GERSTMAN: Let me ask you a
12 question about the issue of recharge from
13 precipitation. There was a suggestion
14 yesterday that, and I hope I didn't hear this
15 wrong, that an average rainfall of 40 inches
16 in this area, and I think there's been some

17 discussion about that, but I understood the
18 Applicant to say that 25 percent of that is
19 available for recharge. Is that your opinion?

20 DR. MICHALSKI: No.

21 MR. GERSTMAN: What do you base your
22 opinion on?

23 DR. MICHALSKI: There are several ways
24 of determination which none of them perfect.

25 The best is based on stream flow measurement,
(WATER SUPPLY, GROUNDWATER, SURFACE WATER ISSUES)

□

1 an estimate of baseflow; how much. You know ³⁸²³
2 your size of your watershed, small one; you
3 know how much flow is at the base. I mean
4 it's a very low flow. An assumption is that
5 this base constitutes groundwater
6 contribution. So if you divide it by the size
7 of the area, you get amount of actual recharge
8 which equals stream flow, baseflow, and this
9 is a method used by USGS, and everything else
10 is a guess.

11 At this location, the recharge is not
12 controlled by the amount of rainfall. Because
13 we have low permeability to start with, the
14 recharge is controlled by capacity of bedrock
15 to take, to absorb water, infiltrate water.
16 So low permeability -- recharge cannot be
17 have. Even if you have rainfall, it would be
18 rejected. And recharge cannot occur during
19 wintertime when ground is frozen.

20 MR. GERSTMAN: So would you say, in
21 your opinion, 25 percent of precipitation is
22 available for recharge is a gross

23 overestimation?

24 DR. MICHALSKI: It's a gross

25 overestimation. In my testimony, I indicated
(WATER SUPPLY, GROUNDWATER, SURFACE WATER ISSUES)

1 that it was based on estimate, based on your³⁸²⁴
2 calculation done in like 15 other small
3 watersheds in the region. It's a true value
4 for summer based on -- works out to be like
5 0.5 and 1 inch. I could double-check this but
6 it's in my previous testimony. And it is
7 based on stream flow measurement. It's a real
8 number.

9 MR. GERSTMAN: I'm going to refer you
10 to CPC Exhibit 80. I believe that's where you
11 included the table -- it might have been in
12 the supplement. Let me just check.

13 I refer you to page 16 of CPC 80 which
14 refers to the WP1 response data. Your
15 indication was that the drawdown of a half
16 foot was due to simultaneous pumping of R1,
17 R2, R3. You heard the response today of the
18 Applicant. Does that change your opinion in
19 any way?

20 DR. MICHALSKI: No, it does not. The
21 behavior, if you look at the whole record, the
22 behavior of this WP1, shallow well point
23 during -- before, during and subsequent to the
24 test, it's clearly anomalous if you compare it
25 with other well points and its record prior to
(WATER SUPPLY, GROUNDWATER, SURFACE WATER ISSUES)

1 pumping. So I think the record speaks for³⁸²⁵

2 itself.

3 MR. GERSTMAN: You heard an offer of
4 proof concerning the issue of the water budget
5 analysis, and I believe there was a submission
6 today, CPC Exhibit 122, which goes through the
7 purpose of the water budget analysis and what
8 it can do and can't do -- Applicant's 122, I'm
9 sorry.

10 On page 2, first full paragraph,
11 there's a sentence that says, "The water
12 budgets were not designed to predict the
13 quantity, quality or yield of the water
14 resources available to the project." In your
15 evaluation of availability of water for this
16 project, how would you distinguish the
17 analysis that you would want to perform given
18 the climactic changes in the seasons with
19 respect -- and the water budget analysis that
20 was submitted as Applicant's 122? Do you need
21 to look at this?

22 DR. MICHALSKI: I understand from what
23 you've read, the objective of the water budget
24 analysis was not to estimate recharge to
25 groundwater system.

□ (WATER SUPPLY, GROUNDWATER, SURFACE WATER ISSUES)

1 MR. GERSTMAN: I think that was the ³⁸²⁶
2 objective.

3 DR. MICHALSKI: That was the
4 objective? It was not.

5 MR. GERSTMAN: Not to evaluate
6 quantity, quality and yield of water, but in
7 fact, just to review whether or not the

8 project would increase or decrease recharge.
9 It was limited to the recharge issue.

10 DR. MICHALSKI: So it was limited to
11 the high plateau area effect of the golf
12 course, but it's not -- they stated that it's
13 not relevant, the objective was not to
14 estimate the use of groundwater sources.

15 MR. GERSTMAN: And you had mentioned
16 to me earlier that you consider the evaluation
17 an annualized effort, and what your concern
18 is, and I believe you have stated this
19 yesterday, is the concern of the dryer seasons
20 of the year and the impact the project would
21 have in the dryer seasons of the year and in
22 drought conditions. Was that a fair
23 assessment?

24 DR. MICHALSKI: Yes, because this late
25 summer, fall is a peak season in Catskills --
(WATER SUPPLY, GROUNDWATER, SURFACE WATER ISSUES)

□

1 I love New York. So probably they would be ³⁸²⁷
2 full occupancy. It's a time when recharge is
3 very limited. So you have low flow in the
4 brook, so the demand for water would be the
5 greatest. I believe the full 150 gallons
6 would have to be utilized at that time, so
7 irrigation needs are the greatest. Flow and
8 impact to the brook, to Birch Creek, would be
9 the greatest because of environmental impact.
10 And the system, because it's a small watershed
11 and small groundwater system, it responds very
12 fast to changes.

13 Remember that if you have a rainfall
14 event, a big one, after a week, it's
15 actually -- its effect is completely
16 dissipated because the flow rate can drop by
17 two orders of magnitude. So you cannot --
18 keep in mind, something from low country, big
19 aquifer system, and apply your thinking to
20 this very peculiar on-the-top-of-the-water
21 kind of situation.

22 MR. GERSTMAN: In your evaluation of
23 pump tests, is it standard for your profession
24 to use semi-log or linear plots?

25 DR. MICHALSKI: Semi-log.
(WATER SUPPLY, GROUNDWATER, SURFACE WATER ISSUES)

3828

1 MR. GERSTMAN: why is that?

2 DR. MICHALSKI: Because semi-log
3 allows you to see the pumping test data in the
4 real light and evaluation, determination of
5 aquifer parameters and determination whether a
6 recharge occurs or not, so determination of
7 aquifer boundaries. And all those
8 determination of aquifer boundaries are done
9 normally at a later time, while aquifer
10 parameters should normally be determined based
11 on area data. And because of relationship
12 with passage of time -- if I can refer to my
13 -- in Exhibit 80, slide number 9, which shows
14 a typical drawdown for this site, drawdown
15 versus log of time response. This is for a
16 pumping well. What we can see is that
17 theoretically, where you have the sloping
18 section, sloping lengths of the arm of the

19 drawdown curve, that to have the same so
20 drawdown between, say, 100 and 1,000, meaning
21 decrease by certain amount -- or drawdown
22 increase by certain amount -- to have the same
23 increase, you have to pump for another log
24 cycle. That means from 1,000 to 10,000
25 minutes. It is because of this logarithmic
(WATER SUPPLY, GROUNDWATER, SURFACE WATER ISSUES)

3829

1 curve. When it grows, it's a certain
2 measurement. So that it's still growing
3 volumetrically, but distance-wise, it
4 increases slightly. So you have to transform
5 it for log scale to see those things.

6 You don't need to take observations as
7 frequently as those. You can skip some of
8 those. But you do need to continue
9 observation for another logarithmic site.
10 That is why they ask me a question: How long?
11 As I say, you have a test for three days, just
12 go to the 30 days, which would be
13 logarithmic -- one log cycle further, so that
14 you would grow your data extending only by
15 this amount but you would have a better
16 judgment for your approximation.

17 MR. GERSTMAN: And in these
18 circumstances, you're not suggesting that a
19 30-day test would be applicable across the
20 board, but in these circumstances, it would be
21 a reasonable test to do based upon the claims
22 that the Applicant has made concerning no
23 impact to surrounding water users and the data

24 that shows, in fact, there is no stabilization
25 occurring with some of those pump tests?
(WATER SUPPLY, GROUNDWATER, SURFACE WATER ISSUES)

3830

1 DR. MICHALSKI: Correct. Where the
2 Applicant admitted that there's really lack of
3 stabilization -- if the Applicant really
4 evaluated data in the sense it should, in my
5 opinion, then you would not need to extend the
6 test because you could follow the analysis of
7 where the impact would fall. Because
8 Applicant says there would be no impact, but
9 evidence is to the contrary.

10 what I suggest, the only way to
11 resolve those things is just to extend the
12 test, then you would see whether you would
13 impact the other users or not. This is
14 because of differences of opinion.

15 MR. GERSTMAN: Thank you,
16 Dr. Michalski.

17 I want to point out for the record a
18 few things. While we don't believe that
19 there's sufficient information for DEC or the
20 Commissioner to determine that the permit can
21 be issued under the appropriate standards of
22 the Environmental Conservation Law, if a
23 permit were to be issued, we would hope that
24 the replacement water supplies for those
25 impacted wells would be supplied for free and
(WATER SUPPLY, GROUNDWATER, SURFACE WATER ISSUES)

3831

1 would not be a charge against the property
2 owners who suffer that damage without
3 regard -- we can't predict what the cost might

4 be to replace those water supplies that are
5 currently functioning and viable. And we
6 think a permit condition ought to be added by
7 DEC that reflects that.

8 we also believe that the statement
9 that there are some limitations on growth
10 within the developable area of either project
11 is, in fact, not what turns out to be the case
12 showing the map that's been referred to by Ms.
13 Bakner. We believe that a condition ought to
14 be imposed that would restrict any further
15 development within the developable area based
16 upon the significant concerns we have about
17 the available water resources.

18 We also want to point out that in
19 Exhibit C and D to CPC petition, while we have
20 not offered proof today concerning the issue
21 of precipitation data, we have suggested that
22 the use of Slide Mountain records was
23 inappropriate based upon the evaluation of
24 other comparable records. Slide Mountain
25 would disproportionately reflect a higher rate
(WATER SUPPLY, GROUNDWATER, SURFACE WATER ISSUES)

1 of precipitation because of its location and ³⁸³²
2 elevation. We don't believe that that is an
3 appropriate use.

4 We also note that for stormwater
5 evaluations done by the Applicant, they didn't
6 use Slide Mountain because that was the higher
7 precipitation range. So we are not quite sure
8 which one the Applicant wants to go with. We

9 think that there are concerns with respect to
10 slide Mountain for these purposes, offering at
11 this point suggestions as to what might be
12 appropriate.

13 Judge, can we go off the record in
14 terms of scheduling for a second?

15 ALJ WISSLER: Fine. Take ten minutes.

16 MR. GERSTMAN: Thank you.

17 (3:20 - 3:33 P.M. - BRIEF RECESS
18 TAKEN.)

19 MR. GERSTMAN: We have a few more
20 issues with Mr. Rubin and also Mr. Schaedle
21 who you have been introduced to previously.
22 Start with Mr. Rubin, if we could.

23 Mr. Rubin, refer you to exhibits, I
24 believe they're CPC 82 and 82A. Mr. Rubin,
25 you heard the Applicant's criticism of your
(WATER SUPPLY, GROUNDWATER, SURFACE WATER ISSUES)

1 exhibits. what is your opinion of whether the ³⁸³³
2 exhibits that you prepared represent the
3 actual circumstances with respect to the
4 simultaneous pumping test that was done for
5 R1, R2 and R3 vis-a-vis stabilization?

6 MR. RUBIN: I believe that I have
7 correctly depicted, especially in Figure 82A,
8 the blowup of Exhibit 82, that the combined
9 pumping test at wells R1, R2 and R3 has not
10 stabilized. In fact, I think what we're
11 seeing here is what we might term perhaps,
12 "apparent stabilization" that was presented by
13 Crossroads just a little while ago.

14 when we talk about the term "apparent
Page 154

15 stabilization," that would be something that
16 occurs as the cone of depression expands and
17 deepens more slowly. Because we increase with
18 horizontal expansion, a larger volume of
19 stored water becomes available. And
20 short-term apparent stabilization, which would
21 result from that, can lead some observers to
22 conclude that stabilization occurred. In
23 other words, the cone of depression develops
24 more slowly as more and more of the aquifer is
25 tapped.

□ (WATER SUPPLY, GROUNDWATER, SURFACE WATER ISSUES)

1 So what we're looking at in terms of ³⁸³⁴
2 the very last few data points, which were
3 discussed by Crossroads in the end of
4 Exhibit 82A, stated that those points were
5 evidence that, in fact, things had stabilized.
6 First, if that was really true, and we had
7 only a few data points perhaps represented,
8 maybe half an hour, then that certainly
9 wouldn't be a six-hour stabilization, would
10 it? So what we need to do is recognize that
11 in the broader scope of the expansion of the
12 cone of depression, that this couple of
13 points, whether they happen to be the last,
14 you know, 10, 30 minutes, whatever -- not
15 doing much drawdown -- that's just a blip in
16 the overall decrease in the amount of water --
17 in the amount of drawdown that's going on.

18 So I would say that my Exhibit 82A
19 quite accurately depicts the fact that the

20 renewed aquifer drawdown is occurring and will
21 continue to occur, and I think the only way to
22 -- and we can talk about this. If you wanted
23 to know, what you do is you go out and you run
24 the test at your constant rate that you're
25 selecting -- whether that's 63 gallons a
(WATER SUPPLY, GROUNDWATER, SURFACE WATER ISSUES)

3835

1 minute -- go out, start your test at that
2 constant drawdown that you want, 63 gallons
3 per minute. Run it until, in fact, you do or
4 you do not see a stabilized cone of depression
5 as indicated, not on arithmetic plotting, but
6 rather on a semi-logarithmic plot, as is
7 routinely done.

8 Many hydrogeologists out in the field
9 want to have a good idea: should I end my
10 test? Have I hit the equilibrium conditions?
11 They can do a quick plot in the field, not
12 with an arithmetic plot, but rather on a
13 semi-log plot.

14 So I would say if you want to know the
15 answer, just go out and do it, do it right.
16 Do it at the rate you plan on using for the
17 duration of the test. Let's see if the water
18 is there. Run it out, do it.

19 MR. GERSTMAN: Now, Mr. Rubin, you
20 examined the pump tests that we've been
21 talking about, specifically the individual R1
22 and R2, combined R1 and R2, and combined
23 simultaneous R1, R2 and R3?

24 MR. RUBIN: Yes.

25 MR. GERSTMAN: In your examination of

1 those, were they able to achieve stabilization
2 in any of those tests, in your opinion?

3 MR. RUBIN: No. In fact, if you look
4 at all the exhibits that were presented to
5 your Honor earlier, it showed these tests
6 plotted both on arithmetic paper and on
7 semi-log paper. We see, in a way, the
8 arithmetic plot is almost deceiving. It tends
9 to show much more, not totally horizontal end
10 to the graph, but it looks much more
11 horizontal. And to point out perhaps, if you
12 want an example, here is the graph,
13 simultaneous testing of wells R1, R2, on a
14 linear scale. We see --

15 MR. GERSTMAN: Excuse me for a second.
16 we're looking at Appendix 7 and we're looking
17 at the -- let's see.

18 ALJ WISSLER: Appendix B?

19 MR. GERSTMAN: I had Exhibit F, but
20 you're probably right. Exhibit F, the
21 simultaneous testing report.

22 ALJ WISSLER: Simultaneous testing of
23 wells R1 and R2, well 1 linear? That's what
24 you're looking at?

25 MR. RUBIN: Yes, R1-linear.
(WATER SUPPLY, GROUNDWATER, SURFACE WATER ISSUES)

1 still we don't see anything that looks
2 horizontal at all, even in the arithmetic
3 plot, although it certainly looks much more
4 horizontal than we would see if we would

5 portray it the way it is normally done on a
6 semi-log plot shown two pages forward.

7 Here we see, at the end of the test, a
8 significant increase in the slope of the plot
9 indicating that the rate at which water is
10 being pumped from the aquifer far exceeds the
11 amount or volume of water that is coming into
12 the cone of depression. So if we would keep
13 going at this rate, with time, we would
14 completely dewater the aquifer surrounding the
15 well.

16 what would this look like, this plot,
17 if -- we've been talking about, has a well
18 stabilized? First, I would comment, we are
19 looking in these plots at a graph that
20 represents the area around the well hole.
21 Ideally -- this isn't really what we want to
22 look at. What we really want to look at is a
23 good, complete, comprehensive set of data, not
24 from the pumping well, but preferably from one
25 or more observation wells. Because out in the
□ (WATER SUPPLY, GROUNDWATER, SURFACE WATER ISSUES)

1 observation wells, we're getting out into the ³⁸³⁸
2 aquifer beyond impacts of the actual
3 production pumping well, that we get a real
4 handle on what's going on in the aquifer. So
5 ideally, rather than looking at these plots of
6 the well itself, this pumping, we want to look
7 at that observation well.

8 So there, if we were to have
9 stabilization conditions, certainly we
10 couldn't use arithmetic plot because six

11 hours, sometimes even a day is minimal in
12 order to see whether we have stabilization.
13 So we would want to look at the semi-log plot,
14 and we would want to see -- what would it look
15 like if the well is stabilized. It would
16 look -- it would come down like the normal
17 steep slope we see here, and it would
18 literally flatten out.

19 A good example, if you ever want to
20 refer to a textbook, classic example, here's a
21 textbook used by a lot of hydrogeologists, one
22 of many. This one is called Groundwater wells
23 by Driscoll, Second Edition, 1986. On
24 page 225, it's just as an example. You can

25 just draw a straight line on any of the plots
(WATER SUPPLY, GROUNDWATER, SURFACE WATER ISSUES)

1 we've been looking at. You can see here, here ³⁸³⁹
2 is an area where we haven't achieved
3 equilibrium at the beginning of the plot, much
4 like the beginning of our plots. Then the
5 line pretty much comes across. That's what a
6 stabilized well looks like. And again, I want
7 to point out --

8 MR. GERSTMAN: Judge, we will provide
9 a copy to counsel and to your Honor.

10 MR. RUBIN: Again, we should
11 differentiate, ideally since we're looking at
12 a major water supply, we don't really want
13 only the graph of the well itself that's being
14 pumped.

15 MR. GERSTMAN: Could you show the

16 Judge that.

17 ALJ WISSLER: That's logarithmic?

18 MR. RUBIN: As almost all the plots
19 are here. That's how it's done.

20 ALJ WISSLER: So when the data begins
21 to run parallel to the X axis like that, a
22 point of equilibrium has been reached -- a
23 point of equilibrium has been reached where
24 the rate at which you're pumping is the rate
25 at which recharge is flowing back into the
(WATER SUPPLY, GROUNDWATER, SURFACE WATER ISSUES)

3840

1 aquifer?

2 MR. RUBIN: Same amount --

3 ALJ WISSLER: Same amount I'm pulling
4 out is coming back in?

5 MR. RUBIN: That's exactly right. And
6 when that happens --

7 ALJ WISSLER: That is the number that
8 I know is the steady state that I can pull out
9 of this aquifer.

10 MR. RUBIN: Steady state equilibrium
11 conditions, right. We don't have it in the
12 last six hours of data from any of these
13 tests. It's not best plotted on an arithmetic
14 scale because we really can't see it. There's
15 apparent stabilization that might be inferred
16 by the last few points -- certainly not even
17 six hours, is unknown.

18 what is the basis of this six hours of
19 stabilization? I haven't a clue. And I don't
20 know when they're using the six-hour
21 stabilization number, what is the basis of it?

22 who came up with the method? Is it approved
23 by the National Groundwater Association? Were
24 there hydrogeologists involved in it? why
25 does it conflict with standard texts like this
(WATER SUPPLY, GROUNDWATER, SURFACE WATER ISSUES)

3841

1 used by hydrogeologists in the National
2 Groundwater Association? Where is this method
3 from? where is it documented? why are we
4 using a draft standard? And the data itself
5 does not at all show any kind of
6 stabilization.

7 So at this point I would say I would
8 be uncomfortable, if it was me that was hired,
9 to say there's enough water for this
10 project -- I would sure hate to hang my hat on
11 it without actual testing at a constant rate
12 for a longer period of time to know what was
13 going on. You can't change the rate in the
14 middle and say that that applies to an initial
15 rate, goes faster and then a reduced rate
16 somehow applies. This is a big enough project
17 that you should do the test for the rate you
18 plan on using.

19 ALJ WISSLER: Or do the test -- if you
20 can't achieve equilibrium at the rate you want
21 to pull water, know the rate you can pull
22 water; is that what you're saying?

23 MR. RUBIN: Exactly, sure. Many
24 municipal water supplies never achieve
25 equilibrium. It's not to say you have to
(WATER SUPPLY, GROUNDWATER, SURFACE WATER ISSUES)

3842

1 achieve equilibrium, but you have to have the
2 data that can support how much water is
3 available in terms of the transmissivity
4 factors and storativity of the aquifer. Some
5 aquifers never achieve equilibrium that are
6 used by municipalities. But when you do a
7 prediction of how much water you draw down for
8 a certain period of time, you make the
9 determination that it may be sufficient, but
10 you need the data to back it up.

11 MR. GERSTMAN: Judge, do you have any
12 further questions for Dr. Michalski or
13 Mr. Rubin?

14 ALJ WISSLER: No.

15 MR. GERSTMAN: I think, Judge, we want
16 to ask Mr. Schaedle to identify some of the
17 issues that have been represented by
18 Crossroads at this point, and we want to
19 clarify the record on some of those issues.
20 It won't take very long.

21 Judge, I'd like to introduce you again
22 to Mr. Rich Schaedle.

23 MR. SCHAEDLE: There were several
24 points brought up yesterday and this morning
25 about the Pine Hill water supply. I
(WATER SUPPLY, GROUNDWATER, SURFACE WATER ISSUES)

3843

1 specifically didn't address very much about
2 this earlier, but since it was brought up
3 yesterday, I want to clarify several points.

4 First of all, in the 1970 DEC permit
5 number 5889 that was referred to yesterday by
6 Delaware Engineering, while it does not set a

7 takings limit as was stated, that's true, it
8 does reference the fact that the system used
9 approximately 300,000 gallons per day in the
10 summer, and only about 25,000 gallons per day
11 in the winter. This would seem to indicate
12 that the 300,000 gallons per day in the summer
13 was not due to leakage or anything else. It
14 was actual demand. Otherwise, if it was
15 leakage, you would have it all year round.

16 Furthermore, just for the record
17 again, historically, the Pine Hill water
18 system has and did use all the sources; that
19 is, Bonnie View Springs, Crystal Springs,
20 Station Road well, Station Road Springs, the
21 old Pine Hill well number 1, throughout the
22 years 1950 through 1991 that I can directly
23 relate to.

24 MR. GERSTMAN: That's in times of
25 drought?
□ (WATER SUPPLY, GROUNDWATER, SURFACE WATER ISSUES)

1 MR. SCHAEDELE: In times of drought, in³⁸⁴⁴
2 times of special needs, fire, something like
3 that, when the hydrants did work in Pine Hill
4 which only lasted until about 1960 or so and
5 they became obsolete. So I just want to point
6 out we did use all those sources.

7 In a letter to the DEC submitted by
8 Whiteman, Osterman & Hanna --

9 MR. GERSTMAN: That's Crossroads
10 Exhibit 117?

11 MR. SCHAEDELE: Right. It was

12 7-30-04crossroads_myap
presented yesterday, I believe. It states
13 that the Town of Shandaken zoning restrictions
14 provide minimal opportunity for development in
15 the hamlet. The same letter includes
16 calculations of water use for vacant units of
17 450 gallons per day. First of all, the Town
18 of Shandaken zoning law allows hotel
19 developments in Housing/Residential, which is
20 found in Section 116-10.

21 MR. GERSTMAN: Referring to the Town
22 of Shandaken Town Code, and I believe --

23 ALJ WISSLER: I think that's in.

24 MR. GERSTMAN: That's part of the
25 record, yes.

(WATER SUPPLY, GROUNDWATER, SURFACE WATER ISSUES)

1 MR. SCHAEDLE: So it does provide for ³⁸⁴⁵
2 significant more growth than what the LA study
3 in this letter identifies.

4 Furthermore, the LA study incorrectly
5 in Exhibit -- Attachment C misrepresents the
6 zoning in Pine Hill in this exhibit, which is
7 Attachment C to the August 2001 letter,
8 August 7, 2001 letter. It lists "Hamlet
9 Residential" for the area south of Main Street
10 along Elm Street and over to Route 28.
11 whereas a map, which is a little hard to read
12 but which we will submit as a document,
13 clearly shows that the area is zoned "Hamlet
14 Commercial" which allows hotel development.

15 And not only is it just east -- or
16 south of Main Street, it is also north of Main
17 Street. In other words, it's both sides of

18 Main Street. So the development of Pine Hill
19 could be a lot larger and demand a lot more
20 water and bring it back to the levels that it
21 was, up to 1970, let's say, when the demand
22 was 300,000 gallons per day. So I just want
23 to point out that, again, there's
24 misrepresentation in the document presented by
25 the Applicant.

(WATER SUPPLY, GROUNDWATER, SURFACE WATER ISSUES)

3846

1 The estimates of water consumption
2 provided in all of the Crossroads' materials
3 are really just estimates, and they use
4 different estimates in different documents.
5 The ranges run from, anywhere from 60,000-odd
6 gallons per day to 113,000 gallons per day.
7 Given that the Ulster County Department of
8 Health required the Pine Hill sewer plant,
9 again I think I mentioned this, had to be
10 built to serve a maximum historical use of
11 4,000 people, and that was referenced
12 yesterday again by Delaware Engineering, it
13 seems reasonable that Pine Hill should also
14 have a water supply to feed that sewer plant
15 with their wastewater.

16 MR. GERSTMAN: The growth accommodated
17 by the wastewater treatment plant should also
18 be equivalent growth that's accommodated by
19 available water supply?

20 MR. SCHAEDELE: Right. And in my
21 earlier statement, I said the average usage
22 was 75 gallons per day -- per person per day,

23 was 75 gallons per day per person. Yesterday,
24 I think Delaware Engineering referenced it as
25 100 gallons per day per person, which means we
(WATER SUPPLY, GROUNDWATER, SURFACE WATER ISSUES)

3847

1 don't need 300,000 gallons, we need
2 400,000 gallons to bring us back to that 1930
3 standard.

4 A final point I want to make, and this
5 wasn't referenced before by myself, but
6 several times Ten State Standards has been
7 mentioned as a standard for water supply
8 systems. It is my understanding that Ten
9 State Standards states that two independent
10 sources have to provide water to a system such
11 that if one source is taken out of service,
12 the other source will be able to provide
13 water.

14 Now, using Rosenthal well 1, 2 and 3,
15 yesterday I think Ms. Bakner stated that,
16 obviously, with the simultaneous pumping of
17 wells R1, 2 and 3, it shows that there's some
18 interconnectivity because they had to lower
19 the level of pumping from when they were
20 pumping one well to the pumping of all three
21 wells. If that's the case, in a layman's
22 viewpoint, I feel that the wells are
23 interconnected. If one well becomes
24 contaminated and has to be taken out of
25 service, it seems to me that all wells would
(WATER SUPPLY, GROUNDWATER, SURFACE WATER ISSUES)

3848

1 be contaminated, and therefore, there's no
2 source of water for the project, except for
Page 166

3 silo A which would require backup and can only
4 produce 10 gallons per minute in a dry period.
5 So that's all I have to say.

6 MR. GERSTMAN: Judge, actually,
7 Mr. Schaedle has one more thing to say.

8 MR. SCHAEDELE: Okay. I have one more
9 thing to say. Sorry.

10 MR. GERSTMAN: That's just to
11 reiterate, Judge, that in figuring out the
12 available water for Pine Hill Water Company,
13 and I believe we have previously provided
14 through his testimony -- I don't remember what
15 date that was -- a statement concerning the
16 correction of the data concerning the
17 connectivity of Station Road Spring.

18 MR. SCHAEDELE: Station Road Spring and
19 silo B.

20 In the water supply permit that was
21 issued in 2002, September of 2002, it lists
22 the silo -- Station Road Spring having
23 28 gallons, and has the potential of bringing
24 on silo B with another 28 gallons. I think
25 when you were -- I wasn't with you, but when
(WATER SUPPLY, GROUNDWATER, SURFACE WATER ISSUES)

□

1 you were on your tour, you saw Silo B and you ³⁸⁴⁹
2 saw Station Road Spring. Station Road Spring
3 does not have any water in it since silo B has
4 been dug. I mean, it has a residual amount of
5 water, maybe a half gallon to a gallon per
6 minute during wet periods. During dry
7 periods, it goes completely dry, and all the

8 water flows into Silo B, so there's only one
9 source there for water. It's 28 gallons per
10 minute during your dry period, and it's
11 either -- it's Silo B. Station Road Spring is
12 not a legitimate source of water. We have
13 referenced this to the DEC in the past when we
14 were fighting -- challenging the water supply
15 permit, and they ignored us.

16 Can I just ask counsel a question?

17 ALJ WISSLER: Yes.

18 (MR. SCHAEDELE & MR. GERSTMAN
19 CONFERRING PRIVATELY.)

20 MR. SCHAEDELE: What I'm saying here is
21 that the permit for Pine Hill water system is
22 inaccurate. It does not reflect that there's
23 only one source of water of 28 gallons there.

24 MR. GERSTMAN: And that's been
25 conceded at this point by Alpha Geoscience?
(WATER SUPPLY, GROUNDWATER, SURFACE WATER ISSUES)

1 MR. SCHAEDELE: Yeah. They admit that ³⁸⁵⁰
2 Silo B and Station Road Spring are from the
3 same source.

4 Furthermore, they also -- as I stated,
5 they reduced the minimum flow on Bonnie View
6 Springs to 67 gallons per minute from
7 85 gallons per minute, so that reduced --
8 between those two, it reduced the flow for
9 Pine Hill of 66,000 gallons per day.

10 MR. GERSTMAN: That's available water
11 resources for Pine Hill.

12 MR. SCHAEDELE: One final point I would
13 like to make. I realize the DEC receives --

14 when we make comments to the DEC about
15 fallacies such as Joe Habib's pump statistic
16 reports --

17 MR. GERSTMAN: There was an
18 earlier -- obviously, we heard from Mr. Habib
19 and now heard the response from the Applicant
20 concerning Mr. Habib's statements indicating
21 that they were responded to in the context of
22 the DEC issuance of the Pine Hill Water
23 Company permit in 2002, which was subsequently
24 challenged in Supreme Court. And I think what
25 Mr. Schaedle is getting to here, and he can
(WATER SUPPLY, GROUNDWATER, SURFACE WATER ISSUES)

1 supplement what I'm saying, is that there have³⁸⁵¹
2 been FOIL requests to the Department of
3 Environmental Conservation for information
4 concerning comments and responses that have
5 been made in response to Mr. Habib's.

6 As far as Mr. Schaedle can tell, and
7 he will let you know this, none of that was
8 ever provided to the Pine Hill Water Coalition
9 in their FOIL records. So whether that record
10 obviously exists -- or existed someplace -- it
11 did not exist as far as the public was
12 concerned in terms of a response to a FOIL
13 request; is that a fair evaluation?

14 MR. SCHAEDLE: That's a very fair
15 evaluation. But it also seems that the flow
16 of information was one way, from us to the DEC
17 to the Applicant. But it never came back to
18 us, any response to our challenges, especially

19 7-30-04crossroads_myap
when there was an error in the calibration
20 going back to that infamous part. I'm not a
21 lawyer, it just -- I'm frustrated that we
22 never got any responses on these changes. And
23 it's the first chance I've had to vent it, so
24 I apologize.

25 ALJ WISSLER: That's okay.
(WATER SUPPLY, GROUNDWATER, SURFACE WATER ISSUES)

3852

1 MR. GERSTMAN: Thank you,
2 Mr. Schaedle.

3 Judge, we would request that the
4 protocol and the guidance that the Department
5 of Health has relied upon to approve the
6 protocol submitted by Crossroads be provided
7 for the record, if it hasn't been already.

8 ALJ WISSLER: Is Mr. Dunn here?

9 MS. KREBS: He had to leave, your
10 Honor. Whatever is available, we will
11 provide. I'm not sure exactly which document.

12 MR. GERSTMAN: We're not talking about
13 the protocol and approval, we're talking about
14 the backup documents that supports that
15 purpose.

16 MS. KREBS: I'm not sure there is one
17 document, Marc, but I will check.

18 MR. GERSTMAN: Thank you very much.
19 You've got any further questions?

20 ALJ WISSLER: No.

21 MS. BAKNER: If we could have five
22 minutes.

23 ALJ WISSLER: You got it. Five
24 minutes.

25

(1:02 - 1:14 P.M. - BRIEF RECESS
(WATER SUPPLY, GROUNDWATER, SURFACE WATER ISSUES)

3853

1 TAKEN.)

2

MS. BAKNER: Your Honor, if it's okay,

3

we'd like to respond to Mr. Schaedle first,

4

just to go forward. I want to make it clear

5

that we provided all the information regarding

6

the Pine Hills water supply system for the

7

following two purposes; one, we need to show

8

in this proceeding that our use of Silo A will

9

not have an adverse effect on the adjoining

10

Pine Hills water supply system, we feel we

11

have done that. And with the permit condition

12

that DEC has put in place with respect to the

13

usage limitations upon Silo A, we're confident

14

that no water that we will withdraw from

15

Silo A will have any impact on the Pine Hills

16

water system.

17

Mr. Gowan, do you share that

18

confidence? Is that the case?

19

DR. GOWAN: Yes.

20

MS. BAKNER: The reason, additionally,

21

that I sort of dredged up all the history with

22

respect to the permit modification, which was

23

previously issued, is because several times

24

during the course of the Issues Conference,

25

people have raised issues which have already

(WATER SUPPLY, GROUNDWATER, SURFACE WATER ISSUES)

3854

1 been asked and answered in the context of that

2

previous proceeding. As you will see from our

3

brief, your Honor, all of these issues have

4 been addressed. And under the legal concept
5 of res judicata, they're not open for
6 reexamination in this proceeding.

7 We sympathize with Mr. Schaedle if he
8 never received our responses to his comments,
9 but from the Applicant's perspective, we have
10 responded a lot and we really feel that we
11 have put Mr. Habib's comments to rest and done
12 everything that we possibly can to make sure
13 that they understand the difficulty that we
14 had with the flow meter.

15 Mr. Schaedle has again attempted to
16 interject an issue with respect to the water
17 company, the Pine Hills water district, if you
18 will, water supply, and that is in connection
19 with the information that we included
20 regarding the relationship between Silo B and
21 Station Road well. Neither of these sources
22 are we proposing to use for the resort.
23 Nothing that we do with Silo A has any effect
24 on Silo B or Station Road well.

25 In our alternatives evaluation, we
(WATER SUPPLY, GROUNDWATER, SURFACE WATER ISSUES)

3855

1 talked about the sources in the Pine Hills
2 water district because by law, we're required
3 to look at alternative public supplies even
4 though we have no intention of purchasing
5 water from the town as an out-of-district user
6 as we're proposing to do so with the Village
7 of Fleischmanns.

8 Steve Trader, if you could please, can
9 you explain the question that Mr. Schaedle had

10 regarding Silo B and Station Road well.

11 MR. TRADER: Yes. Station Road
12 Spring.

13 MS. BAKNER: I'm sorry.

14 MR. TRADER: There may be some
15 confusion on how Station Road Spring, Silo B,
16 how these spring flows are measured.

17 Basically, once upon a time, there was
18 this spring called Station Road Spring.
19 Remnants of it are still in place.

20 Silo B was installed. This intercepts
21 a portion of the water that would have flowed
22 to Station Road Spring. Silo B now has a pipe
23 that comes out. We saw this in our field
24 trip. The discharge comes out to a ditch that
25 runs along Station Road.

(WATER SUPPLY, GROUNDWATER, SURFACE WATER ISSUES)

1 Station Road Spring at times has flow³⁸⁵⁶
2 coming out across the ground and entering that
3 same ditch. So at other times of the year,
4 not only do you have Silo B contributing water
5 to that ditch, but you have Station Road
6 Spring contributing water. You also have
7 water that's coming down the ditch that's
8 already in the ditch -- flow coming down from
9 further uphill.

10 We measured the flow in the ditch
11 above and below the point where these springs
12 enter that ditch, so we subtract out what's
13 already coming down the ditch from the lower
14 measurement. Then we take the difference

15 between what we measure downstream. We know
16 that whatever the difference is between that
17 and the total of Silo B flow and Station Road
18 Spring flow is, and that would tell us how
19 much of that -- knowing what Silo B discharge
20 is to the pipe, we could subtract it out and
21 find out what Station Road Spring is producing
22 still.

23 The lowest period that we measured
24 that flow was in August 30th of 2001. The
25 discharge pipe of Silo B was a yield at 27.5
(WATER SUPPLY, GROUNDWATER, SURFACE WATER ISSUES)

3857

1 gallons per minute.

2 ALJ WISSLER: Referring to Table 1A?

3 MR. TRADER: Referring to Table 1A.

4 At the same time, we measured the
5 ditch flow downstream from where Silo B was
6 discharging. We measured that flow to be
7 28 gallons a minute. Therefore, the total
8 flow from Station Road Spring is 28 gallons
9 per minute. You could say it was a half
10 gallon a minute, but there was no seepage seen
11 at that time coming out of the bank where
12 Station Road is. So we have 27 1/2 gallons
13 per minute measured in August from Silo B,
14 downstream in the ditch we measure 28 gallons
15 per minute.

16 So that's the reasoning for saying
17 that the total, what we call Depot Spring,
18 which is the combination of Silo B and Station
19 Road Spring -- those two together form Depot
20 Spring -- the low flow was 28 gallons per

21 minute.

22 MS. BAKNER: Mr. Trader, Applicant's
23 Exhibit 56, which is the modified Pine Hill
24 water supply permit, are those numbers
25 reflected in that permit?
(WATER SUPPLY, GROUNDWATER, SURFACE WATER ISSUES)

1 MR. TRADER: Yes. I believe it says ³⁸⁵⁸
2 28 gallons a minute.

3 MS. BAKNER: All right. So, your
4 Honor, we're answering this because
5 Mr. Schaedle had a question and we wanted to
6 answer it. It's irrelevant to this
7 proceeding, but we are trying.

8 The questions that we'd like to answer
9 now are really comments that Dr. Michalski has
10 made in sort of attempted rebuttal at the
11 positions that we took late yesterday and
12 earlier today. First of all, Steve --
13 Dr. Gowan, both Mr. Gerstman and Dr. Michalski
14 have argued that you made some sort of
15 concession regarding the geological analysis
16 and the recharge of R1, R2 and R3. Is that
17 your recollection?

18 DR. GOWAN: No. It's not a
19 concession. I represented, and it's my belief
20 that the recharge for those wells are not
21 getting a direct recharge from the stream at
22 the well field, but our recharge for the water
23 coming into that well field is coming from
24 both groundwater from the uphill side, it's
25 from groundwater moving down the valley, as
(WATER SUPPLY, GROUNDWATER, SURFACE WATER ISSUES)

1 well as various areas in the valley where
2 surface water is able to infiltrate into the
3 ground. So it's all them together. I
4 wouldn't call that concession.

5 MS. BAKNER: In terms of the point
6 that you gentlemen made about irrigation
7 yesterday, I don't think I heard you make the
8 point that irrigation was going to add
9 enormous extra quantities of water to the
10 system. To the contrary, I think you made a
11 much more subtle point regarding keeping the
12 soil moist and able to continue to allow for
13 infiltration. Can you explain that further?

14 DR. GOWAN: Yes. The water budget --
15 the first thing you have to do to get recharge
16 to the groundwater, percolation of the
17 groundwater, is you have to have 100 percent
18 saturation. It's sort of like if you water
19 plants at home and you have a water pot. If
20 you water it from the top, you pour water in
21 and you don't see any water appearing above,
22 all of a sudden it starts to reach the point
23 of saturation where water appears at the
24 bottom of the pot. At that point, almost
25 every bit that you pour at the top from then
(WATER SUPPLY, GROUNDWATER, SURFACE WATER ISSUES)

1 on is going to appear at the bottom.

2 It's the same thing here. During the
3 summer without irrigation, the soil dries up
4 and you've got to get a period of rainfall,
5 and usually that happens later in the year in

6 the fall months before you get saturation
7 sufficient to start moving down the water
8 through the soil. But with irrigation, you're
9 maintaining a more closer to full saturation
10 throughout the dryer months because you want
11 to maintain the vegetation growing and you
12 want to maintain a good consistency for your
13 soil, which is important for golfing. So it's
14 that higher level of saturation, percent of
15 saturation, that gets you closer to that point
16 where when you do have rainfall, it doesn't
17 take as long for you to start getting that
18 recharge of percolation.

19 MS. BAKNER: Okay. Now, in your water
20 budget analysis, I know you said several
21 times, but I want to make sure it's clear for
22 the record; in your water budget analysis, in
23 an effort to be conservative, you did not add
24 any inputs from irrigation, as I understand
25 it; is that correct?

□ (WATER SUPPLY, GROUNDWATER, SURFACE WATER ISSUES)

3861

1 MR. TRADER: That's correct.

2 MS. BAKNER: So none of the irrigation
3 gallonage was included as part of your pre-
4 and postdevelopment recharge analysis?

5 MR. TRADER: No, it was not included.

6 MS. BAKNER: All right. And just for
7 the record, did your recharge analysis focus
8 somehow exclusively on the golf courses, or
9 did it focus on the entire developed area?

10 MR. TRADER: Focused on the entire

11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16

developed area.

MS. BAKNER: Okay. So Dr. Michalski's statement that you were just looking at postdevelopment relative to the golf courses was, in fact, not correct?

MR. TRADER: And actually, not just the entire developed area but the entire project boundary is what we...

MS. BAKNER: So the area to be developed and disturbed and the area that won't be developed and disturbed?

MR. TRADER: That's right.

MS. BAKNER: Okay. In terms again of the Slide Mountain data, your sensitivity analysis which we submitted as Applicant's (WATER SUPPLY, GROUNDWATER, SURFACE WATER ISSUES)

3862

Exhibit 122, you tested your sensitivity analysis to see if the use of the Slide data had somehow given you false results, and what were the results after using the Belleayre Mountain rainfall data?

MR. TRADER: The results showed that there was going to be a very slight increase in recharge to the groundwater system.

MS. BAKNER: What does that tell you? How is that relevant to your understanding of the hydrogeological regime?

MR. TRADER: That would tell me that even during a theoretical drought situation at the location, that the development of this project would not cause a decrease in the available recharge to groundwater.

17 MS. BAKNER: Sam, earlier today you
18 indicated to me that the results of your water
19 budget analysis in terms of its ability to
20 predict the hydrology in the regime was very
21 precise. Can you give me an example of how
22 you found that to be predictive?

23 DR. GOWAN: When we looked at that and
24 just generally looked at the area of the
25 spring recharge areas, which we didn't
(WATER SUPPLY, GROUNDWATER, SURFACE WATER ISSUES)

1 specifically do the water budget for there, ³⁸⁶³
2 but looking at the general kinds of numbers we
3 were coming up with for the water budget, we
4 saw that the discharges from those spring
5 areas appeared to match fairly well with the
6 amounts of groundwater that we would expect to
7 be yielded from those areas.

8 MS. BAKNER: So your long study of
9 this area and your analysis in terms of the
10 water budget, in addition to the flow data and
11 all the empirical data you collected over the
12 years, would lead you to believe that you have
13 correctly evaluated the regime?

14 DR. GOWAN: Yes.

15 MS. BAKNER: All right. To go back to
16 the fractures here, Mr. Trader, I know you
17 wanted to address this specifically.
18 Dr. Miculcheck portrayed this cross section --

19 MR. GERSTMAN: Dr. Michalski.

20 MS. BAKNER: Michalski, sorry.

21 Dr. Michalski portrayed this cross section as

22 some level of mumbo-jumbo, and I guess what I
23 would like you to do is show how the fractures
24 that are on there relate to your well boring
25 logs or whatever information that you
(WATER SUPPLY, GROUNDWATER, SURFACE WATER ISSUES)

3864

1 collected through actual tests.

2 MR. TRADER: Sure. This isn't
3 something we just drew together with a
4 paintbrush. The locations of all these wells
5 are fairly accurate based on the topographic
6 map, and as best we know where all the wells
7 are located, the depths are correct, the depth
8 to bedrock is correct, where we know that
9 information from drilling logs. The Ski
10 Center wells, we have that information. Pine
11 Hills -- PH-1, we have that information.
12 Station Road well, we have that information,
13 depth to bedrock. The well field at
14 Rosenthal, Residential well 3, we have the
15 information on that one, as far as depth to
16 bedrock. Also the geology that's portrayed
17 here is representative of the geologic logs
18 that are available for each of these wells.

19 On the Fleischmanns side, up on the
20 divide area, we have the Coachhouse well [sic]
21 and we have the Rashad well. Those depths are
22 accurate. I've estimated what the mantle of
23 till thickness would be, knowing what we know
24 from the various literature that's out there.

25 These Fleischmanns wells here are at the
(WATER SUPPLY, GROUNDWATER, SURFACE WATER ISSUES)

3865

1 correct depth. Fleischmanns well number 1 is
Page 180

2 70 feet deep, 200 feet deep for Fleischmanns
3 well 2, and Fleischmanns well 3 is 410 feet
4 deep. (Indicating)

5 As far as the fractures go, I
6 generally tried to portray what is shown in
7 the Reynolds and Heisig publications that have
8 been submitted. As far as the Rosenthal
9 wells, I actually located -- I just put on
10 there -- I don't know the exact orientation of
11 these fractures, okay. I kind of tried to
12 follow what Heisig and Reynolds showed. But
13 wherever a fracture is intersecting one of our
14 wells or any well that we have information on,
15 I have actually shown a fracture at that
16 depth. The 186-foot fracture that keeps being
17 referred to is located on here as well.
18 (Indicating)

19 Just because I don't show one of these
20 fractures extending to another well or
21 extending any certain distance, that doesn't
22 mean they're not connected in some way. The
23 well field R1, R2 and R3 are certainly
24 connected. I don't necessarily show -- well,

25 I do in this case -- I have a fracture coming
(WATER SUPPLY, GROUNDWATER, SURFACE WATER ISSUES)

3866

1 down here and there's another fracture that
2 adjoins up with it. We know we have a
3 connection with Residential well 4.
4 (Indicating)

5 How do we move water from well 4 area
6 out down towards the well field? Just because

7 I'm not showing a continuous fracture going
8 there obviously doesn't mean that it's not
9 occurring. You've got to remember that this
10 is just a slice through the earth. There's a
11 three-dimensional aspect to this. These
12 fractures can extend out this way. There can
13 be another connection coming over here. We
14 just don't know. (Indicating)

15 DR. GOWAN: I don't know if he is
16 making this clear. It doesn't have to be a
17 single fracture connecting those wells. It
18 can be one fracture going a short distance,
19 connecting with a vertical fracture that
20 connects with another horizontal fracture.

21 ALJ WISSELER: You made it clear,
22 Steve.

23 MR. TRADER: Okay. Probably I'd like
24 to point to this table here as well as the
25 fracture here. (Indicating)
(WATER SUPPLY, GROUNDWATER, SURFACE WATER ISSUES)

1 MS. BAKNER: Yes, that will be good. 3867

2 MR. TRADER: That's a new exhibit, I
3 suppose.

4 MR. RUZOW: We'll have to mark it.

5 ALJ WISSELER: Applicant's 126.

6 ("WELLS AND FRACTURE YIELDS" RECEIVED
7 AND MARKED AS APPLICANT'S EXHIBIT NO. 126,
8 THIS DATE.)

9 MS. BAKNER: Steve, where does this
10 Table of Wells and Fracture Yields -- from
11 what information is it derived?

12 MR. TRADER: The information here is
Page 182

13 derived from the actual geological logs that
14 were contained in the reports for these wells.
15 Alpha Geoscience is the geologist that was on
16 site for wells R2, R3 and PH-1 and PH-2. We
17 are the ones who logged where the fracture
18 depth were, it was not the driller. R1, in
19 fact, was Titan Well Drilling. Alpha
20 Geoscience was not present for that drilling
21 investigation and the installation of that
22 well. That comes from the Titan well log.

23 MS. BAKNER: Okay. And that's for R1
24 only?

25 MR. TRADER: That's for R1 only.
(WATER SUPPLY, GROUNDWATER, SURFACE WATER ISSUES)

1 The rest of these on that upper table ³⁸⁶⁸
2 there all come from the geologic logs that
3 were contained in Alpha Geoscience's reports.

4 MS. BAKNER: Okay.

5 MR. TRADER: I'd just like to point
6 out that this fracture in R2 at 186 feet, the
7 one that's shown to be 66 gallons per minute.
8 (Indicating)

9 Now these gallons per minute are
10 simply a blow test by the driller which was
11 explained, I think, by Dr. Michalski. When
12 they are drilling, whatever depth they're at,
13 they're blowing air down there to help lift
14 out the cuttings which come out in the water.
15 They don't come blasting out of the air.
16 There's water in the well, and the water
17 brings the cuttings out.

18 So they can stop at any one point and
19 measure if they know how much they're putting
20 in there. And they can measure how much we're
21 getting out as far as water. So the
22 66 gallons per minute at 186 feet is what that
23 blow test revealed.

24 238 to 240 feet, what that is showing
25 isn't that the whole thing was 40 gallons per
(WATER SUPPLY, GROUNDWATER, SURFACE WATER ISSUES)

1 minute, that's the difference. So you have ³⁸⁶⁹ 66
2 gallons per minute, plus 40, that's
3 106 gallons per minute. You're picking up an
4 additional 40 gallons per minute right there.
5 This is just on a blow test. It's not
6 necessarily going to be exactly what you're
7 going to get in a pumping test. We didn't
8 pump at those rates. (Indicating)

9 So this fracture that was at 186 feet
10 in well R2, I have shown that right here at
11 the approximately 186 feet, I have drawn a
12 fracture through there. Admittedly, I don't
13 know the exact orientation of that fracture.
14 (Indicating)

15 ALJ WISSLER: Is that labeled?

16 MR. TRADER: No, it's not. But
17 there's a black line going through there, and
18 if you're going to measure from the surface
19 down to that black line, it's approximately
20 186 feet. Below that, if there's one that's
21 estimated to be between 238 to 240 feet,
22 somewhere in that range, and that's also shown
23 on here. (Indicating)

24 ALJ WISSLER: Let me ask you that:

25 All those fracture lines that you show there
(WATER SUPPLY, GROUNDWATER, SURFACE WATER ISSUES)

1 are to scale, laid out from some data source?³⁸⁷⁰

2 MR. TRADER: No. The data source from
3 R1, R2 -- I'm only pointing out the ones that
4 I specifically located just where to intersect
5 a representative fracture. These are at R1,
6 R2 and at PH-1. Those are the only three
7 locations that I have a specific idea where
8 that fracture was, because we were at the site
9 and we knew what depth we were.

10 The rest of the fractures --

11 ALJ WISSLER: But those aren't
12 indicated specifically?

13 MR. TRADER: I could put down here
14 186 feet. (Indicating)

15 ALJ WISSLER: In other words -- all
16 I'm saying, is when you drew that line on that
17 99B, when you drew that line, you said: You
18 know what, that's the 186-foot line, I'm going
19 to remember that line. Is that what you're
20 saying?

21 MR. TRADER: When I drew this line on
22 here, I purposely drew it to intersect the
23 well at 186 feet. (Indicating)

24 DR. GOWAN: That's a scale drawing,
25 your Honor.
(WATER SUPPLY, GROUNDWATER, SURFACE WATER ISSUES)

1 MR. TRADER: This is to scale, the³⁸⁷¹
2 depth is to scale, and so is the horizontal,

3 but the fractures are merely representative of
4 what is known in the area to the south and to
5 the north --

6 ALJ WISSLER: Where I see a fracture
7 line intersecting a well, that's based upon
8 well data that you have?

9 MR. TRADER: Only at three locations.

10 MR. RUZOW: Where you were present and
11 observing the boring taking place?

12 MR. TRADER: Where we were present.
13 So these are at PH-1, R1 and R2. The rest of
14 the fractures --

15 ALJ WISSLER: Is there a reason why
16 you didn't label that on this?

17 MR. TRADER: No reason. I just wanted
18 it to be as accurate as I could make it.

19 MR. RUZOW: Based on the available
20 information.

21 MR. TRADER: If I knew there was a
22 fracture there and I didn't put one, someone
23 would say: How come you didn't put a fracture
24 at 186 feet? So I have one there.

25 I know that these other wells go
(WATER SUPPLY, GROUNDWATER, SURFACE WATER ISSUES)

1 across fractures because they make water, so I ³⁸⁷²
2 showed these fractures on here. (Indicating).

3 MS. BAKNER: So you tried to make your
4 cross sections as realistic as possible, and I
5 guess what I would like to get back to now
6 with Dr. Gowan is, we hear again that we have
7 these transmissive fractures that are going to
8 tie the Rosenthal wells, going to tie the Pine
Page 186

9 Hill wells, going to go all the way through
10 the mountain and over to Fleischmanns, and
11 it's going to mean that everybody is trying to
12 use everybody's else water and so there
13 wouldn't be enough.

14 Can you address that again as
15 specifically as you can.

16 DR. GOWAN: That's very unrealistic,
17 and we know that based on, for one thing, the
18 wells that Steve has placed on the Highmount
19 area where they're very low yielding wells, I
20 don't believe we know the fracture depth in
21 those wells, but that's telling us that's a
22 very, very tight rock, very, very low
23 productivity as far as the fractures go.

24 Now, there was another statement that
25 Dr. Michalski made and that is he's suggesting
(WATER SUPPLY, GROUNDWATER, SURFACE WATER ISSUES)

1 that there's a fracture that connects Railroad ³⁸⁷³
2 Spring across Highmount to the Fleischmanns
3 Spring. Now, if that was the case, then we
4 wouldn't have water coming out of the spring
5 up that dip out at Railroad Spring. That
6 wouldn't exist. He's talking about this
7 permeable fracture going all the way through.
8 well, that water would go to the west if that
9 was the case.

10 And the reason that doesn't work is
11 something that we discussed before, and that
12 is as you get into the core of that hill, the
13 weight of the overlying rock is going to

14 tighten up and hold those horizontal fractures
15 together. They're going to close that
16 aperture. And we heard earlier testimony
17 about the wider it is, that how much the
18 dimensional increase in ability to flow.
19 Well, they get pretty tight when they get at
20 depth in those higher elevations.

21 MS. BAKNER: Dr. Michalski said that
22 your conceptualization of this or your
23 understanding of this cannot explain the high
24 elevation springs. Can you address that?

25 DR. GOWAN: Yes. As a matter of fact,
(WATER SUPPLY, GROUNDWATER, SURFACE WATER ISSUES)

3874

1 I think that the record will reflect when I
2 was discussing this earlier, I specifically
3 talked about those springs at the higher
4 elevation, and we observed those during the
5 site walkover, particularly when we walked
6 wildacres. We started up at the springs and
7 walked down and the water coming from the
8 springs flowed on the surface water and then
9 disappeared in the subsurface. And then they
10 would come out again, you would see springs
11 downslope. And in the previous discussion, I
12 said that that is because you're hitting those
13 tighter, shallier zones causing these contact
14 springs to appear. So it's that -- all that
15 same water that's coming down the hill,
16 popping out of the springs and going back into
17 the subsurface and then popping up again as it
18 hits those tighter zones.

19 MR. TRADER: And then we actually kind
Page 188

20 of demonstrate one right here, water coming
21 down through the permeable upper fractured
22 bedrock, some of that water seeping out as it
23 hits the potential shale. I don't show a
24 shale interval here. (Indicating)

25 MR. RUZOW: And you're looking at
(WATER SUPPLY, GROUNDWATER, SURFACE WATER ISSUES)

3875

1 Applicant's 99C, the westfalls Group, the
2 arrows in that area.

3 DR. GOWAN: And we're not representing
4 that all the water comes out of the springs.
5 Some certainly goes through those shaly zones
6 that are also fractured. There's going to be
7 vertical fractures through those. They don't
8 move as much water -- they don't allow as much
9 water to flow through as the sandstones would,
10 so that forces some of that water out as
11 springs.

12 MR. TRADER: Also, the fact that this
13 is all one gray area, there's no intent to try
14 to misrepresent what's here. We acknowledge
15 there's shale present in here. We say that
16 right in the descriptions of the geology;
17 sandstone conglomerate shale. So shale just
18 doesn't mix through hodgepodge, shale comes in
19 layers. So it's in here. (Indicating)

20 MR. RUZOW: And in terms of the
21 uniformity, you've expressed it, and I think
22 Mr. Michalski acknowledged, there's a
23 three-dimensional part of this. If you have a
24 solidified layer or a uniform shale layer at a

7-30-04crossroads_myap
particular level, then presumably at the face
(WATER SUPPLY, GROUNDWATER, SURFACE WATER ISSUES)

3876

25
□ 1 going around the entire mountain of that
2 contour, you would expect to see seeps. It's,
3 in fact, sealed it off? We don't see that.

4 MR. TRADER: One aspect to that is,
5 the dip is to the southwest. So if water was
6 flowing down and into a fracture and hits a
7 bedding plane, if in fact the fracture went
8 all the way through the mountain, it would pop
9 out on the downward side of that fracture,
10 which would be on the southwestern side of the
11 hill, and you wouldn't have a spring popping
12 out on the northeastern side of the
13 wilderness, but in fact they do. You see that
14 at Wildacres and you see that at Big Indian.

15 MS. BAKNER: Just before we forget
16 about it, when Dr. Michalski was talking about
17 the railroad and saying that this is obviously
18 wrong because, you know, the Railroad Spring
19 is here, can you just address that?

20 MR. TRADER: Sure. If you look at the
21 cross section location map, which is --

22 MR. RUZOW: Exhibit 99B.

23 MR. TRADER: -- this cross section
24 again is a specific slice along where that
25 location is shown in red.

□ (WATER SUPPLY, GROUNDWATER, SURFACE WATER ISSUES)

3877

1 MS. BAKNER: This one, you mean?

2 MR. RUZOW: Yes, which is 99A.

3 MR. TRADER: Cross section starts at

4 Fleischmanns, comes up over the Highmount
Page 190

5 divide. This is the origin of Crystal Spring
6 Brook right by the ski center area, and it
7 comes down, it's curving around. What we're
8 drawing here, we're not yet crossing the
9 brook, we're still over here at the ski center
10 wells. Now we're following pretty much
11 parallel to the brook. We come through an
12 intersect, Pine Hill number 1. Bonnie View
13 Springs are located south or southwest of that
14 line. The springs are also popping out.
15 (Indicating)

16 Railroad Spring is not located on this
17 cross section, Railroad Spring is located
18 approximately right here, which is somewhat
19 south of the cross section line here. So the
20 point that that's not on there, if I was to
21 draw a different cross section line coming
22 from some other location, you would not
23 necessarily see as much thickness of this till
24 here. But in fact, where I have drawn this
25 cross section line is through the known wells
(WATER SUPPLY, GROUNDWATER, SURFACE WATER ISSUES)

□

1 in the area. So Bonnie View Springs is not ³⁸⁷⁸
2 shown on there because the cross section line
3 doesn't really pass through here. The springs
4 are popping out nearby. (Indicating)

5 MS. BAKNER: And where you put the
6 overburden or the pinkish-colored materials
7 was based on the well drilling logs?

8 MR. TRADER: Yes, it was. At the ski
9 center wells and also at PH-1. (Indicating)

10 MR. RUZOW: Remembering that the
11 vertical scale is an exaggeration of seven
12 times, so...

13 MR. TRADER: Yes, but the footage is
14 correct, the depths are correct, the thickness
15 of till is correct.

16 MS. BAKNER: Dr. Gowan, CPC
17 Exhibit 80 contains that groundwater flow
18 conceptualization by Reynolds, and I note here
19 that Reynolds has artfully arranged the shale
20 layers. What does that mean in fact?

21 DR. GOWAN: This is a conceptual
22 drawing and --

23 MR. RUZOW: This is page 4 of CPC
24 Exhibit 80.

25 DR. GOWAN: -- and he's essentially
(WATER SUPPLY, GROUNDWATER, SURFACE WATER ISSUES)

3879

1 showing, as we discussed before, he's
2 essentially showing the concepts that we've
3 been talking about, where the groundwater is
4 essentially mirroring topography, it's
5 following the topography.

6 And not only that, we heard some
7 discussion earlier about Fleischmanns wells
8 being several feet lower than -- the water
9 level being several feet lower than the
10 surface. We also see that in the Rosenthal
11 wells, several feet lower than the surface.

12 well, some of these are confined
13 systems. Despite the fact they're confined
14 systems, they're still mirroring topography.
15 we're still going -- groundwater flow is still

16 in the direction of the topography, whether
17 it's the water table or that confined zone.

18 He is not representing, Reynolds is
19 not representing uniform sandstone aquifers
20 continuing underneath the mountain sides with
21 uniform hydraulic characteristics. He's still
22 showing that increased permeability in the
23 near surface of the area.

24 MS. BAKNER: So, in fact, you could
25 put shale lines on there, beds, and it would
(WATER SUPPLY, GROUNDWATER, SURFACE WATER ISSUES)

1 be no more reflective of some actual bed in ³⁸⁸⁰
2 reality than Reynolds has because no one knows
3 where those are; is that correct?

4 DR. GOWAN: That's correct.

5 MS. BAKNER: All right. Has
6 Dr. Michalski presented any independent
7 evidence to support his interpretation of the
8 geological regime? Has he done any study
9 here? Has he done anything other than
10 question the results that you have put
11 together?

12 DR. GOWAN: I am not aware of any
13 additional information that he has.

14 MS. BAKNER: Would it be feasible for
15 a project like this, or is it even feasible at
16 all, to somehow accurately characterize layers
17 of shale or fractures in this large area? Is
18 it possible to do it?

19 DR. GOWAN: It's possible, but is it
20 feasible, no.

21 MS. BAKNER: Okay, it's not feasible?

22 DR. GOWAN: It's definitely not
23 feasible.

24 MR. RUZOW: Because it would require
25 what?

(WATER SUPPLY, GROUNDWATER, SURFACE WATER ISSUES)

1 DR. GOWAN: A tremendous number of
2 holes, lots of surface mapping. It would take
3 a lot of time and a lot of resources.

4 MS. BAKNER: Have you ever done this
5 in connection with a project such as this, a
6 resort project, as part of a Draft
7 Environmental Impact Statement?

8 DR. GOWAN: No. We have done large
9 projects, different kinds of projects where we
10 had extensive drawing but not in this kind of
11 development, resort development, no.

12 MS. BAKNER: Do you think at this
13 point that it would provide any more useful
14 information to you than the numerous pumping
15 tests that you have already done on the site?

16 DR. GOWAN: No. I think we have a
17 pretty good understanding of what's going on
18 at the site.

19 MS. BAKNER: I would like you to
20 discuss, just for a second really, being
21 responsive to both Mr. Rubin and
22 Mr. Michalski -- Dr. Michalski, regarding the
23 simultaneous well pump tests for R1 and R2 and
24 what your result from that test showed

25 projected out six months. Could you please
(WATER SUPPLY, GROUNDWATER, SURFACE WATER ISSUES)

3881

1 pull that out and go over it for us?

2 we've heard an awful lot about how we
3 should just pump for a month. We've also
4 heard from the Department of Health that
5 that's never been requested of an Applicant.
6 So what I'm trying to do is show how your test
7 results there provided long-term information.

8 DR. GOWAN: well, essentially, it's
9 a -- looking at the drawdown in the last -- I
10 don't know how many minutes, looking at that
11 drawdown and just continue to project the
12 drawdown for that 180 days, it showed that it
13 was not going to drop below the pump intake.
14 This is -- we heard earlier from --

15 ALJ WISSLER: Are you referring to a
16 specific chart or something like that?

17 MR. TRADER: The chart is in
18 Appendix E of --

19 MS. BAKNER: That's the simultaneous
20 well pump tests for 1 and 2 in the DEIS.
21 You're in the right file.

22 Sam, why don't you go ahead and
23 explain it up here. That way it will be
24 clear.

25 DR. GOWAN: Yeah. This is taken in
(WATER SUPPLY, GROUNDWATER, SURFACE WATER ISSUES)

1 the last 1440 minutes which is the last day,
2 last 24 hours of the pumping test.

3 ALJ WISSLER: We're looking at
4 Appendix E, the very first chart in Appendix E
5 of --

6 MS. BAKNER: -- of F, simultaneous
7 test report in Volume 3 --
8 ALJ WISSELER: -- Appendix 7 --
9 MS. BAKNER: -- of the DEIS.
10 DR. GOWAN: I'm glad you all got that.
11 That's the last 24 hours of the test.
12 And what we did is draw a straight line
13 through that data and continued that out --
14 ALJ WISSELER: That's the data right
15 there? (Indicating)
16 DR. GOWAN: Right. That's right. And
17 we tried to project that out for 180 days, or
18 six months.
19 ALJ WISSELER: This is the six hours
20 here?
21 MS. BAKNER: No.
22 DR. GOWAN: 24 hours. And project
23 where the water level would be at that assumed
24 continued drawdown. And that's -- and you
25 heard Mr. Dunn say today that that's a
(WATER SUPPLY, GROUNDWATER, SURFACE WATER ISSUES)

3884

1 conservative approach.
2 MS. BAKNER: Mr. Garry.
3 DR. GOWAN: Mr. Garry, I'm sorry.
4 Mr. Garry said it's a very conservative
5 approach they like to see because it's
6 assuming no recharge during that period, and
7 that's a very unusual thing in this part of
8 the world, where you do get recharge normally
9 within six months.
10 And what this does is shows the
11 projected level of the water in the pumping

12 well relative to the base of the well or the
13 pump intake. (Indicating)

14 MS. BAKNER: So what does that tell
15 you about whether -- or let me ask you
16 differently: Does that tell you anything at
17 all about the ability to obtain water from
18 this source without adversely impacting other
19 sources?

20 DR. GOWAN: Not really. You need to
21 look at your observation wells. You need to
22 look at the extent of your cone.

23 MS. BAKNER: Okay.

24 DR. GOWAN: And this is really just
25 saying whether you think that this well
(WATER SUPPLY, GROUNDWATER, SURFACE WATER ISSUES)

1 pumping is going to be able to be sustained. 3885
2 (Indicating)

3 MS. BAKNER: All right. So it's
4 not -- so it's useful information, but the
5 drawdown information is not a substitute for
6 your actual 72-hour pump test?

7 DR. GOWAN: That's correct.

8 MS. BAKNER: There's been a suggestion
9 by Mr. Rubin that during the 72-hour pump
10 test, you should really be measuring drawdown
11 not in your wells but in the observation
12 wells. Do you agree with that?

13 DR. GOWAN: Yes, you should be
14 observing drawdown in your observation wells,
15 yes.

16 MS. BAKNER: Did you observe -- did

17
18
19
20
21
22
23
24
25

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22

you do that?
DR. GOWAN: Yes.
MS. BAKNER: We're sort of back to the words that we can't say very well, which is the geophysics of bore holes, and I'm going to ask you again, we're talking about taking visual cameras down the holes, we're talking about trying to find out which way the water goes inside the holes. You know, what do you
(WATER SUPPLY, GROUNDWATER, SURFACE WATER ISSUES)

3886

think about? Is that useful information or necessary given what we know about this site?

DR. GOWAN: It's unnecessary for this site. And I would like to say that it was represented that this was common practice and this is the standard going back some considerable period of time --

MS. BAKNER: To 1960, I believe.

DR. GOWAN: -- Downhole geophysics was really developed for the petroleum industry and -- in recent years, and I also should say that I have supervised the geophysical logging of thousands of holes, and I worked in the energy fields and I have a considerable amount of experience working with geophysical logs. I would have to say that very few people that we work with and ourselves use downhole geophysics in water supply work. It's just not necessary, it's not done.

And as time is developing here, we're seeing a lot more promotion of this concept. And we're seeing a considerable promotion by

23 the US Geological Survey. They're doing a
24 considerable amount of research in this area,
25 and I know that they would very much like to
(WATER SUPPLY, GROUNDWATER, SURFACE WATER ISSUES)

1 see us do this more. But in the practical
2 application for water supplies, it's
3 unnecessary. It's an unnecessary added
4 expense.

3887

5 Now, we do use downhole cameras when
6 we're doing well rehabilitation because we
7 want to know what's going on in the well. We
8 pull the pumps, we look, we're concerned if we
9 lose well capacity because of incrustations,
10 bacteria growth, these sorts of things, and we
11 want to know what it looks like, we want to
12 know if our casing is damaged, these kinds of
13 things, so that we can properly rehabilitate
14 wells, or even know if we can rehabilitate
15 wells. So that's really where we apply this
16 kind of technology.

17 But logging these wells in the field,
18 having a geologist on the well, paying
19 attention to what the drilling conditions are
20 and collecting the kinds of information that
21 Steve talked about, that's the practical way
22 to do this.

23 MR. RUZOW: Is there any guidance that
24 you are aware of that either DEC or the State
25 Health Department publishes that would outline
(WATER SUPPLY, GROUNDWATER, SURFACE WATER ISSUES)

1 the requirement for this type of device

3888

7-30-04crossroads_myap
2 technology to be used?

3 DR. GOWAN: Not that I'm aware of.

4 MS. BAKNER: Dr. Michalski made the
5 claim that if we pumped at this site beyond
6 the 72 hours, that we would pay the price,
7 that we're going to have just a terrible
8 effect on the other wells in the area. Do you
9 see any evidence of this?

10 DR. GOWAN: No. And I did hear some
11 statements that this is a severely stressed
12 system. And I, quite frankly, don't have any
13 idea what the basis for that statement is.

14 And looking at our own pumping tests,
15 combined pumping tests of R1, R2 and R3, we
16 did achieve equilibrium or stability in the
17 water level, and I know that Mr. Rubin did
18 acknowledge that. He doesn't believe it was
19 sustainable, but he did acknowledge that.

20 And what that tells me is that our
21 cone has expanded and stabilized because we
22 have now reached out far enough and we have
23 flow gradients towards that well that are
24 sufficient to bring the water in from those
25 recharge areas. If we were in an unstable
□ (WATER SUPPLY, GROUNDWATER, SURFACE WATER ISSUES)

3889
1 situation where our gradients were too flat,
2 and we were not able to draw that water in
3 fast enough, then our well level in the
4 pumping well would have to go down in order to
5 steepen that gradient and drive that cone out
6 further to get more sources of recharge, but
7 what we're seeing is a stabilized pumping

8 system or cone.

9 MS. BAKNER: Has either Mr. Rubin or
10 Dr. Michalski presented any proof of the
11 statement that this 72-hour study and the
12 stabilization at the end was just the effect
13 of partial recovery? Are they presenting any
14 proof for that statement?

15 DR. GOWAN: Not that I'm aware of.

16 MR. TRADER: I just wanted to say
17 Dr. Michalski is theorizing that there's this
18 problem at hand, that we're already at a
19 stressed situation where there's no
20 groundwater around and that we just haven't
21 pumped these wells long enough to find that.
22 Well, nothing that we've seen shows that this
23 problem exists. There's a lot of water at
24 Fleischmanns, Pine Hills has got plenty of
25 water. There's no evidence that this problem
(WATER SUPPLY, GROUNDWATER, SURFACE WATER ISSUES)

exists. Springs are popping up all over the ³⁸⁹⁰
1 mountains that we have seen. Just trying to
2 pump for days and months just to find out
3 whether or not there's a problem seems a
4 little out of hand.
5

6 MS. BAKNER: Well, you don't postulate
7 that any problem exists?

8 MR. TRADER: Exactly.

9 MS. BAKNER: Okay. There was a
10 free-flowing well, an artesian well that you
11 monitored as part of this as well. Is that
12 free-flowing well an indication of some kind

13 of stress system? Does it indicate that
14 there's water in the system? I mean, what
15 about this system tells you that there's
16 enough water for this project? I mean, people
17 have said several times, without a lot of
18 delicacy, that if they were the professional
19 engineers on this job, they wouldn't put their
20 licenses at stake, and you guys are. You're
21 saying there's enough water for this
22 development. And if they build it and it's
23 not there, it's not going to be a good day for
24 your malpractice carrier, so why are you so
25 confident that the water is there?
(WATER SUPPLY, GROUNDWATER, SURFACE WATER ISSUES)

3891

1 DR. GOWAN: The pumping test, all the
2 information -- I mean, it's really the whole
3 database. Everything that we have looked at,
4 our understanding of the geologic system, all
5 of that together really gives us the
6 confidence that what we're saying is, in fact,
7 the case.

8 MS. BAKNER: And I think Mr. Ruzow had
9 you go over yesterday how many years you have
10 been out there collecting data and how many
11 times you have been out on the site and all
12 the analysis that you have done. At this
13 point if the client said to you: I want you
14 to do something else to show me that I have
15 enough water out there, would you even
16 recommend such an examination?

17 DR. GOWAN: No. We would say it's
18 unnecessary. I think we have achieved the

19 level of information that we need to render
20 our opinion.

21 ALJ WISSLER: Let me ask you this: In
22 your research here, with respect to the wells
23 that you have depicted in 99B -- not A1's
24 8-foot well, but to your knowledge, have any
25 of those wells failed in drought conditions?
(WATER SUPPLY, GROUNDWATER, SURFACE WATER ISSUES)

3892

1 DR. GOWAN: Not to our knowledge.

2 MR. TRADER: Not to our knowledge, no.

3 MS. BAKNER: Turning to the comments
4 regarding the 70-foot well at Fleischmanns,
5 there was some question regarding salinity
6 again, and you had discussed the testing
7 results in the 70-foot well that, to you,
8 indicated not a saline issue but other issues.
9 Could you go over that again and reference the
10 data that the doctor was referring to?

11 MR. TRADER: That data is contained in
12 the report from the Fleischmanns water supply
13 evaluation. It's in appendix -- Applicant's
14 Exhibit 51D, as in Daniel.

15 MS. BAKNER: And you're looking at the
16 same data that Dr. Michalski was looking at
17 with the Judge previously?

18 MR. TRADER: Yes. And I just would
19 like to clear up -- he had some confusion
20 about Fleischmanns Catch well number 1. That
21 confuses me too, but if you look at the chain
22 of custody for that, it doesn't say that. It
23 says well number 1. And it's the fourth

24 sample on the chain of custody and this is the
25 fourth laboratory report in the package. So
□ (WATER SUPPLY, GROUNDWATER, SURFACE WATER ISSUES)

3893

1 it's well number 1. There's no attempt to
2 confuse anybody. This is the lab's doing.
3 Sometimes they just get these names wrong.

4 MS. BAKNER: And the results that you
5 looked at there, Dr. Gowan, you indicated
6 that you felt -- indicated an iron issue, not
7 a saline issue. Can you address that more?

8 DR. GOWAN: It does indicate that iron
9 levels are higher than they are in the other
10 two Fleischmanns wells. And the other
11 important thing is it shows that the salinity
12 is very low.

13 As to whether the iron is the source
14 of high conductivity, there may be other
15 aspects that are contributing to that, but
16 salinity is not a factor in this conductivity.

17 ALJ WISSLER: What are the factors
18 that you would expect to see if a system was
19 stressed?

20 DR. GOWAN: Stressed system, I would
21 expect to see chronically reduced water tables
22 and water levels in the confined zone. I
23 would expect to see this thing drawn down. I
24 would expect to see the springs possibly
25 drying up, see an overall reduction in the
□ (WATER SUPPLY, GROUNDWATER, SURFACE WATER ISSUES)

3894

1 water.

2 ALJ WISSLER: Increase in saline
3 content and things like that too?

4 DR. GOWAN: Not necessarily. It
5 really depends on the area. Some areas have
6 higher salinities at depth, and that's not
7 necessarily consistent everywhere.

8 ALJ WISSLER: Is there a way to take
9 an area like this and to quantify how much
10 water ultimately is down there? In other
11 words, is there a limit to how many wells you
12 can put down, or is that a bridge you don't
13 cross until other wells start failing?

14 DR. GOWAN: No, there can be a limit.

15 ALJ WISSLER: How is that limit
16 determined?

17 DR. GOWAN: We -- and we do this for
18 clients, we'll look. For example, we did a
19 project for an industry, happened to be called
20 Interneting, and they asked us to help place
21 wells because they had a couple of wells and
22 they were low-yielding wells, and they said:
23 Here is our property, and we need to put some
24 wells in. So they asked us to come out and do
25 a fracture trace analysis, which is looking at
(WATER SUPPLY, GROUNDWATER, SURFACE WATER ISSUES)

□

1 air photographs as far as to identify what we³⁸⁹⁵
2 believe to be fractures and that's where the
3 water moves in the bedrock. And so we spotted
4 some wells.

5 But I said: You've got a limitation
6 here because your recharge basin is only so
7 big, and you're a big company and your demand
8 is getting close to the maximum that this area

9 is going to be able to support. So you may
10 drill a well here, you already have got a well
11 over here, and you start drawing on this well,
12 all you're going to do is draw from your other
13 well.

14 ALJ WISSELER: So what you're saying,
15 if you know the size of your recharge basin,
16 you know your precipitation?

17 DR. GOWAN: Exactly.

18 ALJ WISSELER: And you can determine
19 what your recharge is. Whatever that
20 gallonage is, is the maximum number of wells
21 that you can keep drilling wells until the
22 wells are pulling out that much?

23 DR. GOWAN: Right.

24 ALJ WISSELER: Am I right?

25 DR. GOWAN: Right.

(WATER SUPPLY, GROUNDWATER, SURFACE WATER ISSUES)

1 ALJ WISSELER: So that's how you would³⁸⁹⁶
2 do it. That's one way you would do it.

3 DR. GOWAN: Yes. Now, if you've got a
4 situation here where we got a vast --

5 ALJ WISSELER: Do we know the size of
6 the recharge basin here for this project?

7 DR. GOWAN: I don't know it off the
8 top of my head, but it's -- what's the number
9 we --

10 MR. TRADER: I don't remember the
11 number. I remember Birch Creek.

12 ALJ WISSELER: But we have this
13 information?

14 DR. GOWAN: Oh, yes. It can be
Page 206

15 obtained.

16 MS. BAKNER: Okay.

17 DR. GOWAN: I'd like to make sure --

18 ALJ WISSLER: I mean, do we have that
19 in this record someplace, it's just a matter
20 of calling it out?

21 DR. GOWAN: I know that in -- when we
22 were doing an analysis of the stream flows and
23 we're doing a comparison, we looked at the
24 size of the basin from Allaben -- and maybe we
25 can pull that out.

(WATER SUPPLY, GROUNDWATER, SURFACE WATER ISSUES)

3897

1 MR. TRADER: I'm thinking 60 square
2 miles.

3 DR. GOWAN: 64 square miles is what
4 rings in my head, but I don't know if that is
5 the exact number at this point.

6 MS. BAKNER: Can we have a second,
7 your Honor?

8 ALJ WISSLER: Sure.

9 (5:11 - 5:17 P.M - BRIEF RECESS
10 TAKEN.)

11 DR. GOWAN: I just want to finish up
12 what we were discussing. The water budget was
13 helpful in that situation. But if I have a
14 very large recharge area, then the
15 characteristics of the aquifer would then
16 become the primary thing that I want to look
17 at to evaluate whether or not I could put
18 numerous wells or I would be very limited.
19 Even if you have a very large --

20 ALJ WISSLER: Characteristics of the
21 aquifer, meaning it could be this homogenous
22 bedrock or could be some heterogenous makeup?

23 DR. GOWAN: Heterogeneity can be okay
24 if your fractures are very permeable. For
25 example, we're looking at a particular area
(WATER SUPPLY, GROUNDWATER, SURFACE WATER ISSUES)

1 where it's a shale bedrock, and the client is ³⁸⁹⁸
2 asking us to determine whether they can put --
3 what kind of density water -- can they get a
4 municipal system in, or are they going to be
5 limited to large lots with small wells.

6 well, the recharge capability in this
7 case, because they're on shale, isn't going to
8 matter because the rock is just not a good
9 enough aquifer reservoir so there's a real
10 limitation just based on the characteristics
11 of that rock.

12 MS. BAKNER: Did you come up with a
13 number or location in the record where we say
14 basically what the drainage area is?

15 MR. TRADER: I don't know what this
16 exhibit is. This is volume --

17 MS. BAKNER: Volume 1 of the DEIS,
18 page 3-12; is that it? It's right there.

19 MR. TRADER: 3-12.

20 MS. BAKNER: 3-12, okay.

21 MR. TRADER: which says that the
22 overall -- right up here near the top in
23 relation to Birch Creek, it says: "This
24 perennial Class B stream has an overall
25 watershed of 8,114 acres. That equates to

1 12 1/2 square miles."

2 MS. BAKNER: Based on your request, we
3 will also supplement with some more
4 information on this point.

5 Moving ahead, there was some
6 discussion of anticipated amounts of recharge.
7 You used a figure of, like, 25 percent. Can
8 you address that?

9 DR. GOWAN: Yes. Actually
10 Dr. Michalski said that that was unrealistic,
11 that a half inch or an inch would be a number
12 that he would use. I have never come across
13 in all my investigations in the published
14 literature or the work that we have done -- we
15 have done numerous water budgets -- of a half
16 inch or an inch being an annual recharge rate
17 in this area or -- it's rare throughout the
18 state in the work that we have done, so I'm
19 not sure what the basis is for saying a half
20 inch or an inch is a realistic recharge rate.

21 MS. BAKNER: And in terms of the
22 alleged concession you made that there was a
23 direct connection between the area you're
24 pumping and the stream, did your pumping test
25 show any such connections?

(WATER SUPPLY, GROUNDWATER, SURFACE WATER ISSUES)

1 DR. GOWAN: Our pumping test showed no
2 direct connection in that well field area.

3 MR. RUZOW: That's based on your
4 observed readings?

5 DR. GOWAN: That's correct. And
6 that's consistent, as I said before, with the
7 geology.

8 MS. BAKNER: Is there anything else
9 that you would like to add at this point?

10 DR. GOWAN: Other than to say that I
11 feel like over the four years that we've been
12 on this project, we have done an extensive
13 amount of work, and it's very detailed. I
14 feel like we've been very thorough, and
15 anytime where we have made an inadvertent
16 error such as the calibration of the flow
17 meter, we have addressed that as quickly as we
18 could because it's very important for us not
19 to make mistakes. We don't like to make
20 mistakes, and we try to correct them as
21 quickly as possible.

22 MS. BAKNER: In terms of the water
23 usage in the area and the stressors, we just
24 wanted to mention for the record the tie-in to
25 all the information that was submitted on
□ (WATER SUPPLY, GROUNDWATER, SURFACE WATER ISSUES)

1 community character relative to the many, many³⁹⁰¹
2 people who used to be here, who are not, who
3 undoubtedly drank water while they were here,
4 and --

5 MR. RUZOW: The thousands of hotel
6 rooms that you heard Mr. Schaedle -- the 4,000
7 people that were in Pine Hill, the thousands
8 of people who were in Fleischmanns on the
9 other side of the hill -- and while we don't
10 know and don't have records of wells that were

11 used, springs were used then, and presumably
12 dug wells and other municipal supplies when
13 this area was thriving. And at least in the
14 literature that we have read and come across,
15 we have not seen any indication of water
16 shortages.

17 Indeed, there was also a Crystal
18 Spring bottling plant that was nearby that was
19 shipping water to New York City by rail. So
20 the notion that this area either historically
21 or presently is stressed, is a foreign one to
22 at least any basis we can see. And that's
23 from a lay perspective, your Honor.

24 MR. GERSTMAN: Your Honor, could we
25 have just a minute?
(WATER SUPPLY, GROUNDWATER, SURFACE WATER ISSUES)

3902

1 ALJ WISSLER: Sure.

2 (5:25 - 5:29 P.M. - BRIEF RECESS
3 TAKEN.)

4 MR. RUZOW: Your Honor, just one last
5 comment. I just want to make a point that
6 with respect to the error regarding the flow
7 meter, that was corrected over two years ago.
8 And while it's being raised in this proceeding
9 in the comments, it is a matter of public
10 record that it was corrected two years ago, as
11 an Alpha Geoscience representative had
12 indicated when they discovered it and provided
13 it to the Department, so there was no delay,
14 there was no effort. The problem apparently
15 was, in the CPC various clients'

16 understanding, that that had been corrected.

17 MR. GERSTMAN: Well, just to pick up
18 on the theme, Mr. Schaedle said that he was
19 never provided the documents that indicated
20 that there was any correction made,
21 notwithstanding his effort to obtain those
22 documents, and I'm not suggesting that your
23 client was involved in that issue.

24 Let me start by saying that Ms. Bakner
25 has a tendency to rephrase the testimony or
(WATER SUPPLY, GROUNDWATER, SURFACE WATER ISSUES)

1 offer of proof by Dr. Michalski in a way that ³⁹⁰³
2 either wasn't stated in his offer of proof,
3 not intended, the record speaks for itself
4 concerning his offer of proof. And I refer,
5 your Honor, to the record.

6 ALJ WISSLER: We're going to have some
7 time at an adjudicatory hearing if it happens.

8 MR. GERSTMAN: In your review of this
9 record, we suspect and we understand that
10 you're not going to rely on Ms. Bakner's
11 characterizations of what Dr. Michalski said,
12 but obviously what his offer of proof was.

13 In connection with the issue of
14 irrigation, there is a clear narrative, a
15 reliance on the narrative, July 28, 2004
16 letter, Crossroads Exhibit 122, on the issue
17 of surcharge to the system, because in the
18 words of the letter, the word "surcharge" is
19 used because it represents a quantity of water
20 introduced to the local groundwater system
21 that is separate from the natural

22 precipitation. The introduction of irrigation
23 water will result in higher baseflow in the
24 spring's downgradient from the golf course
25 areas. A clear indication in this letter that
(WATER SUPPLY, GROUNDWATER, SURFACE WATER ISSUES)

3904

1 there is reliance on that issue, and it is
2 counter to representations made elsewhere
3 during this Issues Conference concerning the
4 Applicant's use of irrigation water and the
5 management of irrigation in connection with
6 the turf. It's very clear from the record.
7 We refer you to the record, Judge.

8 There was a suggestion that Mr. Rubin
9 conceded that there was stabilization after
10 the simultaneous R1, R2 and R3 pumping.

11 Mr. Rubin, could you address that?

12 MR. RUBIN: Quite the contrary. It's
13 my belief, as I represented, that we have no
14 evidence that stabilization has occurred. In
15 fact, my graph indicates that is not true and
16 I have discussed it at length.

17 MR. GERSTMAN: In connection with
18 Crossroads Exhibit 99B, which we have spent a
19 considerable amount of time on, the cross
20 section that Mr. Trader and Dr. Michalski have
21 referred to, the record is clear that many of
22 the drawn-in fractures -- although this is
23 suggested to be a site-specific cross section,
24 in fact, much of the information other than
25 those hatch marks that were pointed out to
(WATER SUPPLY, GROUNDWATER, SURFACE WATER ISSUES)

3905

1 you, Judge, are the result of
2 conceptualization from Heisig and Reynolds,
3 and in fact not specific to this particular
4 site. It's only after further inquiry that we
5 find, and Dr. Michalski will comment on that,
6 it's only after further inquiry not reflected
7 on the map that we find there are some cross
8 sections or cross hatches that are related to
9 some level in the well that represents a
10 fracture that encountered -- a water-bearing
11 fracture. One would have never guessed by
12 looking at this exhibit that that, in fact,
13 was the case.

14 Dr. Michalski, I believe you wanted to
15 address the issue of whether you stated this
16 is a stressed system, or in fact is a
17 potentially stressed system given the
18 permitting of this resort.

19 DR. MICHALSKI: The pumping test
20 results, so at the end of the three-day
21 pumping, system is already becoming stressed.
22 But my "stress" term applies to full pumping,
23 long-term pumping, not only at one center but
24 at several pumping center which would coalesce
25 cone of depression. So this is when I talk
(WATER SUPPLY, GROUNDWATER, SURFACE WATER ISSUES)

1 about stress system, this is the situation I ³⁹⁰⁶
2 refer to. It's already evidence that it's
3 stressed at the end of three-day pumping, and
4 if this pumping continues, it will be
5 stressed.

6 MR. GERSTMAN: There was also an issue
Page 214

7 concerning the potential recharge from
8 precipitation. Are you fairly confident that
9 under the geological conditions you find here,
10 that recharge would be limited to
11 approximately half inch to an inch a year?

12 DR. MICHALSKI: It's a summer
13 recharge, it's a summer baseflow so it is
14 during the summer. And it's 15 or 20. And
15 all of them have the same small watershed in
16 the Catskills, and it was in Reynolds' report,
17 it's that table which showed it. So this is a
18 very typical -- and there's no reason to
19 believe that this would be different. When it
20 comes -- when it comes to area, recharge area,
21 recharge area is actually a cone of
22 depression.

23 The drainage area for Birch Creek
24 extend much further north, northeast, because
25 it has branches coming here, so this would not
(WATER SUPPLY, GROUNDWATER, SURFACE WATER ISSUES)

□

1 be packed. You can use data for drainage
2 springs but only for the portion where the
3 cone of depression would develop. So that
4 would -- the term is so-called bottom line,
5 and this bottom line would be at equilibrium,
6 what is available; and it wouldn't be much
7 because, it's still one inch over this area of
8 cone of depression. What it is, it's a
9 baseflow, so baseflow -- what it means, if you
10 take this amount, there would be no flow in
11 streams. That's what it means.

3907

12 And of course, it cannot happen
13 because there's a question of -- can you in
14 fact assume that you would completely take
15 water from Birch Creek. So this is the kind
16 of situation, your Honor.

17 MR. GERSTMAN: Dr. Michalski, there's
18 all sorts of suggestions being thrown around
19 that you stated that there was some
20 transmissivity between -- was it Fleischmanns
21 and Pine Hill well number 1, because you drew
22 a plane that --

23 DR. MICHALSKI: No, no. It's one of
24 these mischaracterization examples, you know,
25 that counsel for the Applicant indicated that
(WATER SUPPLY, GROUNDWATER, SURFACE WATER ISSUES)

1 I show that the Fleischmanns -- that Railroad ³⁹⁰⁸
2 Spring would go and drain to Fleischmanns.
3 It's not what I said.

4 what I said, that it looks like, from
5 this cross section, if you compare elevation
6 of Railroad Spring, which is a bedrock spring,
7 not overburden, and Fleischmanns Spring, they
8 follow to the same stratigraphic interval.
9 They are not exactly the same elevation, but
10 they would be in the same stratigraphic zone.
11 what I said, it would be in the same stack, if
12 I may use the system.

13 And I didn't say -- if I recall, I
14 didn't say that the Pine Hill would flow to
15 Fleischmanns water. What I said is they may
16 have common recharge area which is north and
17 beyond this cross section.

18 So Judge may look to the original
19 record.

20 MR. GERSTMAN: There's some suggestion
21 that due to the lengthy -- or claimed lengthy
22 record or work that Alpha has done -- is that
23 that should provide some comfort level to the
24 Judge and the Commissioner that this water
25 analysis is sufficient to grant a permit.
(WATER SUPPLY, GROUNDWATER, SURFACE WATER ISSUES)

3909

1 Does that convince you?

2 DR. MICHALSKI: No, it does not. This
3 section, what it shows on the table, it's on
4 the geometry of the system, and it's filled
5 with gray mass. Placing individual wells on a
6 section doesn't mean that it's full research
7 because the water level is not shown on any of
8 the cross section.

9 The testing was done for two years,
10 but I didn't see any hydrograph for single
11 well during that time. You don't have
12 measurements in wells, over time, how is it
13 developed, which gives you idea of differences
14 in water level fluctuation, which is a very
15 standard procedure. So it was a pretty spotty
16 kind of jumping from one situation to another.

17 MR. GERSTMAN: So, for instance, in
18 order to rely on length of time, when you
19 studied the area, you would want to see those
20 hydrographs plotted, the water levels in the
21 wells during various periods of the year?

22 DR. MICHALSKI: Yes, at least at

23

selected wells.

24

MR. GERSTMAN: What other type of

25

information would reflect a long-term study of
(WATER SUPPLY, GROUNDWATER, SURFACE WATER ISSUES)

□

1

the hydrology of the area? Is there something³⁹¹⁰

2

else that you can add to that, or is that

3

primarily the issue that you wanted to

4

address?

5

DR. MICHALSKI: The amount of

6

hydrogeology information and time period do

7

not -- are not related here because the amount

8

is simply inadequate. It's not for this

9

particular case of water supply in a system

10

which will be stressed -- it's not an average

11

water supply where we're talking about

12

150-gallons a minute for one area, and 250 for

13

Fleischmanns. So these are significant

14

additions to the system. The system water

15

intake or this drawdown would change by

16

hundreds, a couple hundred percent. So it's

17

really just a significant change.

18

MR. GERSTMAN: Is there anything else,

19

Dr. Michalski, that you want to address to the

20

Judge at this time?

21

DR. MICHALSKI: I wouldn't want to

22

take more time.

23

MR. GERSTMAN: You can take the time,

24

it's okay. He's ready, willing and able to

25

listen to whatever you have to say.

(WATER SUPPLY, GROUNDWATER, SURFACE WATER ISSUES)

□

3911

1

ALJ WISSLER: Thank you.

2

MR. GERSTMAN: Anything else?

3 (NO AFFIRMATIVE RESPONSE.)

4 I think we're probably done. Let me
5 ask you the final question. Mr. Rubin and
6 Dr. Michalski, based upon the analysis you
7 have seen to date in the Draft Environmental
8 Impact Statement and the Applicant's exhibits,
9 would you feel confident that this aquifer
10 system is sufficient to supply the proposed
11 Big Indian Resort and Wildacres Resort without
12 having significant impacts both on surface and
13 groundwater in this basin?

14 DR. MICHALSKI: No. I'm convinced
15 that it wouldn't create very significant --
16 first, this amount they propose is not
17 sustainable; and the second, that whatever is
18 sustainable would cause significant change.

19 MR. GERSTMAN: Mr. Rubin.

20 MR. RUBIN: I think additional testing
21 is required at a constant rate, as I indicated
22 before, so we can look at the data at the rate
23 that is proposed starting at that rate and
24 continuing; so that we can truly take a look
25 at the semi-log graph in terms of the
(WATER SUPPLY, GROUNDWATER, SURFACE WATER ISSUES)

1 observation wells so we would have a better ³⁹¹²
2 feel for it.

3 MR. GERSTMAN: Judge, do you have any
4 questions?

5 ALJ WISSLER: No.

6 MR. GERSTMAN: Thank you. I believe
7 we're done.

8 7-30-04crossroads_myap
MS. BAKNER: We are most surely done.
9 MS. KREBS: I have nothing further.
10 ALJ WISSLER: All right.
11 (5:41 P.M. - WHEREUPON, THE ISSUES
12 CONFERENCE PROCEEDINGS ADJOURNED FOR THE DAY.)
13
14
15
16
17
18
19
20
21
22
23
24
25

□ (WATER SUPPLY, GROUNDWATER, SURFACE WATER ISSUES)

3913

1
2
3
4
5
6
7
8
9
10
11
12
13

C E R T I F I C A T I O N

I, THERESA C. VINING, hereby certify
and say that I am a Shorthand Reporter and a Notary
Public within and for the State of New York; that I
acted as the reporter at the Issues Conference
proceedings herein, and that the transcript to which
this certification is annexed is a true, accurate
and complete record of the minutes of the
proceedings to the best of my knowledge and belief.

7-30-04crossroads_myap

14

15

16

THERESA C. VINING

17

18

19 DATED: September 13, 2004.

20

21

22

23

24

25

□