

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22

ISSUES CONFERENCE VOLUME 17

In the Matter of the Applications of
CROSSROADS VENTURES, LLC

for the Belleayre Project at Catskill Park
for permits to construct and operate pursuant to
the Environmental Conservation Law

Margaretville Fire House
Margaretville, New York
August 25, 2004

B E F O R E :

HON. RICHARD WISSLER,
Administrative Law Judge

A P P E A R A N C E S :

WHITEMAN, OSTERMAN & HANNA, LLP.
Attorneys for Applicant,
CROSSROADS VENTURES, LLC
One Commerce Plaza
Albany, New York 12260

BY: DANIEL RUZOW, ESQ., of Counsel
BY: TERRESA M. BAKNER, ESQ., of Counsel

NEW YORK STATE DEPARTMENT
of ENVIRONMENTAL CONSERVATION
Region 3

23 21 South Putt Corners Road
 New Paltz, New York 12561

24 BY: VINCENT ALTIERI, ESQ., of Counsel
 Regional Attorney

25

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22

LAW OFFICE OF MARC S. GERSTMAN
Attorneys for CATSKILL COALITION,
ROBINSON SQUARE
313 Hamilton Street
Albany, New York 12210

BY: MARC S. GERSTMAN, ESQ., of Counsel
BY: CHERYL A. ROBERTS, ESQ., of Counsel

TABLE OF CONTENTS

CPC PRESENTERS	PAGE
PETER DIMODICA	4214
PIOTR PARASIEWICZ	4262
APPLICANT'S PRESENTERS	
RONALD A. ALEVRAS	4352, 4388
KEVIN FRANKE	4353, 4383, 4481
STEVEN TRADER	4360, 4475
DEC PRESENTERS	
ED KUZIA	4423

23	SHAYNE MITCHELL	4429
24	JACK ISAACS	4440
25	MICHAEL J. FLAHERTY	4441

1	INDEX TO EXHIBITS		
2	OHMS		
3	EXHIBIT		PAGE
4	16	"WINDHAM SITE VISIT - JULY 22, 2004 ITINERARY"	4203
5			
6	CPC		
7	EXHIBITS		
8	98	COLOR PHOTOGRAPH "180 DEGREE VIEW FROM ATOP ROSE MOUNTAIN"	4202
9			
10	98A	SAME PHOTO AS 98, WITH DESCRIPTIONS	4202
11	99	WEB PAGE FROM "CATSKILL WATERSHED MUSEUM"	4202
12			
13			
14	100	PHOTOCOPY OF NEWSPAPER ARTICLE "M-ARK WINS HOUSING FUNDING; DIRECTOR ANNOUNCES RESIGNATION"	4202
15			
16			
17	101	LETTER FROM ULSTER COUNTY LEGISLATURE DATED 7/7/2000	4202
18			
19	102	PLANNING BOARD APPLICATION FOR CHELSEA PARK SUBDIVISION	4202
20			
21	103	LETTER TO ROBERT CROSS TO RON ODATO CONCERNING PINE HILL LODGE	4203
22			

23	104	BELLEAYRE MOUNTAIN POWERPOINT	4203
24			
25	105	POWERPOINT PRESENTATION DOCUMENTATION	4203

1 105A CD OF DR. PARASIEWICZ'S 4283
 POWERPOINT PRESENTATION

2

3 106 "A METHOD FOR ASSESSING 4203
 HYDROLOGIC ALTERATION
4 WITHIN ECOSYSTEMS -
 BRIAN D. RICHTER,
5 JEFFREY V. BAUMGARTNER,
 JENNIFER POWELL AND
6 DAVID P. BRAUN
 CONSERVATION BIOLOGY,
7 VOLUMBE 10, NO. 4,
 AUGUST 1996

8

9 107 "LARGE RIVERS VOL. 12, 4203
 NO. 2-4 - PHYSICAL
10 HABITAT MODELING FOR
 FISH - A DEVELOPING
11 APPROACH"

12

13 108 "STRATEGY FOR 4204
 SUSTAINABLE MANAGEMENT
14 OF THE UPPER DELAWARE
 RIVER BASIN" PREPARED BY
15 PIOTR PARASIEWICZ FOR
 TROUT UNLIMITED

16

17 109 WEB PAGE "INSTREAM 4204
 HABITAT PROGRAM -
 UNIVERSITY OF
18 MASSACHUSETTS, AMHERST -
 STONY CLOVE CREEK

19

20 110 "INSTREAM FLOW REGIMENS 4204
 FOR FISH, WILDLIFE
 RECREATION AND RELATED
21 ENVIRONMENTAL RESOURCES"

22

23

24

25

1 APPLICANT'S
2 EXHIBIT

3 134 PHOTOGRAPH TAKEN NEAR 4235
4 STATE PROPERTY ON
THE ROCHESTER HOLLOW TRAIL

5 135 PHOTOGRAPH TAKEN IN 4236
6 APPROXIMATELY THE SAME
7 LOCATION AS APPLICANT'S
EXHIBIT NO. 134

8 136 LETTER FROM LA GROUP 4346
DATED 8/25/04

9 137 LETTER TO KEVIN FRANKE 4346
10 FROM JOHN MACPHERSON,
CHEMIST WITH NATURAL
11 SITE SOLUTIONS, LLC.

12 138 AUGUST 23, 2004 LETTER 4346
13 TO BILL MIRABILE FROM
KEVIN FRANKE ON SHALLOW
GROUNDWATER MONITORING

14 139 LETTER FROM NYS DEC 4346
DATED 10/13/00

15 140 USGS "WATER RESOURCES OF 4346
16 THE BATAVIA KILL BASIN
AT WINDHAM , GREENE
17 COUNTY, NEW YORK

18 141 RESUME OF RONALD A. 4347
ALEVRAS

19 142 "CHITOSAN (LIQUI-FLOC) 4347
20 SYNOPSIS

21 143 "CHITOSAN ENHANCED SAND 4347
22 FILTRATION FAILURE TEST"

23

24

25

1	144	"RAINBOW TROUT (ONCORHYNCHUS MYKISS) CHRONIC TOXICITY SCREENING OF STORMWATER TREATED BY CHITOSAN ENHANCED SAND FILTRATION FLOW-THROUGH SYSTEM - REDMOND, WASHINGTON - JUNE 2, 2004"	4347
6	145	"LITERATURE REVIEW-CHITOSAN: ITS FORMATION, PROPERTIES AND APPLICATIONS - STATE PLANNING AND RESEARCH PROJECT NUMBER 615"	4347
10	146	"APPLICATION FOR PILOT-LEVEL DESIGNATION GEL-FLOC ENHANCED BIOFILTRATION STORMWATER TREATMENT TECHNOLOGY"	4347
13	147	"BELLEAYRE RESORT AT CATSKILL PARK - TEMPERATURE LOGGER AT AL FRISENDA'S RESIDENCE"	4362
15	148	MAP OF RECHARGE AREAS FOR WATER SUPPLY	4370
16			
17			
18			
19			
20			
21			
22			

23

24

25

1 (8/25/04)

2 (9:36 A.M.)

3 P R O C E E D I N G S

4 MR. GERSTMAN: I'll mark these
5 exhibits.

6 (COLOR PHOTOGRAPH "180 DEGREE VIEW
7 FROM ATOP ROSE MOUNTAIN" RECEIVED AND MARKED
8 AS CPC EXHIBIT NO. 98, THIS DATE.)

9 (SAME PHOTO AS 98, WITH DESCRIPTIONS
10 RECEIVED AND MARKED AS CPC EXHIBIT NO. 98A,
11 THIS DATE.)

12 (WEB PAGE FROM "CATSKILL WATERSHED
13 MUSEUM" RECEIVED AND MARKED AS CPC EXHIBIT NO.
14 99, THIS DATE.)

15 (PHOTOCOPY OF NEWSPAPER ARTICLE
16 "M-ARK WINS HOUSING FUNDING; DIRECTOR
17 ANNOUNCES RESIGNATION" RECEIVED AND MARKED AS
18 CPC EXHIBIT NO. 100, THIS DATE.)

19 (LETTER FROM ULSTER COUNTY
20 LEGISLATURE DATED 7/7/2000 RECEIVED AND MARKED
21 AS CPC EXHIBIT NO. 101, THIS DATE.)

22 (PLANNING BOARD APPLICATION FOR

23 CHELSEA PARK SUBDIVISION RECEIVED AND MARKED
24 AS CPC EXHIBIT NO. 102, THIS DATE.)
25 (LETTER TO ROBERT CROSS FROM RON

(OPENING REMARKS)

4203

1 ODATO CONCERNING PINE HILL LODGE RECEIVED AND
2 MARKED AS CPC EXHIBIT NO. 103, THIS DATE.)

3 (BELLEAYRE MOUNTAIN POWERPOINT
4 RECEIVED AND MARKED AS CPC EXHIBIT NO. 104,
5 THIS DATE.)

6 ALJ WISSLER: This is Office of
7 Hearings 16.

8 ("WINDHAM SITE VISIT - JULY 22, 2004
9 ITINERARY" RECEIVED AND MARKED AS OHMS EXHIBIT
10 NO. 16, THIS DATE.)

11 (POWERPOINT PRESENTATION
12 DOCUMENTATION RECEIVED AND MARKED AS CPC
13 EXHIBIT NO. 105, THIS DATE.)

14 ("A METHOD FOR ASSESSING HYDROLOGIC
15 ALTERATION WITHIN ECOSYSTEMS" - BRIAN D.
16 RICHTER, JEFFREY V. BAUMGARTNER, JENNIFER
17 POWELL AND DAVID P. BRAUN CONSERVATION
18 BIOLOGY, VOLUME 10, NO. 4, AUGUST 1996
19 RECEIVED AND MARKED AS CPC EXHIBIT NO. 106,
20 THIS DATE.)

21 ("LARGE RIVERS VOL. 12, NO. 2-4 -

(OPENING REMARKS)

4204

1 OF THE UPPER DELAWARE RIVER BASIN" PREPARED BY
2 PIOTR PARASIEWICZ FOR TROUT UNLIMITED RECEIVED
3 AND MARKED AS CPC EXHIBIT NO. 108, THIS DATE.)

4 (WEB PAGE "INSTREAM HABITAT PROGRAM -
5 UNIVERSITY OF MASSACHUSETTS, AMHERST - STONY
6 CLOVE CREEK" RECEIVED AND MARKED AS CPC
7 EXHIBIT NO. 109, THIS DATE.)

8 ("INSTREAM FLOW REGIMENS FOR FISH,
9 WILDLIFE RECREATION AND RELATED ENVIRONMENTAL
10 RESOURCES" RECEIVED AND MARKED AS CPC EXHIBIT
11 NO. 110, THIS DATE.)

12 ALJ WISSLER: If we can convene.
13 We'll begin by taking the appearances of
14 counsel for the record, please.

15 MR. RUZOW: Dan Ruzow and Terresa
16 Bakner for the Applicant.

17 MR. ALTIERI: Vincent Altieri for
18 Staff.

19 MR. GERSTMAN: Marc Gerstman and
20 Cheryl Roberts for the Catskill Preservation
21 Coalition.

22 ALJ WISSLER: Okay. A couple of

23 housekeeping items. First, we had a site
24 visit to Windham on July 22nd, 2004, and the
25 Applicant has supplied us with a copy of the

(OPENING REMARKS)

4205

1 itinerary for that day. I will take that in
2 as Office of Hearings Exhibit No. 16.

3 In addition, yesterday we took in CPC
4 Exhibit 93, which was that area along Route 28
5 opposite the Weyside Motel looking at
6 Belleayre Mountain and the balloon. Now, the
7 balloon is very faintly visible in the
8 photograph, so I'm going to ask that counsel
9 come up, take a look at the balloon because
10 the photocopies that we have, I don't know
11 that they show it. The balloon is right
12 there. (Indicating)

13 MR. RUZOW: I would note for the
14 record that I am not certain that is, in fact,
15 a balloon, and when we get our photos and
16 distribute it to you, Marc, and the other
17 parties, we can confirm it because the clarity
18 on that -- I'm not sure that's where the
19 balloon was.

20 ALJ WISSLER: I don't disagree, but
21 clearly that is something that's in the
22 photograph and kind of red in color.

23

MR. RUZOW: At least on our copy.

24

MR. GERSTMAN: I believe it is the

25

balloon, but we can confirm it when the other

(OPENING REMARKS)

4206

1 photographs are produced.

2 ALJ WISSLER: Mr. Gerstman, I take it
3 that the exhibits that you're introducing
4 today will be part of your presentation today?

5 MR. GERSTMAN: Yes. They're part of
6 cumulative impact and aquatic habitat.

7 ALJ WISSLER: Then why don't we -- do
8 you want to make a statement with respect that
9 you had a witness --

10 MR. RUZOW: We had intended, as we
11 said yesterday afternoon, to produce Abel
12 Garrigan. [sic] Because of scheduling, it's
13 not possible. We will submit a statement from
14 him, for purposes of the record, when we
15 submit our subsequent submissions.

16 MR. GERSTMAN: Who is Mr. Garrigan?

17 MR. RUZOW: Mr. Garrigan is both a
18 businessman and he was involved in Ulster
19 County economic development activities. We
20 can submit a statement from him. So that's
21 how we'll deal with that.

22 ALJ WISSLER: Okay. In terms of

23 schedule, then, with respect to cumulative
24 impacts, secondary growth, community
25 character, are we done now with that?

(OPENING REMARKS)

4207

1 MR. GERSTMAN: I would be presenting
2 today on cumulative impacts, along with Peter
3 DiModica. I don't believe we'll take more
4 than a half-hour, 45 minutes on that and then
5 move into aquatic habitat. We do reserve,
6 your Honor, of course the right to respond to
7 whatever statements are submitted.

8 ALJ WISSLER: Okay, I understand. If
9 there's nothing else, then you're on.

10 MR. RUZOW: Marc, are you going to
11 introduce those exhibits first?

12 ALJ WISSLER: Tell us what they are.

13 MR. GERSTMAN: Your Honor, we have
14 marked exhibits this morning for the record.
15 I'd like to start with CPC 98 and 98A.

16 CPC 98 is a 180-degree view from the
17 top of Rose Mountain. On the 17th of August
18 we made the trip up Rose Mountain, and
19 Mr. Bennett from the Catskill Center took
20 photographs, and these are the photographs put
21 together side by side to create the panorama.

22 98A is also the panorama from atop

23 Rose Mountain with the labels of various
24 mountain features that was given out at the
25 site visit.

(OPENING REMARKS)

4208

1 MR. RUZOW: Your Honor, if I might, I
2 just want to renew our objection to the Rose
3 Mountain photographs as not being
4 representative of views open and available to
5 the public, and we will have another exhibit
6 to bring that point home as soon as the
7 proceeding will allow us to introduce that.

8 ALJ WISSLER: Okay. Thank you.

9 MR. GERSTMAN: CPC 99 is a printout
10 from the Watershed Museum website. It was
11 printed out this morning.

12 Exhibit 100 is an article from the
13 Catskill Mountain News dated Wednesday,
14 August 11th, 2004 concerning a housing
15 project.

16 Exhibit 101 is a letter from Ward
17 Todd, majority leader of the Ulster County
18 Legislature, dated July 7th, 2000 to
19 Assemblyman Kevin Cahill.

20 Exhibit 102 is an application to the
21 Town of Shandaken planning board from the
22 owner of property, Chelsea Park Company. The

23 date of the application is June 8th, 2004.

24 CPC 103 is a letter from Ron Odatto and

25 John Odatto to Robert Cross, supervisor of the

(OPENING REMARKS)

4209

1 Town of Shandaken, concerning a project for a
2 96-room hotel within the hamlet of Pine Hill
3 on the north side of Route 28.

4 ALJ WISSLER: When is that dated?

5 MR. GERSTMAN: There's a reference
6 they would like to appear before the Town
7 Board on May 3rd, 2004 in the letter.

8 CPC Exhibit 104 are a series of
9 documents that I received in response to my
10 Freedom of Information Request to the
11 Department of Environmental Conservation,
12 which is a PowerPoint presentation made by
13 Tony Lanza in community meetings concerning
14 the Belleayre Mountain Ski Center expansion.

15 CPC Exhibit 105 is a PowerPoint
16 presentation and slides from Piotr
17 Parasiewicz. We will provide the CD copy of
18 this later on in the day, and we will
19 introduce that as CPC 105A.

20 CPC 106 is an article entitled, "A
21 Method for Assessing Hydrologic Alteration
22 Within Ecosystems," dated August 1996.

(OPENING REMARKS)

4210

1 Parasiewicz and M.J. Dunbar, dated
2 February 2001.

3 CPC 108 is an article entitled,
4 "Strategy for Sustainable Management of the
5 Upper Delaware River Basin," prepared by Piotr
6 Parasiewicz.

7 CPC Exhibit 109 is an article
8 entitled, "Stony Clove Creek," also authored
9 by Piotr Parasiewicz.

10 Finally, CPC 110 is an article
11 entitled, "Instream Flow Regimen for Fish,
12 Wildlife Recreation and Related Environmental
13 Resources." It is authored by Donald Leroy
14 Tennant, T-E-N-N-A-N-T in the publication
15 called Fisheries dated July/August 1976.

16 Your Honor, our first topic for this
17 morning is the issue of the cumulative impacts
18 associated with the proposed Belleayre Resort
19 project at Catskill Park. We believe that the
20 Draft Environmental Impact Statement does not
21 begin to address the likely cumulative impacts
22 that will occur as a result of this project

23 and the other projects that are pending or
24 planned for this region.

25 In our petition, we have provided

1 articles under Exhibit R concerning the
2 proposed expansion of the Belleayre Mountain
3 Ski Center. As your Honor knows, we have
4 sought information concerning the Department
5 of Environmental Conservation's plans for that
6 expansion. Our FOIL request has essentially
7 been denied concerning the actual Draft Unit
8 Management Plan which was referred to by
9 Mr. Lanza, director of operations at the
10 mountain, in which he publicly stated that
11 there was significant plans for expansion of
12 the mountain.

13 Also, your Honor, as you know, the
14 Commissioner has denied our appeal to your
15 motion denying us discovery against the
16 Department of Environmental Conservation Staff
17 to produce that Unit Management Plan. Her
18 ruling, I believe, was a denial of leave to
19 submit an expedited appeal, and the right to
20 appeal is preserved pending your rulings.
21 Ultimately, she will have a chance to review
22 that issue again.

23 What's been very clear is that there
24 is a lot of activity, notwithstanding some of
25 the witnesses that testified on behalf of

(CUMULATIVE IMPACTS & SECONDARY INDUCED GROWTH)

4212

1 Crossroads, which tried to paint a gloom and
2 doom picture of this region. As your Honor
3 has seen through the site visits, it's
4 certainly not black and white, there's a
5 tremendous amount of vitality in this
6 community, a tremendous amount of growth, and
7 the type of growth that our experts would
8 characterize as smart growth.

9 What we believe will happen as a
10 result of this project is a significant amount
11 of induced and secondary growth. We don't
12 believe that that has been adequately
13 addressed, as we identified yesterday.

14 Today, this morning, what we want to
15 do is present to your Honor for consideration
16 many of the other projects that are pending
17 and for which agencies have received
18 applications or which are formally before the
19 boards or beginning to be before the various
20 local and state entities and municipal
21 entities for approval.

22 I would like to start with the

23 Catskill Watershed Museum. We presented to
24 you CPC Exhibit 99, which indicates, your
25 Honor, that there is an option that has been

1 secured on 44 acres of land in the Town of
2 Middletown, and that there are preliminary
3 designs for the building that have been done,
4 including some initial exhibit design plans.
5 We believe this is far enough along in the
6 process to be required to be considered by the
7 Draft Environmental Impact Statement. The
8 failure to do so is a significant deficiency
9 which requires further adjudication.

10 We believe all these projects that
11 we're going to talk about today will raise
12 issues of additional traffic, additional
13 visitors to the area, which may or may not --
14 withdrawn -- which will take place at various
15 times of the year which will contribute to
16 potentially the use of the Belleayre Mountain
17 Ski Center, beyond that which it's capable of
18 absorbing at this point.

19 We believe that there are significant
20 issues in terms of water withdrawals, in terms
21 of changing the community character and
22 potentially aquatic habitat as well, as a

23 consequence of water withdrawal.
24 What we're saying, your Honor, is
25 that -- we're certainly not saying that CPC is

1 opposed to any of these projects. What is
2 important and what is absolutely essential as
3 a function of SEQRA is that the impacts be
4 disclosed and that they be evaluated in the
5 decision-making process. And that is what is
6 lacking in the Applicant's documents to date.
7 That's our position in terms of the secondary
8 induced growth. It's also our position here
9 in connection with cumulative impacts.

10 To give you some background on the
11 issue of the Catskill Watershed Museum, I've
12 asked Peter DiModica, who you met previously
13 as a witness on community character, and also
14 has been a participant in some of our
15 challenge events during our site visits.

16 Mr. DiModica is a former supervisor of
17 the Town of Shandaken. He is also a member of
18 the executive committee of the Friends of the
19 Catskill Interpretive Center, and an active
20 member of this community.

21 I wanted Mr. DiModica to give you some
22 background on the history and the status of

23 the Catskill Watershed Museum.

24 MR. DIMODICA: I'm speaking mostly

25 about the time that it was proposed for the

1 Town of Shandaken. I know that they have
2 since gotten some grant money from the
3 O'Connor Fund. I know they have -- as was
4 said before, some options on the property, I
5 believe. On the off-site visit when we were
6 going off to Hanna, we stopped and were shown
7 that property by Gary Gailes on the left side
8 of the crossroad, the cutoff road.

9 It was first proposed in Shandaken on
10 property offered to the town by the project
11 manager of this project, Gary Gales, on
12 Highmount. At the presentation of the Town
13 Board, there were some issues that were
14 brought up, one of those issues was that there
15 were likely to be 52,000 visitors per year to
16 make their basic -- their breakeven point was
17 52,000 visitors a year. One thing that was a
18 little strange was that they had 48 parking
19 spaces.

20 There were other concerns brought up
21 about the exhibits by the citizens in the
22 audience. I publicly asked them to come back

23 with some adjustments to that and to, you
24 know, make some changes and come back to us.
25 As soon as the issue of segmentation

23 Interpretive Center?

24 MR. DIMODICA: Yes. The Catskill

25 Interpretive Center would have the dual role

(CUMULATIVE IMPACTS & SECONDARY INDUCED GROWTH)

4217

1 of education and tourism. So it wouldn't be
2 primarily a tourist destination. It would
3 also be something there for the local people
4 to go, maybe hear seminars, see movies or
5 presentations on all sorts of things about the
6 Catskills, from the bluestone production to
7 trails and fishing and all that sort of stuff.

8 The Interpretive Center has a web
9 site, catskillinterpretivecenter.org. It had
10 about a million dollars invested by the state
11 to do the entry bridge, which is referred to
12 as the bridge to nowhere, since it's a
13 beautiful bridge and entryway to a field.

14 It was kind of dropped at one point
15 and officials and interested citizens from
16 four counties, Ulster, Delaware, Sullivan and
17 Greene, got together and started to get this
18 process moving again.

19 The idea was to do some fundraising
20 from private funding to try to build up -- I
21 believe the figure -- the total figure to

22 build it was about \$6 million, and the plan
23 was to try to raise a million and a half in
24 private funding and then have the state kick
25 in and put together the other four and a half

1 million. I could be a little wrong on those
2 figures, but I believe that is what we were
3 talking about. We're coordinating this on the
4 local, regional and state levels. We've
5 gotten resolutions in support by the Ulster
6 County Legislature, by the Town Board -- town
7 boards of various towns.

8 It also had pretty good support in the
9 Town Comprehensive Plan Survey of 1999-2000, I
10 think that's one of our exhibits. And it
11 would be similar to the two Adirondack
12 Interpretive Centers. And we would be, of
13 course, seeking state funding once we get it
14 off the ground with the local funding.

15 We have raised some money. The people
16 are very, you know, into this idea. A lot of
17 people have shown support for it, so I think
18 it would be a good thing.

19 And again, we don't know what the
20 numbers of visitors may be, but we're hoping
21 it would attract visitors.

22 MR. GERSTMAN: Mr. DiModica, you said

23 there's a bridge that's been constructed at
24 the site?

25 MR. DIMODICA: Yes.

1 MR. GERSTMAN: The intention when it
2 was constructed was --

3 MR. DIMODICA: To build the
4 Interpretive Center.

5 MR. GERSTMAN: So there's actually an
6 infrastructure in place for the Interpretive
7 Center?

8 MR. DIMODICA: Yes.

9 MR. GERSTMAN: Your Honor, we now
10 refer to CPC Exhibit 100, which is a newspaper
11 article dated August 11th, 2004. I identify
12 and point out that there has been a
13 significant grant that's been announced that
14 will allow funding of a 14-family-style
15 townhouse and 30 apartment development on
16 County Route 38 called originally, "The
17 Crossroads in Arkville." And we believe that
18 that's adjacent to the site that the Catskill
19 Watershed Museum has obtained an option on.
20 Is that your understanding, Mr. DiModica?

21 MR. DIMODICA: I think so, yeah.

22 MR. GERSTMAN: I next refer you, your

23 Honor, to CPC Exhibit 101 referring to a
24 July 7th, 2000 letter from Mr. Todd to
25 Assemblyman Cahill requesting a grant for the

1 Catskill Mountain Railroad. And the money
2 would be used to construct, essentially, the
3 new railroad bridge tressels and two portions
4 of the Catskill Mountain Railroad tourist
5 line. It's my understanding that this grant
6 was approved.

7 Your Honor, on page -- essentially one
8 of the document that's attached, which is the
9 "Catskill Mountain Railroad Economic Impact
10 Study Completed for Ulster County by Fair
11 Weather Consulting," dated March 1999, under
12 the executive summary you'll see that the most
13 likely scenario, in terms of visitors, is that
14 they anticipate 50,000 visitors in order to
15 provide the revenue necessary to keep this
16 going.

17 The worst-case scenario that's listed
18 there is a 15,000 visitor level, and the most
19 optimistic is 200,000. But they anticipate,
20 when this project is complete, to attract
21 50,000 visitors to the project, to the

22 railroad.
23 CPC 102, your Honor, refers to a
24 17-lot subdivision that's currently pending
25 before the Town of Shandaken planning board.

1 These are the only documents that we have been
2 able to obtain at this time. The location is
3 in Pine Hill, and it's essentially on old
4 Route 28, approximately 800 feet from Academy
5 Street Road. Pete, can you describe that
6 location, where that is?

7 MR. DIMODICA: Yeah. Well, you're
8 familiar from our site visits, off-site
9 visits, the Main Street of Pine Hill where it
10 comes to Academy Street, it's right around
11 where that hotel that's being renovated is.
12 If you look back toward 28 up the hill, it's
13 about 800 feet above there. It's an area
14 called Chelsea Park. I believe we actually
15 pointed that out to you also coming down that
16 hill in Pine Hill.

17 MR. GERSTMAN: Your Honor, we next
18 refer you to CPC Exhibit 103. I'll ask
19 Mr. DiModica again to help us in terms of the
20 location. But this is a proposal that has
21 been presented to the Town Board in the Town
22 of Shandaken for a 96-room hotel on the Route

1 is proposed?

2 MR. DIMODICA: Yeah, approximately
3 it's on the north side of Route 28 between the
4 entrance -- the easternmost entrance to Pine
5 Hill and the sewer treatment plant, the
6 wastewater treatment plant.

7 MR. GERSTMAN: You'll notice that the
8 Applicants are trying to incorporate a
9 restaurant and gift and conveyance shop
10 -- convenience shop, and they're also looking
11 to incorporate a shuttle service to and from
12 Pine Hill, Phoenicia and the Belleayre
13 Mountain Ski Center. The project is described
14 in that exhibit.

15 Your Honor, it's also my
16 understanding, although we don't have
17 documents to present to you today, that the
18 Margaretville Hotel project that you have
19 heard referenced repeatedly in this
20 proceeding, and also which we had the occasion
21 to visit on one of our early site visits, has
22 put an application to the Department of

23 Environmental Protection to allow them to
24 connect to the POTW in Margaretville, as far
25 as I understand. That application we heard

1 was initially denied by DEP, but as far as I
2 understand, the application was resubmitted
3 and there's a likelihood that it will be
4 approved, from what we have heard.

5 The next issue, your Honor, is raised
6 by CPC Exhibit 104. This is a document that
7 we obtained through the Freedom of Information
8 law from the Department of Environmental
9 Conservation. It appears to be a presentation
10 that was made by the Director of Operations,
11 Tony Lanza, to various public forums in and
12 around the Route 28 corridor.

13 Although Mr. DiModica can't attest
14 that this is the entire presentation that he
15 saw, there may be some additional notes in
16 this presentation that were not in the one he
17 attended. If I can characterize what you
18 said, Mr. DiModica, this is essentially a
19 PowerPoint presentation that you witnessed in
20 a public meeting in Pine Hill by Tony Lanza?

21 MR. DIMODICA: Yes.

22 MR. GERSTMAN: What was the nature of

23 that meeting?

24 MR. DIMODICA: A public hearing to

25 talk about the Draft Unit Management Plan that

1 they were working on, and the first few pages
2 in there that talk about the skier visits were
3 part of that presentation. The revenues, I
4 believe, was also part of it, skier visits was
5 part of it. He did speak somewhat about the
6 summer operations. When it gets near the end,
7 the end of this, I think it may have been more
8 part of an in-house presentation. I don't
9 remember the overusage, although that might
10 have been part of the presentation that he
11 gave, and I believe that there was more to the
12 presentation that is not in this as well. But
13 I know the skier visits and revenue was part
14 of it.

15 MR. GERSTMAN: Let me just make sure I
16 understand, Mr. DiModica. The purpose of the
17 presentation was to present the plans for the
18 Belleayre Mountain Ski Center expansion?

19 MR. DIMODICA: The Draft Unit
20 Management Plan.

21 MR. GERSTMAN: That called for an
22 expansion of the ski center?

23

MR. DIMODICA: Yes.

24

MR. GERSTMAN: Do you remember the

25

specifics of the expansion at this point?

1 MR. DIMODICA: It was a while ago, but
2 I remember they were going from, I believe,
3 17 miles of trails -- I remember Tony saying
4 they would go to 22 miles, maybe 22 and a half
5 miles, that they were leaving a little bit
6 left in the size that they can expand to by
7 virtue of the Constitution. And that there
8 would be a huge increase in the skier visits.
9 I don't remember the numbers that was actually
10 part of that presentation in there. I think
11 some 170,000 or something a year.

12 MR. GERSTMAN: For the record, your
13 Honor, we can provide the accurate numbers. I
14 believe the Constitution allows the ski center
15 to be expanded up to 25 miles.

16 MR. DIMODICA: If I could also add one
17 other thing that really did impress me and a
18 lot of people there at that meeting was that
19 there was talk about a gondola run down into
20 the edge of Pine Hill up near the water
21 company property. And in a previous
22 engineering report by Sno Engineering, they

23 were talking about a major, major expansion
24 into Pine Hill. And people were very upset
25 about it because at that point they were

1 taking a bunch of houses for parking lots and
2 all that sort of thing.

3 In the plan that Tony Lanza presented,
4 he promised there would be no parking at the
5 end of this trail. It would merely be a trail
6 bottom. You would be able to ski down, get
7 back on. It would just make a very long
8 trail. You could get back on the gondola and
9 go up. And he left it up to the people of the
10 Town of Shandaken or Pine Hill how they wanted
11 to access that area.

12 So if, for instance, the people felt
13 good about the idea of having a shuttle bus go
14 there at lunchtime and bring people into the
15 town, that would be up to the people of Pine
16 Hill. And everybody found that to be a very
17 good plan in that it wasn't heavy-handed, and
18 it would allow the people of Pine Hill to make
19 use of it as they saw fit.

20 MR. GERSTMAN: Your Honor, I refer you
21 back to the exhibits to our petition, Exhibit
22 R, are the articles that identify and report

23 on the public meetings and the UMP planning
24 process that was undertaken by DEC in
25 anticipation of this Belleayre Mountain Ski

1 Center expansion.

2 Let me make one thing perfectly clear
3 on the record, because I have been the subject
4 of some press information in the past, which
5 has tried to mischaracterize CPC's position
6 concerning the Belleayre Mountain Ski Center.
7 Let me make it perfectly clear that the
8 Catskill Park -- Catskill Preservation
9 Coalition supports the Belleayre Mountain Ski
10 Center expansion. We have issued a press
11 release to that effect. There has been no
12 question in this proceeding that that is, in
13 fact, the case, and I will not tolerate
14 being -- our position being mischaracterized
15 in the public in order to drive a stake, a
16 divisive stake between the community in this
17 community, and that's the only purpose for
18 which those press releases were issued by
19 Crossroads Ventures.

20 The other issue that has not been
21 addressed by the Draft Environmental Impact
22 Statement, is sorely lacking, has to do with

23 the impacts on the use of the ski slope
24 itself. The Belleayre Mountain Ski Center, if
25 you take a look at some of these documents

(CUMULATIVE IMPACTS & SECONDARY INDUCED GROWTH)

4228

1 produced by Mr. Lanza, it is characterized as
2 being overused. The numbers that have been
3 put forward by Mr. Ketcham in the traffic
4 analysis indicates that there's a steady
5 increase in the use of Belleayre Mountain Ski
6 Center. There was a dropoff, I believe, in
7 the winter of 2002-2003 because of the snow,
8 but there has been a steady increase in the
9 use of the ski center.

10 There is no analysis on the impacts --
11 an what the impacts of this resort will be on
12 the use of Belleayre Mountain Ski Center. In
13 fact, one would argue that being part of the
14 forest preserve, while it's an intensive-use
15 area, this is a situation that calls for a
16 very intensive review of what the impacts will
17 be. What will the use look like? What will
18 the impacts be on parking?

19 We've already heard that the shuttle
20 bus operation is deficient in terms of
21 transporting people from the resort to the ski
22 center. What kind of crowds are there going

23 to be on the trails? Will it, in fact, be
24 counterproductive because of the alleged
25 overuse? As Yogi Berra once said, that

1 restaurant -- "Nobody goes to that restaurant
2 anymore, it's too crowded."

3 So the same type of thing might occur
4 to the Belleayre Mountain Ski Center. We're
5 very concerned that the lack of analysis here
6 presents a gaping hole in the evaluation of
7 the cumulative impacts of this projects.

8 We are also concerned, as we have
9 identified previously, that the exploitation
10 of resources by this project may leave little
11 room for the future Belleayre Mountain Ski
12 Center expansion, that this project may create
13 conditions and may deplete water resources or
14 may have impacts on traffic, which somehow
15 will not allow the Belleayre Mountain Ski
16 Center to expand due to the exploitation of
17 those resources or the use of those resources.

18 And we believe that it's absolutely
19 essential in the evaluation of this project to
20 ensure that the Belleayre Mountain Ski Center
21 expansion is considered so that does not

22 happen. We're seeking, essentially, to
23 protect the expansion and make sure it does
24 not suffer at the expense of this project,
25 which we believe is potentially likely given

1 the enormous impacts that this project will
2 have on the very resources which will be
3 necessary for the Belleayre Mountain Ski
4 Center to use in order to expand.

5 Your Honor, many of these issues
6 require a legal briefing to identify the
7 current status. I anticipate objections from
8 Mr. Ruzow concerning the formality of the
9 applications submitted, whether or not these
10 are glimmers in the eyes of the developers or
11 whether, in fact, they have formal status due
12 to applications pending before various
13 agencies.

14 We believe that all these
15 applications, all the projects I have
16 referenced today have sufficient formality in
17 an agency process, either through funding or
18 through applications pending, that they must
19 be considered in the cumulative impact
20 analysis that's undertaken to evaluate this
21 project; and that those evaluations are
22 lacking, are absent, in fact, from the Draft

23 Environmental Impact Statement.

24 The two percent growth factor that's

25 used by DOT to evaluate traffic impacts over

1 the course of a project's development and
2 build year are not a substitute for evaluation
3 of projects that will take place in a
4 community. And I don't believe DOT would
5 suggest that you can avoid evaluating those.

6 Certainly SEQRA doesn't allow you to
7 avoid evaluating those pending projects using
8 some generic growth factor that would be
9 applied -- I believe that the EIS uses a three
10 percent growth factor. Even that is
11 insufficient in order to evaluate the impacts
12 from these pending projects.

13 I think the briefing on this, your
14 Honor, will shed some further light on the
15 issues of which projects are required to be
16 considered, and we believe that all of these
17 fall into that category.

18 Thank you.

19 ALJ WISSLER: Would you like to
20 respond first.

21 MR. ALTIERI: My comments are just

22 limited to the mentioned, you know, so-called
23 expansion at the ski center. Just to reassert
24 and restate our comments, Staff's comments
25 before regarding the alleged expansion, it's

1 speculative at this time. It would have to go
2 through numerous hurdles before such an
3 expansion would ever be effectuated. None of
4 this has occurred.

5 Any proposed expansion of the ski
6 center would be limited by the Constitution.
7 The number of visits could be limited by
8 parking, lift capacity, weather, and the
9 decision of the ski center, whether it
10 actually even wants to try to max out at the
11 site under the Constitution. All these are
12 elements that just -- evidence that this
13 proposed or this mentioned new expansion is
14 purely speculative.

15 As to CPC Exhibit 104, it doesn't
16 evidence anything. The mission statement, I
17 think it's pretty vague, "Why We Are Here."

18 ALJ WISSELER: Mr. Altieri, let me ask
19 you this. There was a UMP in 1998; correct?

20 MR. ALTIERI: Correct.

21 ALJ WISSELER: That was finalized?

22 MR. ALTIERI: That's my understanding.

23 ALJ WISSLER: Have all the projects
24 that were proposed under that UMP been
25 completed?

1 MR. ALTIERI: I don't know that to be
2 the case.

3 ALJ WISSLER: Is that UMP still valid,
4 or is it in abeyance pending some new UMP?

5 MR. ALTIERI: I believe the '98 UMP is
6 the one that's effective now.

7 ALJ WISSLER: That's still effective?

8 MR. ALTIERI: I believe so. That's my
9 understanding. The third page of CPC 104,
10 "Why We're Here," quote: "In order to not
11 only ensure Belleayre's continued growth but
12 to be certain that our vision is
13 environmentally sound and consistent with that
14 of our neighbors and guests, we are conducting
15 an open forum to encourage the partnership we
16 have enjoyed in achieving our shared goals.
17 Our commitment to be in harmony with this
18 community is steadfast. It is in this spirit
19 that we are presenting our vision of the
20 future of this mountain as it relates to our
21 friends, neighbors and visitors."

22 We have historical revenue data in the

23 following pages, historical ski visit data. A
24 page that represents summer operation but
25 doesn't elaborate. Another page that speaks

1 to handicap accessibility. Some were comments
2 with no elaboration. Winter operation. I'm
3 not sure what -- some date that looks to
4 historical housing numbers perhaps. I'm not
5 sure what this next page represents.

6 (Indicating)

7 We have a couple of photos regarding
8 usage that show a crowded eating area; each
9 one, one indoors, one outdoors. I don't know
10 what that establishes in the context of this
11 proceeding. (Indicating)

12 Maintenance garage. This is, I think,
13 the only page that looks prospectively. "A
14 new maintenance garage was already approved in
15 the 1998 UMP, but we are in the process of
16 determining its new home."

17 Questions -- well, the only question
18 is: "Suggestions of where it should go?"
19 That's the only prospective looking item in
20 104. And we have a couple of maps at the end.

21 (Indicating)

22 So essentially, we're just restating

23 Staff's prior comments regarding this alleged
24 expansion. At this time it's speculative, and
25 even if there was some sort of future

1 expansion, that expansion would have to
2 undergo SEQRA and would have to do the
3 complete review of the surrounding area, which
4 may or may not include this proposed project.
5 So the public is not being -- full public
6 review would occur regarding any future
7 expansion or additional expansion of the ski
8 center.

9 Thank you.

10 MR. RUZOW: Your Honor, a couple of
11 things. With respect to CPC Exhibits 98 and
12 98A, we have two photographs that are taken --
13 and I would defer to Al Frisenda in terms of
14 their precise location -- that were taken near
15 the state property on the Rochester Hollow
16 Trail leading -- adjacent to the Vinci
17 property. And, your Honor, they show the
18 nature of the public access that is allowed to
19 the Vinci property. So that's Applicant's
20 Exhibit 134.

21 ALJ WISSLER: 134.

22 (PHOTOGRAPH TAKEN NEAR STATE PROPERTY

23 ON THE ROCHESTER HOLLOW TRAIL RECEIVED AND
24 MARKED AS APPLICANT'S EXHIBIT NO. 134, THIS
25 DATE.)

1 MR. RUZOW: The second is another
2 photograph taken approximately the same
3 location, Mr. Frisenda?

4 MR. FRISENDA: Yes.

5 (PHOTOGRAPH TAKEN IN APPROXIMATELY
6 THE SAME LOCATION AS APPLICANT'S EXHIBIT NO.
7 134 RECEIVED AND MARKED AS APPLICANT'S EXHIBIT
8 NO. 135, THIS DATE.)

9 MR. RUZOW: In case there's any
10 ambiguity with regard to the open access that
11 was suggested during our site visit, the land
12 is posted. It is not -- public access is not
13 provided. So we still question whether the
14 views, as beautiful as they were, whether the
15 views are meaningful, in terms of the site
16 visibility from places of public interest.

17 Mr. Gerstman is correct because he is
18 familiar with what the law is under SEQRA
19 regarding cumulative impact assessment. We do
20 take issue with their suggestions that
21 projects, many of which have been dormant,

22 lack funding and are still the gleam in
23 someone's eye, a wonderful gleam, but
24 nevertheless, never reach the stage of public
25 -- of a point at which one can do anything but

(CUMULATIVE IMPACTS & SECONDARY INDUCED GROWTH)

4237

1 speculate regarding what their impacts might
2 be, do not belong in a cumulative impact
3 assessment. And we'll look through these
4 documents and respond and brief these issues
5 as necessary. But the SEQRA law does not
6 require that an applicant for a project take
7 into account other projects, unless they are
8 pending and they've reached their own level of
9 maturity where their impacts, in fact, have
10 been presented and can be assessed
11 cumulatively.

12 For example, the Catskill Interpretive
13 Center on Route 28 has been a gleam in the eye
14 of the area since the Catskill Center for
15 Conservation and Development acquired that
16 site sometime in the late '80s or early '90s
17 when DEC was convinced to take a 99-year lease
18 on it, I believe, and they built the road to
19 nowhere. In fact, there is a road, it's a
20 lovely road. You can go back there. But
21 there's never been any funding to bring it to

22 fruition.

23 Indeed, one of the factors in the
24 Memorandum of Agreement, which was hard fought
25 at the negotiation table, was funding for a

1 visitor interpretive center museum exhibits.
2 And indeed \$3 million was provided, I believe
3 it was \$3 million, with a million for
4 exhibits, which expired because they couldn't
5 agree on the site there. And ultimately the
6 site was not found somewhere else until
7 afterwards.

8 So the opportunities for that
9 development of that site as an Adirondack
10 Interpretive Center -- which Marc is correct,
11 it's a beautiful place at Paul Smith's College
12 in Newcomb -- has never come to fruition here.

13 So how we can assess the cumulative
14 impacts of a project that has never been able
15 to get off the ground -- as good as an idea as
16 it is -- under SEQRA, either required to or
17 can is just impossible.

18 With respect to the current Catskill
19 Museum -- and we can present information, Gary
20 Gales, I believe, is the president of that
21 museum -- that too, they've required an option
22 and are in the course of fundraising. They

23 have an idea for an artist's rendering for the
24 building, but no funding to do more than the
25 artist rendering and an idea for the model of

1 the building.

2 Programmatically, they need to raise
3 money. So when and if that is all
4 successful -- the O'Connor Foundation grant I
5 think was a matching grant. I know a number
6 of people attended an event this past spring
7 on a fundraising, and thank you to the local
8 folks for giving money, but there are no plans
9 that one can assess. From a financial
10 feasibility point of view, yes, just as the
11 Catskill Interpretive Center Museum, you have
12 to do some feasibility numbers. Indeed, the
13 exhibit with respect to the Catskill Mountain
14 Railroad, that's a 1992 document. This is
15 2004, August 25th today.

16 But those documents, you must do the
17 financial feasibility. Where is your
18 breakeven point? How many visitors do you
19 need? But they have not progressed the museum
20 to the point they know how many visitors
21 they're going to have and provide for that.
22 That's later on.

23 SEQRA will require -- with the
24 Belleayre UMP, I concur with our colleagues
25 from DEC, that that has not yet reached the

1 point. That meeting was a charrette, an
2 opportunity to provide public input into an
3 ongoing planning process. There is a planning
4 process, and they have not yet reached the
5 stage for the planning for the Belleayre Ski
6 Center for any further expansion.

7 Mr. Gerstman's suggestion that the
8 resources available to Belleayre will be
9 depleted by this project moving ahead, we have
10 challenged their suggestions, we think their
11 science is not good science. We have
12 presented our own views and met the state's
13 requirement for pump tests, et cetera.

14 And from a traffic point of view, we
15 meet all the state requirements for DOT, in
16 terms of projections on traffic. And three
17 percent is a very high growth rate in an area
18 that has largely seen very little growth
19 whatsoever. You've heard all the offers of
20 proof with regard to the population numbers in
21 this area, and the only measure you can see is
22 based on 10-year segments. And you see very

23 little movement within those segments.

24 So the growth rate we have projected

25 and used is a very large one which exaggerates

1 the impacts but takes into account all the
2 things that might come along, unless there's
3 some new pending proposal.

4 With respect to the hotels that are
5 being suggested and the other developments,
6 they have an obligation in their SEQRA review
7 to take into account our project from a
8 cumulative impact point of view.

9 SEQRA doesn't require -- you won't
10 find it in the regs and you won't find it in
11 the case law, an obligation for an applicant
12 who has had a determination of a scoping
13 outline and a positive declaration years ago
14 and submits an application and a Draft EIS
15 that is finally accepted as complete to
16 commence the public process, to assess
17 cumulative impacts of projects that come up
18 afterwards. You're not going to find a case
19 that says that you have that obligation.

20 What you have is an obligation to do
21 -- they will have an obligation to consider
22 our project as a pending project, in terms of

23 the implications of what they will add to it.

24 But not the other way around.

25 As you understand, your Honor, this

(CUMULATIVE IMPACTS & SECONDARY INDUCED GROWTH)

4242

1 has been a very long process, and it remains a
2 very long process. We do not have an
3 obligation to continue to amend, in effect, or
4 supplement, as they're suggesting, our
5 environmental analysis every time something
6 happens, somebody else comes forward with a
7 project. You would never be able to focus and
8 make a decision under that theorem. And it is
9 just simply not acceptable, and we will brief
10 it further.

11 But with respect to the resources for
12 Belleayre, we believe our experts have
13 demonstrated that there is ample capacity for
14 water and sewer, certainly for sewer without
15 any question, as well as -- subject to New
16 York City allowing people to tie into the
17 available capacity now at 415,000 gallons a
18 day. So there isn't a paucity of resources
19 that this project will somehow impinge in
20 terms of others.

21 With that, I will close and we will
22 supplement both our submissions and our

23 arguments in a brief on this issue.

24 Cumulative impacts is an important

25 issue, and we have forecasted induced growth

1 and secondary growth, and we have taken that
2 into account in our submissions, in our Draft
3 EIS. And while there have been interesting
4 arguments that induced growth will be greater,
5 the corollary benefit of that induced growth,
6 in terms of taxes and wealth, as described by
7 Mr. Arace yesterday, in the area, have not
8 been cataloged to the same extent and offered,
9 in effect, your Honor, as justification for a
10 balance, the ultimate SEQRA balancing, because
11 we took a very conservative view on most of
12 those issues.

13 But the point is that when there has
14 been an identification of the potential,
15 realistic potential for growth, we have
16 demonstrated what that is. And with regard to
17 these other projects, many of them are great
18 potential projects that may or may not arise
19 in our -- in the next horizon in this decade.
20 And when and if they do, they too will have to
21 take into account the cumulative effects of
22 our projects and other projects along the way.

23 But there's ample capacity in the
24 roadways, there's ample capacity in the water
25 regimes and the things that are important, in

1 terms of the quality of life, and their
2 synergy is still very much available to the
3 region. They're all tourism-based ideas as a
4 way of attracting people into this region.
5 They are not mutually exclusive, they all work
6 together.

7 And if they ever get off the ground,
8 there is no question that this project will
9 seek to harmonize its visitation with their
10 visitation, whether it's through shuttle
11 systems, whether it's through timing and
12 operation. They all make sense in a
13 tourism-based economy.

14 And indeed, they evidenced something
15 that was, quite frankly, not suggested as
16 -- sort of almost in a counter way -- by the
17 comments by the RPA. This is all increased
18 tourism. Those very same projects might lead,
19 based on their theorem, to some form of
20 induced growth. I have not heard, in
21 references to these, that that might be
22 possible.

23 We see that these projects are all
24 trying to achieve the same thing, which is
25 restoring this region's ability to act as a

1 tourist mecca for this part of the state. And
2 everybody has their dream. Everybody has a
3 goal in terms of achieving a certain level of
4 visitation. Not everybody gets to be as
5 successful, but where the resources and the
6 attractions are actually available, they
7 increase everybody's chance of sharing in some
8 success.

9 So we don't see any of these things as
10 competing in any way, but they all become
11 important if they can be successful to
12 restoring the region's grandeur as a place of
13 visitation.

14 But the roadway systems, the
15 assumption that is built into the argument is
16 that the peak hour -- everybody is going to
17 come on the same Martin Luther King ski day in
18 the same hour. That's the only way you can
19 get to a point where -- I'm just adding in my
20 head, all of these visitations were to occur
21 at the same time -- where Route 28 might find
22 some constriction. But that's impossible

23 because you're -- the railroad has got to be
24 operating at the same time that the museum
25 that's got bus loads of people coming to it,

1 at the same time the skiers are coming to the
2 center, at the same time, God willing, this
3 facility is full to the brim with every room
4 filled. Not possible.

5 You analyze these things from a
6 worst-case point of view to look at things,
7 but you don't surrender logic and sanity in
8 the course of doing that. And we believe that
9 an appropriate measure of analysis in this
10 process, relying on DOT's standard methodology
11 for looking at how you look at worst case for
12 them, applying New York State DOH and DEC's
13 measures for water pumping and testing the
14 capacity, and a realistic sense of when people
15 will come and how they will come, at the end
16 of the day has to be applied in terms of the
17 cumulative effects of this project and
18 anything else.

19 You don't take a myopic view and a
20 narrow view because science or some
21 methodology suggests that you can, or

22 computers will give you the ability to look in
23 a particular fashion that, again, you
24 surrender your logic to say that: Oh, that is
25 the measure by which we make our judgment.

1 That is not cumulative impact analysis. It
2 doesn't require that. And here, where many of
3 these projects have not yet reached the stage
4 where there's data, other than a single data.

5 We use Marc's example, 50,000
6 visitors, most reasonable case, as opposed to
7 15,000 -- best, worst case, I don't know how
8 to describe it. When are they coming? Where
9 is the data to inform us, to inform our
10 consultants when they are coming? What days
11 would they come? Is it school kids? Is it
12 during the school?

13 You don't have any of that. You can't
14 analyze it. So the prematurity of it, and
15 we'll brief this, but the prematurity of all
16 these things affect the realistic ability to
17 project, to assess these things. You don't do
18 it in a speculative fashion. SEQRA does not
19 require that, the courts are consistent in
20 that view. And while someone can dream up a
21 way of trying to consider all these things
22 together, the law doesn't require that an

23 Applicant do that.

24 MR. GERSTMAN: May I?

25 ALJ WISSLER: Yes.

1 MR. GERSTMAN: Your Honor, I actually
2 find it somewhat astonishing that the DEC
3 Staff will not step up and protect its -- the
4 potential for its future project. We know
5 that the Belleayre Mountain Ski Center has the
6 ability to expand based upon the
7 constitutional limitations.

8 For Mr. Altieri to talk about the
9 -- our Exhibit 104, the PowerPoint
10 presentation, as if it was not a DEC record
11 that was put out in conjunction with public
12 meetings which envisioned the expansion of the
13 Belleayre Mountain Ski Center, defies logic.

14 This is a project that was moving
15 forward, that had the official imprimatur of
16 the director of the Belleayre Mountain Ski
17 Center. And the brakes were put on at some
18 point as a result, we believe, of the
19 Belleayre Resort project.

20 DEC Staff should be aggressively
21 protecting its resource and the ability for
22 that resource to expand. And they have not

23 done so.

24 What we haven't said is this exhibit
25 stands alone. We've said, take a look at the

1 articles in Exhibit R. Listen to what
2 Mr. DiModica said in terms of the presentation
3 that Mr. Lanza made to the public, in terms of
4 outlining his vision -- not Mr. DiModica,
5 Mr. Lanza's vision -- for the expansion of the
6 Belleayre Mountain Ski Center and you will
7 find there's more than a speculative proposal
8 sitting before DEC.

9 If we had the opportunity to have
10 discovery, not that we needed it to make our
11 case, but if we had opportunity for discovery,
12 we would have clearly established that this
13 project is more than just a glimmer in Tony
14 Lanza's eyes. It's gotten much further than
15 that. We unfortunately were prevented from
16 having that information.

17 We do believe, however, we have
18 established the viable -- that this expansion
19 is, in fact, a real project. We are more
20 concerned apparently than DEC Staff is
21 concerned about the possible expansion and

22 protecting the resource to enable that to
23 occur in the future.

24 Mr. Ruzow talked about the -- I
25 believe he misspoke when he was referring to

1 CPC Exhibit 101, which is the Catskill
2 Mountain Railroad. The letter is dated
3 July 7th, 2000. It's based on a study of
4 March 1999. I thought he was referring to
5 something around 1993 or earlier.

6 The DEIS itself brings together the
7 ski center and this project. There's
8 countless references, which we have already
9 provided to your Honor, in connection with the
10 marriage of these two projects. There's
11 reference to the expansion. We have
12 established, through the Belleayre Mountain
13 Ski Center maps and trails that go through
14 each, that not only is the project married to
15 the forest preserve and the amenities that are
16 here, in terms of wilderness and wild forest
17 areas, but the project is definitely married
18 to the ski center.

19 For Mr. Ruzow to then say that it's
20 all speculative, and maybe we'll take a look
21 at the harmonizing visitation at some later
22 date is contrary to SEQRA. SEQRA requires an

23 analysis before this project is built to
24 determine what those impacts are, to determine
25 whether they're significant -- which they

1 are -- and to mitigate and avoid, to the
2 maximum extent practicable, consistent with
3 all those other important considerations.

4 Also, the Commissioner has a
5 responsibility, not only under SEQRA to
6 evaluate cumulative impacts, but under
7 Environmental Conservation Law 3-30301(2), I
8 believe it is. It's 30301. I'll confer with
9 Mr. Ruzow later to get you the exact cite.

10 ALJ WISSLER: I know where to look.

11 MR. GERSTMAN: So this is not just a
12 requirement under SEQRA, it's a requirement
13 under the general powers of the
14 Commissioner -- required evaluation of
15 cumulative impacts.

16 Whether or not the scoping outline in
17 the DEIS included these projects is obviously
18 subject to legal interpretation and discussion
19 at this point.

20 This is not just any project. This is
21 an overwhelming project that will have

22 significant ramifications not only for the
23 communities in which it's situated, Middletown
24 and Shandaken, but the entire region and, in
25 fact, the Catskill Park and the Catskill

1 Forest Preserve. It is under that roof or
2 that umbrella that the cumulative impact
3 analysis must take place. To ignore the
4 potential cumulative impacts of this project,
5 Belleayre Mountain Ski Center expansion, and
6 all the other projects we put on the table,
7 violates and contravenes the spirit of SEQRA
8 and the letter of SEQRA, as we will brief it
9 later on.

10 But this is not every project. If it
11 were every project, then maybe Mr. Ruzow would
12 have some point. The long-term evaluation and
13 consideration of this project by both DEC and
14 the public evinces that there's a necessity
15 for full and complete evaluation in order to
16 avoid the likely impacts that will occur.

17 The fact that there has been a long
18 time frame between the scoping document, the
19 acceptance of the Draft EIS, and now the
20 adjudicatory process, is not something that
21 Mr. Ruzow can hide behind in order to avoid

22 the evaluation of impacts. We are here in an
23 adjudicatory process. This is not just a
24 local planning board dealing with the SEQRA
25 process, taking into account comments on the

1 draft EIS and responding to it in a final EIS.

2 We are in an adjudicatory process
3 where your Honor's responsibility, as you well
4 know, and the Commissioner, is to determine
5 whether there are substantive and significant
6 issues. Not to say, well, the timing isn't
7 right for evaluating impacts so we can't look
8 at it. That's not what's required under
9 uniform procedures and the Commissioner's
10 hearing decisions, and frankly, under SEQRA as
11 well.

12 We note that Mr. Arace was talking
13 yesterday about the economic viability of this
14 project and others. We believe that our
15 experts, both on alternatives, Mr. Alschuler;
16 on traffic, Mr. Ketcham; on water,
17 Mr. Michalski and Mr. Rubin, have all
18 demonstrated, based upon their evaluation of
19 the DEIS and their application of their
20 scientific expertise, showed, in fact, that
21 there were significant issues on all these
22 counts, all these substantive areas.

23 Mr. Arace mentioned yesterday that
24 gambling was really the shoring-up of the
25 Sullivan County hotels. It's the thing that

1 was keeping those hotels afloat. Nobody is
2 talking about that here, and so there may be
3 apples and oranges, but the Sullivan County
4 hotel example can't be used necessarily for
5 this area, unless gambling is introduced as a
6 possibility. I understand the project
7 sponsor, to the extent that he's involved in
8 this project, said he's not interested in
9 that, but to the extent he has no control over
10 the future of that issue.

11 We're not looking for anybody to
12 surrender logic. We're looking for, in fact,
13 the application of law and facts and science
14 to a very significant project that's going to
15 have far-reaching implications for this
16 region, for the forest preserve and for the
17 future of the Belleayre Mountain Ski Center.

18 We think we've established a
19 substantive and significant issue, and we
20 believe this issue, based upon the entirety of
21 the record, ought to go forward for
22 adjudication.

23 Thank you, Judge.

24 ALJ WISSLER: Brief comments before we

25 take a break?

1 MR. ALTIERI: I'll make a short
2 comment that I find it objectionable when CPC
3 staff uses the word "brakes," that the DEC put
4 the brakes on this, again, speculative
5 expansion. And I would just say for the
6 record that the DEC has been and continues to
7 be an excellent steward of the ski center,
8 notwithstanding CPC's self-serving comments
9 otherwise.

10 MR. RUZOW: Your Honor, I just want to
11 respond that with respect to the project
12 interrelationship with the Belleayre Ski
13 Center, our DEIS does in many places describe
14 the way in which this project can integrate
15 itself without harm and, indeed, meeting
16 mutual objectives for the ski center. And if
17 necessary, we will continue to brief that
18 issue further.

19 With respect to Mr. Gerstman's
20 position and the concern being expressed for
21 community character, it is important to note

22 he does not speak on behalf of the two towns,
23 the municipalities which, as we heard
24 yesterday, have the responsibility and want to
25 exercise that responsibility for determining

1 their destiny with regard to this project and
2 other projects that will come up before them.

3 And SEQRA does not change jurisdiction
4 between or among agencies. SEQRA is
5 expressly -- it's a statutory provision in the
6 SEQRA statute. And that, in part, is what
7 they're asking you and this agency to do.

8 We are not at an adjudicatory hearing,
9 with all due respect, yet. That is a
10 determination that you and the Commissioner
11 have to make to see whether or not there is a
12 basis for that.

13 At this point in time, because the
14 Department staff have not suggested that that
15 is warranted, they are the supplicants coming
16 to this agency to determine whether or not
17 there are issues that can affect permit
18 issuance in a material way. We will argue,
19 and we will present in the brief, why we do
20 not believe they have met that standard at
21 this point. And -- but SEQRA does not -- UPA
22 does not turn SEQRA on its head in terms of

23 what is reasonable and rational in terms of
24 what you adjudicate and how you determine
25 impacts.

1 We are very much in a SEQRA mode at
2 this point in time, and your job is performing
3 it, albeit it under the UPA umbrella, which is
4 integrated with SEQRA at this point in time,
5 to consider the comments that people have
6 made, what our appropriate response is, and
7 then separately to determine for the
8 Commissioner and the Department whether or not
9 any of these issues rises to the level of
10 affecting a statutory or regulatory criteria
11 in a material way, and separately whether it's
12 significant enough to actually affect permit
13 issuance.

14 We're still in that process. You
15 know, you've heard argument, and that's all
16 it's been, and proffers of proof for, I don't
17 know, 20 days now. And there's a lot that has
18 been said. But at the end of the day, the
19 standard that is going to be applied is not
20 met simply. You are still performing a
21 regulatory function and you don't abandon that
22 regulatory experience and insight to anyone,

1 in SEQRA that mandates that there be an
2 adjudication. To my knowledge, this is the
3 only agency that actually attempts to
4 adjudicate questions that are presented in an
5 environmental forum.

6 There may be other agencies that have
7 similar types of authority, APA, PSE, but
8 under SEQRA, this is the only forum in which
9 the broad spectrum of issues that can be
10 raised under SEQRA or have the potential for
11 adjudication, if and only if you and the
12 Commissioner determine that they have risen to
13 this very high level of potentially affecting
14 your jurisdiction in permit issues.

15 So it is a unique position, and it is
16 a fascinating one, and it's one I've been a
17 student of for 20 years. But it has no
18 particular cast or model to it that must be
19 followed. And all of this information is
20 taken into account in performing it.

21 So we will, as Mr. Gerstman suggested,
22 and Mr. Altieri, we will brief these issues,

23 but I just don't want to leave you with the
24 notion that simply because one can find an
25 expert to make an offer of proof with respect

1 to an issue, that that then rises to a level
2 of adjudication because, in fact, there's a
3 dispute. The Department always has that power
4 to reserve to itself the ability to determine
5 what will be adjudicated.

6 With respect to the cumulative impact
7 authority under Article 3, as you may know,
8 that authority was actually provided to the
9 Department in the same year in which SEQRA was
10 enacted. And I think the Legislature, not
11 being sure which would get passed. But that's
12 a different authority, and that talks about
13 considering the cumulative effects of the
14 grant of multiple permits by the Department,
15 looking at various resources. It doesn't
16 have, at least in my judgment, the breadth
17 that SEQRA might provide to it, in terms of
18 community character and things outside the
19 Department's stewardship.

20 But it is a different authority, and
21 it has been exercised very rarely in the
22 history of the Department's review. But we

23 believe that the record has been established
24 and will provide the Department with the
25 ability, and I believe Staff's position on the

1 project so far have taken that into account,
2 that we have -- this project does not raise
3 issues that haven't been conditioned in terms
4 of their permit that will affect the
5 Department's stewardship of the various
6 resources that it is required to either
7 regulate or protect as the state's agent.

8 So it's there. It is obviously a tool
9 that is available to the Department, but
10 whether the Department chooses to exercise
11 that in this case or any case is still not
12 directed or mandated by any particular proof
13 that is offered by any party in a proceeding.
14 It is a separate piece of authority available
15 to the Department for consideration.

16 MR. GERSTMAN: Two very brief
17 comments. One is, again, we need to make sure
18 that the record is clear concerning the CPC
19 position and the Belleayre Mountain Ski
20 Center, because it has been, we believe,
21 intentionally misinterpreted.

22 No one suggested that Mr. Lanza's

23 oversight and management of the Belleayre
24 Mountain Ski Center hasn't been anything but
25 exemplary. And I understand that he's a very

1 active member of the community, soliciting
2 community and public support and public input
3 into what he was doing. It is not our
4 position that that is the case, just to make
5 that clear. I hope Mr. Altieri wasn't
6 suggesting otherwise.

7 The final comment is -- I'm sure Dan
8 misspoke when he referred to us as
9 supplicants -- but from now on if we need to
10 approach your Honor as a supplicant, you have
11 to give us special instructions as to how we
12 might approach your Honor in that vein.

13 ALJ WISSLER: Does it make me an
14 archbishop or something?

15 We will take a break.

16 (11:14 - 11:33 - A.M. - BRIEF RECESS
17 TAKEN.)

18 MR. GERSTMAN: Your Honor, we are
19 about to embark on a presentation by Dr. Piotr
20 Parasiewicz. His curriculum vitae is
21 submitted along with our Petition for Party
22 Status, I believe as Exhibit H.

23 I'd like to ask Dr. Parasiewicz to
24 describe your educational experience and your
25 background.

1 DR. PARASIEWICZ: Thank you. Your
2 Honor, first of all, I really appreciate
3 Marc's really hard work on pronouncing my
4 name. I'm not expecting it from everybody.
5 I'm originally Polish. I was living in
6 Austria for 15 years before coming to the
7 United States where I was educated as an
8 engineer, as a civil and water engineer, and
9 where I had opportunity to work for a long
10 time, for 15 years, with a group of biologists
11 at the Department of Hydrobiology Fisheries
12 and Agriculture.

13 At this time, I had opportunity to
14 work with a multidisciplinary group that was
15 focusing its work on river restoration, river
16 management; and this gave me the second part
17 of my education besides engineering,
18 ecological education and biological dutch.
19 That's where I had opportunity to learn a lot
20 about biology and about fisheries in
21 particular.

22 In 1999, I came to Cornell University

23 where I was working at natural resources as a
24 research associate, and begun to establish
25 instream habitat program that was oriented

1 towards development of simulation models and
2 methods for river restoration and river
3 management.

4 At this time, I had opportunity also
5 to work in Catskill Mountains. I was working
6 on the project on the Beaver Kill River. I
7 was also preparing the expertise for Upper
8 Delaware River, for sustainable management of
9 Upper Delaware River. And I was working
10 recently on Stony Clove Creek, not that far
11 away from the project area. And this study
12 was completed last year. So I was able to
13 gain specific experience in Catskill Mountain
14 region.

15 Since spring this year, I work as a
16 research associate professor at the University
17 of Massachusetts, where I continue to work on
18 instream habitat issues in the Northeast
19 Instream Habitat Program.

20 Luckily, my engineering background and
21 biological expertise allowed me to develop
22 this multidisciplinary view of the streams.

23 And with your permission, that's what I would

24 like to bring first.

25 My presentation is in three parts.

1 The first part will be to brief you on status,
2 on conceptual status on running waters and
3 physical habitats, what we scientists actually
4 know about it, what are the most important
5 underlying issues.

6 The second part will be what I have
7 learned about the Catskill Mountain regions,
8 specifically starting with the Delaware. And
9 then at the very end, I would like to describe
10 how I see this related to the project area and
11 what kind of consequences I would expect based
12 on this expertise, and what I have seen in the
13 project area and the streams in the project
14 area.

15 MR. GERSTMAN: Let me interrupt you
16 one minute. Your Honor, without going through
17 Mr. Parasiewicz's CV, I refer you to the CV
18 for his publications and various research
19 projects, honors and awards he has received in
20 his professional career.

21 I also refer your Honor to the
22 exhibits to the Petition for Party Status in

23 which Mr. Parasiewicz has submitted his
24 evaluation of the project and the potential
25 impacts to aquatic habitats.

1 As you recall, when we presented our
2 offers of proof on surface and groundwater
3 impacts, Dr. Michalski, we believe,
4 established very clearly that the Draft
5 Environmental Impact Statement did not
6 adequately consider what the impacts were
7 going to be specifically with respect to the
8 surface waters in and around the project area.

9 As a direct consequence of the
10 drawdown that will occur from the project, we
11 believe the aquatic habitat will be severely
12 impacted. There's no substantive evaluation
13 of those impacts in the Draft Environmental
14 Impact Statement. And that's why we have
15 asked Dr. Parasiewicz to be here and present
16 his evaluation today.

17 Dr. Parasiewicz.

18 DR. PARASIEWICZ: In recent years,
19 there is a growing consensus among scientists
20 that running waters belong probably to most
21 complex systems of our planet, and that our
22 state of the knowledge is increasingly

23 growing. And it is way more difficult than we
24 ever imagined before. Most of the scientists
25 agree to this statement, I think. And I tried

1 to put as -- a summary of what we understand
2 under running waters from that ecological
3 standpoint, and it is this very condensed
4 definition, that probably hardly ever
5 understand on the first glance, that brings
6 the most important issues, and I will address
7 every element of this definition.

8 But it basically says that: "Running
9 waters are open systems of dynamic
10 four-dimensional processes which can be a
11 biological, chemical and physical nature which
12 are very strongly interrelated within each
13 other and along these dimensions, as well as
14 across the scales."

15 So what does it all mean? It's
16 probably interesting question. We understand
17 under open ecosystems that running waters or
18 these systems are strongly affected by
19 whatever is happening in its surroundings in
20 the entire watershed. This is at multiple
21 levels.

22 The simplest example of this kind of

23 influence is how flow in the river is affected
24 by whatever happens in the landscape or in the
25 climate. The precipitation is one of the

1 factors that affects the amount of water in
2 the river, but it's also the permeability of
3 soils, how much groundwater comes to the
4 river. There is also the storage capacity of
5 the entire landscape, the slope, how fast the
6 water flows down, as well as even vegetative
7 cover that is producing a lot of
8 evapotranspiration and might reduce
9 significantly the amount of water in the
10 river. So this is only one example. This is
11 only one hydrological example of this
12 interaction. And that's what we understand
13 under open systems, that they are open to the
14 influences from outside. (Indicating)

15 The other thing that we also
16 understand is that those systems and the
17 underlying nature of the system is the
18 dynamics. That's what we people who try to
19 use and live next to rivers have the biggest
20 problem with to understand that it is the
21 basic nature of the stream and of the river
22 that has dynamics that is changing over time.

23 And it might be -- alignment of the stream
24 will change with every event, either of low
25 flows or high flows. It might move in

1 horizontal direction, it might move in
2 vertical direction, and whatever we see
3 usually as a river corridor is just a small
4 portion of what is -- the area it usually
5 takes.

6 Then within this system, within this
7 dynamic systems, we identify several critical
8 features, which will be flow, of course, which
9 will be riparian wetland, will be connectivity
10 to the groundwater, as well as streamside
11 vegetation.

12 And one other definition we -- the
13 term identify low flow channels. That's what
14 we usually see when we would go to the
15 streams. We would go, we would see most of
16 the low flow channels filled with the water
17 because we have a lot of rain. And then we
18 have a bankful channel which is the area of
19 the river corridor that is filled up with
20 water until -- at every annual high flow
21 event.

22 We also distinguish, as I mention in

23 this definition before, four dimension, and
24 those dimensions are different than in
25 standard geometry. We identify the linear,

1 longitudinal dimension of the stream. So
2 that's along the corridor. We identified
3 lateral, across the river, and the vertical.
4 And these dimensions are very important
5 because a lot of processes are happening along
6 these dimensions, and I would like to talk
7 about each of them.

8 Longitudinal dimension and the
9 importance of longitudinal dimension is
10 something that has been realized relatively
11 early, and it was published in the River
12 Continuum Concept. Vannote identified that
13 there are processes and there are some
14 patterns and mosaic of vegetation or of fauna
15 that is characteristic -- is typical to some
16 parts of the river. And this mosaic is
17 connected with each other.

18 So in the upland stream, the headwater
19 stream that we usually distinguish as the most
20 steeper part shortly after spring, we will
21 have a lot of consumption, not so much
22 production. There's a lot of litter coming

1 relationship is turning over. We are having
2 much more production of organic matter than we
3 would have consumption. So that's one
4 excellent example how this longitudinal
5 dimension is necessary, these processes are
6 connected along the longitudinal dimension.

7 And not only this, the river also
8 functions not only as a transportation
9 corridor for water but also for the flora and
10 fauna. Flora and fauna distributes along the
11 river corridors, typically. So they play very
12 important role in the landscape, as arterious
13 for transportation along this longitude and
14 latitude.

15 One thing that we recognize also, that
16 there is usually a biological process
17 associated with every one of these dimensions,
18 multitude of biological processes. Flora and
19 fauna adapted to this situation and basically
20 relies on existence of longitudinal
21 connectivity.

22 The simplist example, and most

23 well-know example, is migration cycle of many
24 fish. Many species show the pattern as
25 presented here on this diagram. They spend

1 most of the time in a portion of the river on
2 the feeding grounds, then very frequently they
3 go upstream to spawn, actively swim upstream
4 to spawn, and then the eggs are hatching. And
5 the juvenile fish, larvae passively are
6 transported down to the feeding grounds again.
7 So this cycle is -- has been developed based
8 on this underlying characteristic of running
9 water, longitudinal dimension.

10 Another type of dimension that is not
11 so well known and interactions that are not so
12 well known are the vertical interactions. Not
13 many people know that every river extends far
14 beyond it's wetted corridor. It goes far deep
15 into the ground. And it's different in
16 different parts of the river.

17 Some rivers, that I call alluvial
18 rivers, that physically dig through the
19 substrate that they brought themselves -- that
20 they transported themselves -- are having very
21 rich fauna in this underground area, so-called
22 interstitial area. And this can go very deep,

23 sometimes up to 30 meters.

24 This is example from one study of my

25 colleagues from Austria showing that in such

1 alluvial stream there was very high traffic of
2 animals, and we had densities of species that
3 were going up to 30,000 species -- 30,000
4 individuals per square meter. Very densely
5 populated. Again, there are some other
6 species that are strongly depending on
7 existence of this vertical interaction and
8 this vertical exchange.

9 Here again, another example of this,
10 salmonids, which are the fish which become
11 salmon, trout, all kind of trout species, they
12 use actively this vertical interaction. They
13 spawn -- they go upstream, spawn into areas
14 usually of groundwater intrusion. And then
15 after hatch, the larvae actively go into the
16 interstitial and spend some portion of their
17 life before they move out of it.

18 Another part that is also very
19 important, another dimension that is very
20 important is a lateral dimension. Every river
21 expands laterally at specific periods of time.
22 Again, in some portions, like in upstream,

23 headwater streams like here. (Indicating)
24 This is maybe not so evident further
25 downstream. This is very substantial part of

1 the entire system. Again, there are species
2 and life stages that strongly depend on the
3 existence of this lateral interaction.

4 For example, every pike, or cyprinid
5 species, use the flooded areas for spawning.
6 So pike is physically going to the meadows,
7 spawning over there, the eggs are developing
8 within the flooded areas and then return to
9 the river together with the water. This is
10 -- in this way, the river fulfills the basic
11 life function for the species.

12 As mentioned before, it's different in
13 different parts of the river in that the
14 lateral dimension is not only caused by
15 flooding and expanding of the river into the
16 side, but also by the very interesting
17 hydraulics of every stream that is allowed to
18 flow normally, starts to flow in a sinusoidal
19 pattern, like a sinusoid. It creates manners,
20 [sic] and these manners are moving all the
21 time. They create backwater and so on. This
22 is identified as one of most diverse -- most

23 diverse area of every river.

24 Less known is there are parts of

25 streams that we call -- in the intermittent

1 part of the river where river flow in its own
2 substrate into multiple corridors, so-called
3 braided rivers. These corridors are changing
4 constantly in position. And every part of it
5 is being used by different type of animal, by
6 different creatures. This is also the area of
7 very high biodiversity and here the lateral
8 interactions are extremely important.

9 (Indicating)

10 This recognition was a base for the
11 River Discontinuity Concept by Ward and
12 Stanford where they identified the three major
13 parts of almost every river, most of the
14 rivers in the world, where we have the
15 headwater reaches, where the interactive paths
16 are going mostly along the linear dimensions.
17 Then we have the braided reaches where we have
18 a lot of lateral interactions, and many, many
19 thalwegs and braids; as well as meandering
20 reaches that are having interactions mostly in
21 lateral and longitudinal, but also vertical

22 dimension. (Indicating)

23 MR. GERSTMAN: Dr. Parasiewicz, can

24 you describe the terms that are used under

25 aquatic habitat?

1 DR. PARASIEWICZ: Sure. Oh, I'm
2 sorry. The lotic -- aquatic habitat means
3 that lotic means the species that are oriented
4 along -- first of all, along the longitudinal
5 dimension and living in fast-flowing water.

6 The lentic means the species is more
7 kind of a spawn type of a species like carp
8 that do not need fast-flowing water for their
9 life. (Indicating)

10 So that's what is meant here by
11 aquatic habitat. In the upper portion, we
12 have majority of species are those that need
13 fast-flowing cold water. In the lower
14 portion, we have a mixture of both. Still we
15 need some river run species. (Indicating)

16 The fourth dimension that I mentioned
17 already before is time. As everyone knows,
18 but not many people realize, that the flow in
19 the river is changing constantly. It's every
20 day something different. It is also -- it
21 shows some specific pattern in a year, and
22 this pattern has important biological

23 significance. (Indicating)

24 So basically the species, fauna and

25 flora is adaptive to this pattern. We have at

1 times high flows, which are usually here
2 connected to the snow melt. We have a short
3 after, that's the peak area, and then we have
4 a spawning time -- this graph is showing a
5 typical hydrograph. So on the vertical axis,
6 you see the median daily flow, and the X axis,
7 you see the days of the year, calendar year
8 and it's a typical hydrograph. (Indicating)

9 MR. GERSTMAN: Dr. Parasiewicz, does
10 this hydrograph pertain to any of the
11 particular rivers we're discussing today?

12 DR. PARASIEWICZ: Not discussing
13 today. This is the hydrograph from the
14 Quinebaug River in Massachusetts.

15 So we have specific events, I call it
16 events, within the seasons, that are probably
17 having the highest importance for aquatic
18 life. We have times of flooding, times of
19 high flows, this will be in spring shortly
20 after the snow melt in this area. Then
21 shortly after, while the flows are declining,
22 we have spawning of most of resident fauna,

23 most of resident species. (Indicating)

24 Then we have a summertime when the

25 species gather energy for the winter, and

1 there is growth as well as rearing for
2 majority of the species. (Indicating)

3 And then in the fall, the flows are
4 increasing, and we have some Atlantic salmon
5 spawning, for example, in some areas and
6 further growth in adults and juveniles.
7 (Indicating)

8 And then we have a winter survival,
9 that we know very little about. (Indicating)

10 But I just wanted to point out -- this
11 is important that this pattern will be
12 preserved, because the entire fauna is adopted
13 to this pattern.

14 Now, to make matters a little more
15 complicated, we also identify something that
16 we call scales. We realize there are numerous
17 processes of biological, physical and chemical
18 nature that take place at different scales in
19 the landscape. It might take place on the
20 drainage basin scale, on the scale of
21 watershed. This would be, for example,
22 geological processes. And they will have

23 direct influence on the processes of the scale
24 of the flood plane, reach or even the scale of
25 individual organism.

1 This is very important recognition,
2 and some of my colleagues believe that scales
3 are driving these systems. And it's important
4 to know so whatever we do in the landscape,
5 whatever -- every modification of a landscape
6 will eventually have an influence on some
7 organism at its scale, and a scale might be of
8 centimeters or meters. We call it
9 microhabited scale. (Indicating)

10 Then we have -- then we have also
11 biological interactions across the scales.
12 There is production, as you see in the
13 upper-left corner. The energy from sun is
14 creating production, whatever is being
15 produced. Organic matter is being then
16 shredded and then consumed. Animals that
17 consume this organic matter are consumed by
18 other guys that are bigger. And all this
19 develops across the scales, and across the
20 food chain. But there are also other parts
21 that are important and are not known very
22 well. There is competition between the

23 species. That is a very important biological

24 process. (Indicating)

25 There is something that even some

1 species might not like each other. This is
2 very interesting observation in my aquarium in
3 my office. There was two species. It was a
4 longnose dace and blacknose dace. Both of
5 them are cousins. But longnose dace did not
6 like any presence of blacknose daces. And as
7 long as blacknose daces were in the aquarium,
8 this fish was under the stones and hiding all
9 the time, trying to chase the blacknose dace
10 away. Once I removed the blacknose dace from
11 the aquarium, the longnose dace was sitting on
12 the biggest boulder and watching to my eyes
13 every day I came to the office.

14 So these are the events, these are the
15 interactions that we do not know much about.

16 The purpose of this, what I was trying
17 to bring up here was to make a point that what
18 we've learned in the recent years is that
19 running waters are extremely complex, and that
20 we deal with very difficult systems. And one
21 of the reason is that -- two major reasons,
22 one is dynamics, and second is

23 interconnectivity of all the processes. So
24 for us scientists, it is very challenging to
25 describe them in every detail and know every

1 single element of the system. And

2 specifically our appreciation of this fact
3 began only recently.

4 Meanwhile, there was a lot of
5 modification introduced into the systems.
6 Many of the rivers has been completely
7 modified and changed beyond the recognition,
8 so that nowadays we have a real difficulty to
9 go to such a pristine system and learn about
10 its processes.

11 That's one of the examples, one of the
12 -- several studies that have shown that, and
13 this is the study that investigated on 39
14 rivers in the northern hemisphere, and the
15 conclusion of the study was 33 percent of
16 larger rivers can be classified as not heavily
17 impacted. (Indicating)

18 Another study that my colleagues in
19 Austria made were we mapped 5,000 kilometers
20 of larger rivers in Austria. And the
21 conclusion of the study was only 6 percent of

22 the rivers can be classified as nature like,
23 not completely pristine but relatively intact.
24 (Indicating)
25 So the consequences of these

1 modifications are very dramatic. And what we
2 recognize as a consequence of this is, for
3 example, modification of community structure.
4 We find that many rivers have different
5 species that they supposed to have, that there
6 is an increased number of so-called general
7 species that can adapt much better than
8 specialist species. (Indicating)

9 We have decline of diversity in
10 aquatic ecosystems that is five times faster
11 than terrestrial ecosystems. And extinctions
12 that occur all the time; and we have lost
13 about 30, 35 percent of diversity.

14 (Indicating)

15 Apparently, these are very precious
16 systems. What are the reasons for all these
17 results? Well, probably the most brutal way
18 of modification of running water system is
19 channelization. There's two examples from
20 Europe. Europe is way ahead of United States
21 in this kind of engineering, probably because
22 the density of population is much higher.

23 (Indicating)

24 To the left you see a picture from

25 Poland where upland stream has been basically

1 put in a concrete corset. (Indicating)

2 The other one from Austria where the
3 river has been modified just to protect the
4 agriculture of the land. (Indicating)

5 Again, Europe was leading in this part
6 obviously because it started in 18th Century.
7 Danube, the big regulation of one of the
8 largest rivers in Europe, the Danube, began in
9 the 18th Century. You see the plans for this,
10 beginning of 18th century. As you see on this
11 plan, all the backwaters and meanders are
12 areas of highest diversity, has been basically
13 removed and filled. This is causing a lot of
14 ecological deficits. And that's what we see
15 in Europe in some places. (Indicating)

16 On the left side, we see the
17 comparison of River Trison, [sic] which was
18 braided river, it was having three times more
19 of a shoreline than it has now. To the right
20 side, you see the way it looks today. And the
21 picture shows you the present view of the
22 river. It causes a lot of problems because it

23 doesn't want to stay in the corridor, and it
24 costs a lot of money to maintain this river
25 into shape.

1 MR. GERSTMAN: We'll mark this 105A.

2 (CD OF DR. PARASIEWICZ'S POWERPOINT
3 PRESENTATION RECEIVED AND MARKED AS CPC
4 EXHIBIT NO. 105A, THIS DATE.)

5 DR. PARASIEWICZ: Another type of
6 impact that is more common here is impounding,
7 building dams. That obviously undercuts the
8 longitudinal connectivity, but also creates --
9 turns rivers into series of ponds. And that's
10 a classic example from Austria. The Danube in
11 Austria, there's only two areas of
12 free-flowing waters. Everything else has been
13 turned into ponded areas for hydropower
14 generation. (Indicating)

15 But effects of hydropower are much
16 more dramatic than creating ponds. Very
17 frequently we just take all the water away,
18 and this is probably very severe impact on
19 aquatic fauna. (Indicating)

20 Something that is less obvious is
21 hydro-peaking. Very many power companies are
22 producing -- generate electricity only at the

23 time of highest demand. They release the
24 water a few times a day, large amounts of
25 water, just to produce the power and then turn

1 it off. (Indicating)

2 So this is what I observed in one of
3 the streams in Austria. Within 15 minutes,
4 this stream, as you see below, has turned into
5 that fast-flowing river. And this is very
6 dramatic consequences for fauna. It's like
7 being smashed with a hurricane three times a
8 day, and with no warning. Usually -- some
9 studies have shown there's some warning
10 mechanisms where natural floods are coming.
11 These unnatural events are having very drastic
12 impact. (Indicating)

13 There is something else that is also
14 even less obvious, and I saw it here in the
15 United States on the Rio Grande River. Change
16 of the hydrologic pattern and its
17 consequences. (Indicating)

18 What you see here on this graph, this
19 is a hydrograph from the Rio Grande River
20 below the Cochiti Dam, right above
21 Albuquerque. And the blue line shows the
22 flood hydrograph during the high-flow events

23 in 1949 before the dam was constructed. You
24 see there was really steep peak and then quick
25 decline. (Indicating)

1 After the dam was constructed, one of
2 the purposes of the dam was not only energy
3 production but also flood protection. So
4 their task is to extend hydrograph, to make
5 this curve much flatter and have flood last
6 longer. But not so high magnitude so that
7 houses won't be flooded. (Indicating)

8 Now, there was one unexpected
9 consequence. There was this species that
10 occurs only in the Rio Grande River, Rio
11 Grande silvery minnow. It has very peculiar
12 way of reproducing. This species is releasing
13 hundreds of semibuoyant eggs. And this is
14 happening right on the onset of the hydrograph
15 during the flood. So as the water increases,
16 they release the eggs. The eggs are floating
17 with the water, and once the water goes down,
18 they end up in some shallow areas. And that's
19 where they can grow very nicely. (Indicating)

20 Well, you can imagine what happens if
21 you make the flood event much longer. They
22 are obviously transported much further down

23 the stream. And this put the species almost
24 on the verge of extinction because most of
25 them end up in the next reservoir. So that's

1 one of these unintended consequences.

2 (Indicating)

3 Pollution is another type of impact
4 introduced by humans. These type of pictures
5 are not that common anymore, at least in our
6 parts of the world. However, we deal now with
7 different type of chemicals, might be much
8 more aggressive. PCBs is something that
9 everyone knows. There's issues of caffeine
10 [sic] in the water. So this problem did not
11 disappear. (Indicating)

12 Then something that I call
13 biomanipulation, something we do since
14 beginning of our existence is to modify the
15 fauna composition; either by fishing, might be
16 intensive like this picture, but also by
17 introducing different species. You can also
18 introduce exotic species today into the
19 rivers. And this means creating very
20 different fauna composition and different
21 competitive interactions, of which we do not

22 know much. (Indicating)

23 So until now, the point that I wanted

24 to make was on one hand we have this highly

25 complex system, highly complex ecosystems,

1 that on the other hand have been strongly and
2 dramatically modified over last century. What
3 makes this system extremely precious, we have
4 only very few of them that are absolutely
5 intact.

6 So there is a dilemma for us
7 scientists because actually realizing that we
8 should put a stop on every development project
9 and say: Let us study it first. That's
10 almost impossible because we would have to
11 leave the place.

12 So we are looking for some pragmatic
13 solutions, and some countries found some ideas
14 for pragmatic solutions and introduced it even
15 to the legislature. This kind of philosophy
16 is associated with the idea of ecological
17 integrity. Again, very condensed and a very
18 important definition. The philosophy behind
19 maintenance of ecological integrity is we
20 should be able to use the systems, we should
21 be able to use the rivers and take our
22 advantage of this, use the water until the

23 moment that they are not severely destroyed,
24 that ecological integrity is maintained, that
25 they are self-sustained. That's the

1 underlying principle. We allow some use, but
2 we do not allow damage. We don't want to
3 destroy it. (Indicating)

4 And since we don't know so precisely,
5 we can achieve this only in more or less an
6 indirect way by defining some baselines, some
7 goals that we want to achieve, and maintain
8 what we can maintain, the processes that we
9 can maintain, in such a way that we will
10 achieve this goal.

11 And that's what this ecological
12 integrity definition says: "We want to
13 maintain all internal and external processes
14 and attributes" -- and I will explain in a
15 minute -- "interacting with their environment
16 in such a way, that the biotic community
17 corresponds to the natural state of the
18 relevant aquatic habitat, and where this
19 community is preserved by regulation,
20 resilience, and resistance to environmental
21 stress." (Indicating)

22 So what this definition says up front

23 is a natural aquatic community. We want to
24 maintain the community structure by providing
25 this community appropriate habitat. And we

1 provide this appropriate habitat by managing
2 the processes outside of the river or inside
3 of the river indirectly. That's the idea
4 behind it. So external processes, everything
5 what happens in the landscape. Everything,
6 what could influence sedimentation, what could
7 influence the flows, what could influence
8 evapotranspiration. This process is something
9 we can maintain and modify. (Indicating)

10 There are internal processes like
11 competition, food availability, water quality,
12 habitat diversity, it's something that is
13 inside a river that we can also maintain. We
14 cannot force the fish to take advantage of it,
15 but we can provide the conditions.

16 (Indicating)

17 The goal is, as I said in very simple
18 words, is that if we have a river, that the
19 majority of the fauna in this river will
20 consist of river run fish. Not like there is
21 in majority of impoundments that will consist

22 mostly of pond fish. That's the very basic
23 principle. (Indicating)

24 Of course, we are trying to be much
25 more precise. And recently we have developed

1 methods to identify this target, this
2 reference communities. And there was a method
3 that has been developed by my colleague, Mark
4 Bain, at Cornell University to go target
5 community approach, a method that is having
6 rapidly increasing popularity, specifically in
7 Northeast and New England where, based on
8 historical records, based on biological
9 information from the region, we try to define,
10 first of all, what kind of species would we
11 expect in particular river. And here is an
12 example from the Quinebaug River. It would be
13 dominated by fallfish, common shiner, white
14 sucker, longnose dace, blacknose dace, and
15 other species. (Indicating)

16 We also try to identify the dominant
17 structure and the expected proportions of the
18 species. So this model tells us in the
19 Quinebaug River, the community should consist
20 of about 33 percent of fallfish, 15 percent
21 common shiner, white sucker, daces and so
22 forth. (Indicating)

23 This is our reference, this is our
24 baseline that allows us to say what's the
25 status of the system. If this community is

1 maintained, the habitat that supports this
2 community is maintained, then we consider
3 river being intact. (Indicating)

4 How do we maintain this community?
5 Well, by providing, as I mentioned before,
6 appropriate living conditions and appropriate
7 habitat and habitat structure. Under habitat,
8 most of the people understand three types of
9 habitat. There is a physical habitat, there
10 is a chemical and biological. Part of
11 biological habitat is, for example, food
12 availability. (Indicating)

13 It's very hard to maintain biological
14 habitat. It's much easier to maintain
15 physical habitat. And still the most
16 underlying block of every river of every
17 habitat is a habitat structure. That in a
18 river it will consist of hydraulic portion of
19 this. This will be depth and velocities, that
20 have to be maintained and appropriate. There
21 has to be a cover. There has to be a

22 substrate. And of course, some channel

23 geometry. (Indicating)

24 Now, every one of the species in the
25 community will take advantage of some portion

1 of this habitat structure, will use some of
2 this habitat structure. Some of them will be
3 in the middle, some of them will be in areas
4 of high cover. For some of them, the depth
5 will be more important. For some of them,
6 velocity will be more important. (Indicating)

7 MR. GERSTMAN: Dr. Parasiewicz, what
8 kind of fish is exhibited on your slide?

9 DR. PARASIEWICZ: That's probably one
10 of the sunfish.

11 Okay. So we use these physical
12 parameters, these physical attributes that we
13 can determine by observation of fish, to
14 determine how suitable is this physical
15 habitat structure for our community.

16 There are numerous models developed
17 for this purpose, and probably the most
18 advanced of these models are physical habitat
19 models; were developed for the first time in
20 the early '70s, and were considered to be a
21 planning tool that would allow us to determine
22 amount of water necessary for fish in the

23 river on the hydropower projects.

24 The way this model's function is that

25 on one hand we describe the physical habitat

1 conditions in the river. We describe
2 distribution of depth, velocities, cover,
3 substrate. We describe how many ripples or
4 pools or rapids are there. (Indicating)

5 Then in the other survey, we observe
6 the areas with the higher or lower abundance
7 of the species, and use relatively
8 sophisticated statistical and mathematical
9 models to identify parameters that are very
10 important for each species.

11 Here on this picture, we see such a
12 model that identifies boulders that are very
13 important for fallfish, for example. Or high
14 abundance of overhanging vegetation -- that
15 overhanging vegetation will not cause high
16 abundance of this species. (Indicating)

17 This information can be then combined
18 to translate their habitat structure into good
19 or bad habitat, to suitable or not suitable
20 habitat for fish. And we can create these
21 maps of the river that tell us whatever is
22 green on this picture is a good suitable

23 habitat with high probability of fallfish.
24 Whatever is red is more or less not used very
25 commonly. (Indicating)

1 And then we also observed this pattern
2 might change. As we add water or add
3 structure to the river, obviously, the
4 distribution of a suitable and not suitable
5 area will also change. That's basic
6 information that goes into the model. The
7 amount of suitable area can be used as a
8 metric of good or bad conditions, and can be
9 plotted, for example, against this chart.

10 (Indicating)

11 What you see here on this graph, that
12 so-called braiding curve that describes how
13 much of habitat area, how much of the river is
14 suitable for entire community over the range
15 of flows. This was a model developed for
16 Quinebaug River too. (Indicating)

17 What this line tells us, that if the
18 flows are very low and at the level of maybe
19 .3 cfs, cubic feet per second per square mile
20 drainage, we have only 21 percent or 20
21 percent of the river that is suitable for the
22 community. As the flow increases, it goes up

23 to 30 percent, and then it drops and doesn't

24 go much higher. (Indicating)

25 That's very important metric for us.

1 It tells us, for example, that Quinebaug River
2 is severely impacted, that 30 percent of
3 habitat is not really much for the fish that
4 should be there. And I don't want to go here
5 much into the detail, but that's the basic
6 principle. This is getting much more
7 complicated when we started to overlay this
8 model with time, with dynamics over time. How
9 much of this habitat would be available over
10 time? We can combine it with the hydrological
11 time set. (Indicating)

12 And it leads us to very detailed
13 predictions of how much habitat would be
14 necessary, what needs to be done in order to
15 improve the river, to permit water
16 withdrawals. There is possibility of
17 tradeoffs where you can trade some water for
18 permanent structure.

19 We can analyze ahead of time as a
20 planning tool what would be if we would remove
21 the dams, what kind of advantage we would
22 have, and also predict how long of a period

23 should we have -- for how long a period should
24 we have habitat maintained in order to protect
25 the community.

1 MR. GERSTMAN: Dr. Parasiewicz, have
2 you developed such models yourself?

3 DR. PARASIEWICZ: Yes.

4 MR. GERSTMAN: And would this be an
5 application of the model you developed?

6 DR. PARASIEWICZ: That's right.

7 MR. GERSTMAN: Would that be reflected
8 in -- is this the model you were referring to?

9 DR. PARASIEWICZ: No. This article,
10 "Physical Habitat Modeling for Fish, A
11 Developing Approach," had been written before
12 I had developed a recent model. And there's
13 another article for fishery that we should
14 probably submit later on. There are two other
15 articles that deal with these issues. But I
16 have developed these models in specifically
17 recent five years at Cornell spent on
18 development of this model.

19 MR. GERSTMAN: Dr. Parasiewicz, I
20 refer you also to CPC Exhibit 106. Is that a
21 description of a model that could be used to
22 evaluate impacts to river ecosystems?

23 DR. PARASIEWICZ: This CPC 106 is more
24 to point towards developments in the
25 northeast. It describes one of the methods

1 that could be used possibly for determination
2 of flow needs in the river. It's a different
3 type of method than this one. It is based
4 mostly on analysis of hydrological regimes.
5 (Indicating)

6 But also the second part of this, this
7 abstract, the change of the paradigm, among
8 the regulators and scientists of how should we
9 use the flows in the rivers and how should we
10 maintain rather the ecological integrity first
11 before defining how much water can be used.
12 So this is more to show the most recent
13 developments. And this was prepared for the
14 commission of state of Massachusetts that is
15 presently considering development of statewide
16 rules for instream flow regulation.

17 MR. GERSTMAN: Are the models you
18 referred to, both the one outlined in CPC 107
19 and the one you referred to in the article in
20 Fisheries magazine, models that are generally
21 accepted in your profession and could be
22 applied to determine the adaptability of a

23 river ecosystem?

24 DR. PARASIEWICZ: That's correct. The

25 physical habitat models, as I mentioned, has

1 been developed in the early '70s and have been
2 widely applied in most of the states at the
3 regulatory process that have been developed
4 specifically for mitigations, for all kind of
5 litigations where we are dealing with water
6 quantities.

7 So physical habitat models are widely
8 recognized. The model I have developed is
9 brand-new. It is being now widely recognized
10 as being applied in the State of New Hampshire
11 as a measurement for development of statewide
12 standards. It is being applied in the State
13 of Connecticut for the same purpose, and it is
14 likely to be applied in the State of
15 Massachusetts for the same purpose. And it
16 was applied on Stony Clove Creek for analysis
17 of the habitat. That was supported by New
18 York City DEP. So it is also being applied
19 here in the region.

20 As I mentioned, these are not only
21 methods. The physical habitat models that
22 I've described are the most precise, most

23 detailed and should be applied where we deal

24 with a very complex situation.

25 The other models like IHA, Index of

1 Hydrological Alteration, are either used in
2 adaptive management, or there are methods that
3 are so-called standard setting approaches that
4 are being considered to be reconnaissance
5 methods.

6 Probably the most popular of those is
7 the Tennant method. It has been developed by
8 Don Tennant, CPC 110. It's the article of Don
9 published in 1976. What this gentleman has
10 done, he was working for a fish and wildlife
11 service and he took hundreds of photographs of
12 the rivers in northern United States. And
13 based on the analysis of these photographs,
14 identified some common patterns. And based on
15 these common patterns -- for example, change
16 of wetted area, change of the width, change of
17 the depth and velocities, he then determined
18 three types of thresholds and recommended
19 so-called baseflows. 10 percent of mean
20 annual flow, that's what MAF is for, describes
21 that -- provides the habitat that is very
22 poor. So whenever flows are below 10 percent

23 of mean annual flow, according to Tennant, we

24 deal with very poor habitats.

25 And explanation for this is in this

1 curve that we see here on the graph. The
2 depth, velocity and width is sharply
3 increasing up to 10 percent of mean annual
4 flow. So this is providing really critical
5 conditions. (Indicating)

6 MR. GERSTMAN: Could you show on the
7 graph what you're referring to?

8 DR. PARASIEWICZ: Yes. As you see
9 here, we have here on the X axis, we have
10 percentage of average flow in cubic feet per
11 second. That is referring to this. And then
12 change in depth in feet per seconds, and then
13 percent of substrate cover width. That's
14 how -- the width would change. Width would
15 increase very rapidly within the first
16 10 percent. The same, the depth would
17 increase very rapidly and velocity would
18 increase very rapidly. It is like filling the
19 bathtub. Once you open the water, the fill
20 water gets wider, it gets deeper until it
21 comes to this vertical area. And then the
22 situation doesn't change so much.

23 (Indicating)
24 So 30 percent is what Tennant
25 identifies as providing third type of habitat.

1 And above 60 percent should be excellent
2 conditions provided for fish. That's
3 important to remember, that what Tennant
4 defines as a 10 percent threshold is the river
5 width and depth and velocities are severely
6 reduced; when the riverbed and substrate is
7 half exposed; when gravel bars and sidearms
8 are dewatered; stream bank cover is
9 diminished; temperature increases; fish are
10 crowding in pools; invertebrate fauna
11 diminishes; riparian vegetation suffers, lack
12 of water. So pretty grim vision.

13 (Indicating)

14 MR. GERSTMAN: Dr. Parasiewicz, how
15 did you describe the Tennant threshold, the
16 Tennant method before; is it a reconnaissance?

17 DR. PARASIEWICZ: It is a
18 reconnaissance and conservative crude method.
19 The way it should be understood, and it does
20 not include any changes over time, it assumes
21 a baseflow. Therefore, the way it should be
22 understood is if the Tennant method shows

23 there is a problem, there is a need for
24 something much more sophisticated to determine
25 the real impact. It points out there is a

1 problem. It does not provide any solutions.

2 MR. GERSTMAN: Thank you. Let me ask
3 one further question about the Tennant method.
4 Is it a widely accepted method in your
5 profession, in your experience?

6 DR. PARASIEWICZ: Yes. This has been
7 published 1976, and it is probably the most
8 recognized method worldwide. It's also known
9 under the name Montana method. It was very
10 popular. Fish & Wildlife Service is using it
11 on all kind of licensing, all kind of
12 projects, hydrologic project analysis. All
13 the states are using it. So it is widely
14 recognized. Probably the best known or best
15 recognized worldwide.

16 Recently there were several
17 publications analyzing all these methods that
18 deal with flow regulations, and altogether
19 worldwide, we can find about 250 methods that
20 exist for these purposes. The papers that I
21 have seen distinguish -- a big portion of it
22 is standard setting methods like Tennant.

23 Everyone mentions Tennant. Then there are the
24 physical habitat models, and then this group
25 that's defined in every paper differently,

1 it's either holistic models or adaptive
2 management models or methods that I would
3 classify in Index of Hydrological Alteration.

4 MR. GERSTMAN: Thank you, Doctor.

5 DR. PARASIEWICZ: Should we make a
6 break now or should I continue? I have
7 probably about half an hour more.

8 ALJ WISSLER: Why don't we finish.

9 DR. PARASIEWICZ: So that's setting
10 the stage -- the state of the art, the state
11 of the knowledge in analysis of aquatic
12 habitats and impact assessment.

13 The next part I would like to talk
14 about is what I have learned while working in
15 Catskill Mountains, and the first opportunity
16 that I have is when I was asked to develop, to
17 provide expertise and ideas for some
18 strategies for sustainable management of Upper
19 Delaware River Basin.

20 This was excellent opportunity for me
21 to -- I was new in the country, so it was
22 possibility for me to look into information

23 that exists, learn how the entire landscape is
24 set up, how this river should function and how
25 do I believe the river should function, and

1 apply also my expertise I brought from Europe
2 for this purpose.

3 MR. GERSTMAN: Refer your Honor to CPC
4 108.

5 DR. PARASIEWICZ: One thing I need to
6 point out is that while working in Austria,
7 developing such a multidisciplinary strategic
8 plans was a speciality of my team, of my
9 group. So I had a unique opportunity to apply
10 the ideas and methodologies that have been
11 developed in Austria for this purpose, and
12 that is what I tried. It was not a very
13 intensive study. It was based on analysis of
14 existing information that I was able to obtain
15 at this time.

16 The first conclusion that I had is the
17 scarcity of the information on such a big
18 river and to such a huge project. There's
19 multiple uses of the Upper Delaware, including
20 the New York City reservoirs. And it was
21 surprising how little do we know about these

22 systems.

23 During my research, I run over this
24 book of Nick Karas, Brook Trout. Despite the
25 fact that this book has been strongly

1 criticized for having a lot of inconsistencies
2 or lacking detail information, missing
3 -- specifically referring to Catskills -- I
4 think Nick Karas was more focused on the brook
5 trout than anything in the Catskills, and
6 maybe he did not perform his research too
7 well. But the definition that I found there
8 was reflecting whatever else I have learned
9 about a system and about an area, and
10 whatever -- from my experience, I could
11 imagine for this region. At least it was very
12 compelling to my imagination and whatever I
13 could feel is right for the systems.

14 This begins with following the
15 historical documentation and finding out what
16 kind of species have been found here in the
17 river in the pre-Colonial times, as well as
18 the following of the history of the Catskill
19 region.

20 As probably everyone knows, this
21 region has been colonized by a white man
22 relatively late, if you can say so at this

23 time. It was beginning of 18th Century first
24 where this area has been discovered or
25 rediscovered, and it is easy to imagine, it

1 was covered by forest. And this forest was
2 thousands of years old, and it is easy to
3 imagine that it was really deep, portion of it
4 was covered with topsoil. And we can find
5 remnants of this in the old growth in the
6 area, and old growth in other portions of the
7 northeast. This would be maybe not so unique
8 because it happened probably most of the
9 northeastern portion of the United States that
10 we had this situation.

11 What is unique here is that it was
12 everything on the top of very unstable glacier
13 tuff. The consequences of following removal
14 of the trees were probably more -- manifested
15 more dramatically than in other areas. I will
16 come to this a little later.

17 The one thing is to remember that I'm
18 bringing this because -- despite all the
19 criticism that Nick Karas have received --
20 because it is formulated very nicely and tell
21 us what we could imagine under the streams
22 down here. We know there were a lot of cold

23 water species. And I used this definition as
24 well as all other information that I found to
25 establish conceptual vision of how these

1 rivers in the area would look like or how did
2 they look like, and try to pull up some
3 obvious facts on the paper.

4 We obviously deal here with the upland
5 river that has -- river that has relatively
6 moderate gradient. It has very unstable
7 glacial geology. It has snow melt and
8 sometimes also the rainfall-driven flow
9 regime.

10 Apparently, being in this ancient
11 forest, it probably had a very high retention
12 capacity, very high storage capacity. This
13 obviously stabilizes the flow in the river.
14 It stores the water that is being brought in
15 the spring and releases slowly in the summer.

16 Consequently, we probably had high
17 water table. Because of stable flows, as well
18 as this heavy forest in the area, we could
19 expect the streams were narrower and more
20 heavily shaded. And this would provide low
21 summer temperatures, and this would provide

22 the cold water fish assemblage, which would be
23 very likely here. Those would be dominated by
24 native brook trout. And there are many
25 records of large amount, enormous amounts of

1 brook trout in the Delaware River as well as
2 the tributaries. And also some seasonal
3 occurrences of American Shad and other
4 migrating species. This was my visionary
5 conclusion that I could establish based on the
6 information that I received at this time.

7 (Indicating)

8 Now, to understand where we are now, I
9 also try to follow the historical path that
10 the consequences of human activities after
11 white man moved into the area. And one of the
12 first thing that happened was deforestation.
13 And not only because of wonderful white pines
14 and need for agricultural fields, but also a
15 very high amounts of tanning in the bark that
16 led to removal of almost every tree here in
17 the lower portions. Now, there are sources
18 that document this very nicely.

19 (Indicating)

20 If this happened -- obviously in this
21 very unstable area of unstable glacial tuff --
22 the obvious consequences must have been

23 removal of the topsoil and removal of this
24 organic layer. This I could imagine would
25 increase flow amplitudes. So we would have

1 higher highs and lower lows. Consequently, we
2 should have also lower groundwater table.

3 If we have higher flows in this
4 unstable environment, it is easy to imagine
5 that we would have bank erosion, so the river
6 would get wider. And not only this, we had
7 very, very intensive logging activities, and
8 there were a lot of rafts sent downstream,
9 especially after the Civil War. The obstacles
10 in the way have been actively removed, and
11 there are historical records that show that
12 there were engineers going downstream and
13 blowing up every big boulder. So this caused
14 the river to get wider and less structure.

15 The next consequence that can be
16 imagined, if the river gets wider and
17 shallower and has less forest cover, it
18 obviously gets more sun and more solar
19 radiation. And on top of this, if the
20 groundwater table dropped, then we should have
21 less input from groundwater infiltration of
22 cold water that is so important in the summer.

23 So what you would expect is increase of water
24 temperature. And indeed, and DEC definitely
25 will support this, apparently the area has a

1 high temperature problem in summer.

2 (Indicating)

3 Another influence that wasn't maybe
4 that dramatic, but there were substantial fish
5 introductions, exotic species have been
6 introduced, either small-mouth bass, trout.
7 And this caused alteration of fauna.

8 (Indicating)

9 And of course, since we had a lot of
10 these acid factories, there was at this time,
11 beginning of last century, we had obviously
12 enormous pollution problems. This was
13 probably the final nail to the coffin. That's
14 what I could speculate based on the data on
15 the information that I had received.

16 (Indicating)

17 So obviously, and probably at the
18 beginning of the last century, the rivers were
19 in much worse shape than they are now. And
20 from this moment on, the reforestation of the
21 region has begun.

22 However, the one thing that has to be
23 considered is that if the trees grow again and
24 they do not have the topsoil cover that stores
25 the water, the trees are using the water and

1 produce a lot of evapotranspiration. So
2 actually what we should expect is to have --
3 with the re-growing forest and not provide
4 retention -- we should expect the streams to
5 have even less water over some period of time
6 during this transition time.

7 So this was my conceptual model,
8 partly based on the information I found. It
9 was not perfect. It was based on the
10 experience that I gained before. It was maybe
11 a little speculative, and some people thought
12 it was speculative. However, the facts of the
13 last two years supported very nicely this
14 theory.

15 One other thing that I also have
16 learned from one of my colleagues at Cornell,
17 Todd Walter, is that Catskill region nowadays
18 is covered, and you hear it probably before,
19 with very shallow soils that have very high
20 infiltration capacities, so water flows
21 relatively freely through and we do not have
22 the phenomena that we usually would have with

23 a lot of impervious areas that would cause
24 excess infiltration flow. So we're basically
25 -- the rain that falls goes immediately to the

1 rivers. It does not stay in the landscape.

2 However, there is another phenomenon
3 here that is called access -- saturation
4 access flow. And we have areas that are
5 usually in the sinks of the landscape that are
6 getting saturated with the water; and
7 basically function at these times almost as
8 impervious areas. All water that falls on
9 this part flows away, goes away. These areas
10 are changing over time. This is what the
11 variable source area hydrology stands for.
12 Very complex hydrological pattern.

13 But this pattern could be responsible,
14 or this geology or hydrology could be
15 responsible for this extremely -- pretty
16 dramatic hydrographs that we see in most of
17 the areas of the Catskill Mountains. As you
18 see on this graph, that's the hydrograph,
19 again, from Stony Clove Creek. Here you have
20 the flows in cubic feet per seconds per square
21 mile drainage, and you have the dates. And
22 this was 2001 or 2002 where -- see how

23 dramatically the flows increase and then
24 decline. (Indicating)
25 Actually, we have it -- at the times

1 of the high saturation of this saturated --
2 high expansion of the saturated areas, the
3 water just like goes immediately to the
4 stream. And in summer, it is being held up
5 more in these reservoirs that are getting
6 smaller in the sinks of the landscape. So
7 this is causing the amplitude of flows to grow
8 even faster.

9 ALJ WISSLER: It's cubic feet per
10 square meter?

11 DR. PARASIEWICZ: Per square mile
12 drainage.

13 ALJ WISSLER: Per square mile?

14 DR. PARASIEWICZ: It is a unit that is
15 not popularly used. It basically allows
16 -- allows us to determine amount of water in
17 the river regardless of the place you are at
18 on the river corridor, along the river
19 corridor. Because if you are in the
20 headwaters, maybe 20 cubic feet per second
21 will fill the entire riverbed. Further
22 downstream, this 20 cubic feet per second will

23 maybe fill a third of the riverbed. Using
24 this unit allows us to express the flow for
25 the entire length of the river.

1 ALJ WISSLER: I understand.

2 DR. PARASIEWICZ: It's basically
3 standardized.

4 MR. RUZOW: Cubic feet per square
5 mile?

6 DR. PARASIEWICZ: Cubic feet per
7 second per square mile.

8 MR. RUZOW: Thank you.

9 DR. PARASIEWICZ: So apparently, we
10 still can observe these very dramatic
11 hydrographs that probably cause further
12 widening of the streams, but also cause very
13 low flows in the summer, and therefore, higher
14 temperatures. And all kind of problems to
15 fauna, to trout, specifically trout that is
16 very sensitive to higher temperatures.

17 We also performed one experiment to
18 support this theory. This was, again, in
19 collaboration with Todd Walter. The
20 Department of Biological Environmental
21 Engineering created the hydrological model
22 using SM, Soil and Moisture Routing Model, for

23 Town Brook, that's a stream in the Catskills.
24 This model, based on the landscape structure
25 and the permeability of soils, predicts the

1 hydrograph -- and based on the climate and
2 precipitation. So if we have this
3 precipitation, this soils, this slope, that's
4 how much water will be in the stream. That's
5 what this model predicted. It continues to
6 decline. You have a flow in cubic meters per
7 second and the dates. (Indicating)

8 Now, the experiment we performed, we
9 added 15 percent -- 15 centimeters of topsoil
10 on top of the entire watershed. We just put a
11 layer of -- an analyzed what would happen to
12 the hydrograph. Interestingly, whatever we
13 predicted before has happened. The peaks, the
14 high flows dropped dramatically, and we have
15 much lower peaks and high low-flows.

16 This went even further when we take
17 this simulated hydrograph that shows the
18 effect of soil depth changes on the annual
19 hydrograph, is that the average flow in the
20 stream in summer increased -- the peak as I
21 mentioned declined. This was the other graph.
22 But also what was very interesting for me is

23 that the timing of high flow events in the
24 stream was pushed to the later period. This
25 is a month. Even if this would be two weeks,

1 it has a very dramatic consequence for faunas
2 that adapted to spawn in the right season.

3 (Indicating)

4 As you see here in this part, summer
5 baseflow that was described by this model
6 would be higher with the 15 centimeters
7 deepersoils. So what we expect today is to
8 have lower flows, but also observation of
9 other rivers brought us to one more
10 conclusion, that there is also a duration of
11 this low flow that is extended. It just does
12 not last for three days or five days and then
13 being interrupted by some flow increase. It
14 lasts for a month. (Indicating)

15 And the consequence of such an event
16 is very obvious, and that's the documentation
17 from the Quinebaug River where in August 2001,
18 we had this relatively long period of very low
19 flows. That's this pink line, shows the
20 amount of water in the stream. And at the
21 same time, we measured temperature. As you
22 see, as the time goes by, the temperature

23 continuously grows until the next high-flow

24 event. (Indicating)

25 So this might be the consequence of

1 extended duration of low flows, that we
2 automatically have higher temperature. And
3 obviously also we'll have pollution that
4 reacts in the very same way.

5 So that's how much I have learned with
6 regard to this region and that specific
7 phenomenon that we could expect here.

8 Some other interesting story that I
9 had opportunity to participate at; it was the
10 study of Fish Habitat Assessment on Stony
11 Clove Creek. A brief summary of this is in
12 CPC 109, and the CDs that you received have a
13 full report from the study. This study was
14 performed as a part of stream management plan
15 by New York City DEP, and we were asked, first
16 of all, to test our method, but also provide
17 information on habitat conditions in the Stony
18 Clove Creek. (Indicating)

19 And the Stony Clove Creek has been
20 selected as one of the best in the area, least
21 impacted in the area. It is very close to
22 here. It confluences with Esopus Creek in

23 Phoenicia. We have almost the same
24 circumstances. So a lot of what we learned
25 here could be applicable in our project area.

1 Here is the project area, here is Phoenicia.

2 (Indicating)

3 The first thing we developed for Stony
4 Clove Creek was our biological reference. So
5 target fish community -- and we received a lot
6 of help from New York State DEC, specifically
7 from Mike -- and based on the data that we
8 collected, that we were able to find
9 historical data, this was the community
10 structure that we had developed for this
11 creek. And it turned out to be that the fauna

12 of this creek should be dominated by slimy
13 sculpins, which are the small very neat fish,
14 very nice. Then blacknose dace, brook trout,
15 white sucker and longnose dace. And I'm
16 dealing here only with native fish.

17 (Indicating)

18 There's also brown trout and rainbow
19 trout in the stream, but they are introduced
20 and they are not part of our model.

21 This is just a short picture of the

22 watershed of the Stony Clove Creek. We have
23 developed physical habitat model for 21
24 management units of the Stony Clove Creek,
25 units that have been defined by the DEP as

1 well as for the entire river. (Indicating)

2 We fished Stony Clove and three other
3 streams. We collected intensive biological
4 data. We used for this purpose -- this is
5 just an example from another stream -- the
6 technique that was developed by Mark Bain
7 where we observed the fish in specific
8 locations, and we have electric grids that are
9 exposed to different habitats. And we capture
10 the fish within the grids and then describe
11 what were the conditions that we found them
12 at. This is being used to develop the
13 biological model. (Indicating)

14 The stream is about 10 miles long, and
15 we mapped the entire stream three times, using
16 three teams of people at three different flow
17 conditions. For each of the slow
18 conditions -- for each portion of the river,
19 we created such maps of something that call
20 hydromorphologic units. (Indicating)

21 Then used our fish observation to
22 determine the suitability of this area in

23 these units for fish of our community. And
24 here I'm showing an example of only one of the
25 management areas and the habitat that has been

1 determined for brook trout. (Indicating)

2 Surprisingly, even though it should be
3 a good stream, we did not predict a lot of
4 good habitat for brook trout. As you see, the
5 red color means poor, that's probability of
6 fish below 30 percent, suitable below
7 50 percent, and over 50 percent is excellent.
8 (Indicating)

9 This is pretty astonishing.
10 Specifically, that our rating curves for the
11 whole river for entire community -- and you
12 see here again on this graph, the relative
13 habitat area, how much of the riverbed was,
14 first of all, wetted at different flows, the
15 different flows at the X axis, how much
16 habitat -- so 50 to 70 percent of the entire
17 river corridor has been wetted. (Indicating)

18 Out of this, majority has been
19 suitable for entire community, but most of
20 habitat was good for the slimy sculpin -- and
21 we found a lot of slimy sculpin -- and
22 blacknose dace. And we had very little

23 habitat predicted for brook trout.

24 (Indicating)

25 We did not really understand the

1 reason originally. So we went back to the
2 model and tried to analyze, what is the
3 specific characteristics of areas that are
4 predicted to have good brook trout habitat;
5 and these are riffles, runs, pools, glides,
6 and lot of them had a lot of woody debris, a
7 lot of boulders, shading, some specific depth.
8 (Indicating)

9 Then we went to the same site where we
10 predicted no habitat for brook trout and
11 looked for the same units, like riffles, runs,
12 pools, and we're watching what is actually
13 missing. And there was woody debris, boulders
14 and shading missing, and they were usually too
15 fast flowing. (Indicating)

16 So in this experiment in this model, I
17 followed the advice of a fish, and
18 artificially or eventually added as much
19 wooded debris as I could, and boulders. And
20 all of a sudden, we received a lot of habitat
21 for brook trout. (Indicating)

22 Very interesting conclusion -- and

23 surprising conclusion for many of us, that
24 wooded debris probably play a very important
25 role in the system. It corresponds with

23 like to -- having all this information and
24 after introducing all this information, I
25 would like to talk a little about my

1 conclusions and my observations when analyzing
2 the project area for this meeting.

3 As you very well know, the project
4 location is in this portion of the Esopus
5 Creek Watershed. And there are several
6 streams in the project area. You probably
7 know this map very well. It is taken from
8 DEIS. (Indicating)

9 Here, these squares are showing the
10 project area, and here are the streams that
11 flow. We have Esopus Creek coming here, Birch
12 Creek coming from the top, and it's being
13 joined by Crystal Spring Brook, Cathedral
14 Glen, of which some, Giggle Hollow Brook.
15 Some of the streams are intermittent streams,
16 do not flow the entire year. Then we have
17 Emory Brook that flows in different direction.
18 (Indicating)

19 For the purpose of my analysis, and I
20 was able here to perform only the
21 reconnaissance type of analysis, there was not
22 sufficient references and time to perform

23 detailed models.

24 I focused on the area that has most of
25 the data available, and this was Birch Creek.

1 We have one flow gauge on the Esopus stream.

2 We have also -- and those have relatively long
3 hydrological records. (Indicating)

4 One thing I need to mention here.
5 Whenever you analyze hydrological records, it
6 is important that you will have it over
7 relatively long period of time.

8 Then we have a -- four years of data
9 recorded on the Birch Creek, somewhere around
10 here. (Indicating)

11 The information that I found, the
12 information that I found in the EIS, the
13 information that was provided by New York City
14 DEC, led me to some interesting conclusions.
15 First of all, based on biological
16 observations, fish observation, fauna
17 composition of Birch Creek is relatively
18 intact, relatively unimpaired.

19 Specifically in the upper portion of
20 the stream before the confluence with Crystal
21 Spring Brook, we have relatively good
22 population of brook trout that is dominating

23 this area. Not so many slimy sculpins. Here
24 is one question that I had to myself. Our
25 model from before is showing the slimy sculpin

1 as the dominating species. Apparently, the
2 DEC data collections did not show so many
3 slimy sculpins. I don't know why. One of the
4 reasons could be temperature. This species is
5 very sensitive to the high temperatures, but
6 on the other hand, brook trout is sensitive
7 too. So I don't know what's the reason for
8 that.

9 Interestingly, further downstream, and
10 here is this snow-- here is that snow
11 -- Belleayre Mountain Ski Center Pond, snow
12 production. (Indicating)

13 In this area, the stream shows, first
14 of all, pretty dramatic morphological
15 modification. It has been regulated in the
16 direct vicinity of this pond. Secondly, the
17 fauna composition has changed, and from DEC
18 data, obviously we have much more brown trout
19 and rainbow trout, and only a few brook trout.
20 That's also very interesting because
21 apparently, it's more like common knowledge,
22 brook -- brown trout is believed to be much

23 less sensitive to the higher temperature than
24 the brook trout is. So it could be that there
25 are some higher temperatures in this area.

22 -- I think about 8 cfs in this area, or 7 cfs;

23 and 10 is the red line. (Indicating)

24 For purpose of comparison, I also

25 transferred the data to the confluence of

1 Crystal Spring Brook and Birch Creek, and
2 that's how the hydrograph should look at this
3 confluence. Here is a very interesting
4 observation --

5 ALJ WISSLER: That's cubic per second
6 flow at that point in the stream?

7 DR. PARASIEWICZ: That's correct.

8 ALJ WISSLER: Not the mile?

9 DR. PARASIEWICZ: That's correct, not
10 per mile. That's a good point.

11 As you remember, Tennant said that
12 once we go below 30 percent of mean annual
13 flow, we are in very critical area. That he
14 recommends to have more than 30 percent of
15 mean annual flow to provide for conditions,
16 which are not perfect. The 10 percent,
17 according to Tennant, is like drop dead
18 minimum -- it's already very bad habitat.

19 The conclusion of this observation is
20 that actually for most of the time and for
21 specific years for entire summer, like in
22 2001, the flows were on the Tennant threshold

23 of 30 percent. They are also going under the
24 10 percent threshold for some relatively long
25 periods of time, I think two weeks.

1 Considering this, the fauna of Birch Creek
2 seems to be in relatively good shape.

3 So the conclusion, based on all the
4 data that is available here, there is not much
5 more available, would be that it is in good
6 shape, but we are close maybe to critical
7 situation. This creek could potentially be on
8 the verge of collapse, even if less water is
9 flowing. That's what could be concluded based
10 on this graph.

11 MR. GERSTMAN: Dr. Parasiewicz, let me
12 interrupt you for one second. Before I
13 believe you said that the mean average flow
14 is -- gets to below 30 percent, it was
15 projected to get below 30 percent as a result
16 of project impacts, it would be wise -- in
17 fact, you would recommend in your professional
18 opinion that the sophisticated modeling ought
19 to be used at that point?

20 DR. PARASIEWICZ: Absolutely.

21 MR. GERSTMAN: Was that done in this
22 case?

23

DR. PARASIEWICZ: No.

24

So this allowed me to kind of define

25

the status quo for Birch Creek for today.

1 There are some water uses that exist, this
2 includes all the water uses.

3 Another interesting observation that I
4 had here was that the duration of low flows is
5 apparently extended due to the snow
6 production. Apparently, the snow -- the
7 resort starts to use the water for snow
8 production already in September, and according
9 to this hydrograph, the low flows go way into
10 September. So it is very likely that use of
11 this water is causing that we have even longer
12 period of low flows, maybe even higher
13 temperatures. Might be not so critical in the
14 fall if this is not too high. So much to
15 summer.

16 In winter, of course, we have use of
17 water for -- presently for snow production.
18 Here I think -- we don't know much about
19 winter habitat, an over-wintering habitat.
20 There are not many people that go to the
21 rivers to watch the fish. The only thing we
22 know is we need relatively deep water for good

23 survival. Nevertheless, what we do know is
24 that the groundwater intrusions are very
25 important for winter habitat because they

1 increase the temperature -- contrary to
2 summer, the groundwater intrusions in winter
3 increase the temperature at the river bottom
4 and prevent ice formation. And formation of
5 so-called anchor ice can have very dramatic
6 consequences for river and the fauna.

7 First of all, some trout species are
8 just having their eggs in the substrate that
9 can be basically damaged. But also during the
10 melt, this ice has a tendency of dragging and
11 scouring the river bottoms. So might change
12 the river morphology. Therefore, the
13 groundwater intrusions could be very critical
14 for this system in winter too.

15 Now, this is present. Then let's look
16 into the future and what kind of sources of
17 potential impacts we could imagine. The one
18 thing Dr. Michalski has, I think, elaborated
19 long on this; there is a high probability of
20 reduced groundwater contribution due to
21 pumping. It is likely. This, as I said,
22 could have a strong influence on the winter

23 habitat as well as summer habitat. This is
24 very essential that baseflows would be
25 protected.

1 The other thing that could happen is
2 obviously increase of impervious areas. Of
3 course, there are some measures planned here,
4 but it's only that much that can be done. And
5 once that flow will go beyond detention ponds,
6 it still has a tendency of scouring the finds
7 and bringing the finds to the stream too. And
8 also, I cannot imagine that we would be able
9 to retain it so far, even to bring the system
10 closer to the original conditions. Please
11 remember that nowadays already we have very
12 flashy and very high flow amplitudes, and very
13 flashy systems. Adding even more to this
14 could be critical.

15 Of course, in some part, the forest
16 cover will be removed. This, again, might
17 have consequences for the runoff and increase
18 the high flow runoff.

19 The other part that obviously needs to
20 happen, and I cannot imagine that it wouldn't,
21 would be the fragmentation of very small, tiny
22 wetlands and filling of them. And these tiny

23 wetlands might play very crucial role in the
24 hydrology of the system. They might save a
25 lot of water and just delay the runoff so far

1 that there would be enough runoff provided for
2 summer.

3 Another part that should be also
4 mentioned, and I know from Austria that is a
5 big problem, the snow production specifically
6 causes compaction of ski slopes. The snow
7 produced from water is heavier than the normal
8 snow, and it usually compacts the soil and
9 causes even higher runoff. That's phenomenon
10 that is very widely discussed and very well
11 known in countries like Austria.

12 So the conclusion here would be, okay,
13 we could expect increased surface runoff, not
14 only reduction of the groundwater flow but
15 also increased surface runoff. And what would
16 this cause? It could increase the peak flows
17 in the river, obviously, and also extend the
18 low flow periods. So we could have more
19 frequent and longer low-flow periods,
20 therefore, higher temperature. That increased
21 peak flow could cause increased sedimentation

22 of finds, and would fill the interstitial
23 space and limit the vertical interactions that
24 I mentioned before. And of course, the
25 increased peak flows would cause stronger bank

1 erosion, so we could have very similar
2 phenomenon like we had on the Delaware. The
3 river would get wider, and therefore, more
4 susceptible to warming up.

5 So of course, I also tried to apply
6 the Tennant method to this projected
7 situation, future situation. I applied here a
8 number that Michalski has calculated in his
9 analysis and reduced the flows in the river by
10 .3 cfs and recalculated the hydrograph. The
11 same hydrograph we have seen before. And
12 again applied Tennant methods, and this
13 reduction of flow by that little, .3 cfs is
14 not much, caused dramatic changes.

15 (Indicating)

16 First of all, I think this is the most
17 astonishing, we doubled the duration of
18 low-flow period, doubled the duration of flows
19 under 10 percent of Tennant threshold. This
20 could bring the system to the verge of
21 destruction. Of course we extended the amount
22 of time that the flows were under 30 percent

23 of threshold.

24 So it is very questionable what the

25 future of Birch Creek in this area would be

1 with that reduction of flow.

2 The conclusions that I build up on my
3 present knowledge, my present expertise and
4 whatever I was able to learn about a system,
5 is that aquatic fauna of streams adjacent to
6 the project is of high value.

7 As I mentioned before, we have
8 apparently problems in the Catskill region, as
9 shown on the Stony Clove Creek that has been
10 appreciated as a high quality stream. Even
11 this stream does not have much of brook trout
12 habitat or brook trout. So Birch Creek seems
13 to be in better shape than Stony Clove too.
14 So it is important that it be protected.

15 This fauna could be potentially
16 impacted by a project. There is a very real
17 potential of severe impact from the project on
18 the aquatic fauna on the streams. This is
19 caused by the increased duration of low flows,
20 and what this is causing, it is reducing the
21 mobility of species. In one of the studies
22 that -- it's increasing temperatures, as I

23 mentioned before, the mobility is reduced,
24 obviously, because stream is smaller, but also
25 causes overlap of habitat for different

1 species and increases the competition.

2 One of the studies that I had before
3 in Austria have shown that very low flows
4 cause the habitat for juvenile fish to overlap
5 with the habitat of adult fish. And the
6 problem with this is that adult fish usually
7 eat the juvenile fish, so it is reducing the
8 survival opportunity.

9 The velocities and depth would be
10 reduced. This would obviously reduce the
11 suitability of habitat for bluegill
12 specialties and river-end fish, and
13 specifically cold-water species and trout.

14 So we could expect a shift in
15 community composition to more general species.
16 We could potentially expect even an upper
17 portion shift from brook trout even to brown
18 trout or other species that like more warm
19 water. So we will have warmer water.

20 There is also a possibility that at
21 this time, at this moment if we will have that
22 little of water, the wastewater treatment

23 plant could create almost a seizure thermal
24 barrier that could limit the ability of trout
25 species to move upstream and spawn. And these

1 streams are playing very vital role for the
2 spawning of trout.

3 Reduced groundwater flow could cause
4 less opportunity for trout spawning. As I
5 said, they spawn in areas of groundwater
6 infiltration. Increased possibility of anchor
7 ice, and therefore, modification of
8 morphology, and the peaks could obviously
9 modify morphology and this could -- as a
10 secondary result, we would have increase in
11 temperature and also increased sediment
12 transport.

13 Another part is that we could also
14 expect impact on intermittent streams and on
15 the headwater streams, and also lower amount
16 of wetlands, and therefore, less of these
17 saturated areas that provide water in
18 different kinds of areas.

19 ALJ WISSLER: Let me stop you right
20 there. Help me understand that. So far this
21 analysis that you have given us has used as an

22 example perennial streams?

23 DR. PARASIEWICZ: Right.

24 ALJ WISSLER: Specifically, you used

25 Birch Creek, which obviously impacts the Big

1 Indian side of this project. The Wildacres
2 site, however, I think all the streams on the
3 Wildacres site are intermittent streams. How
4 does your analysis change when looking at
5 intermittent streams?

6 DR. PARASIEWICZ: Looking at
7 intermittent streams, the impact could be even
8 more severe --

9 ALJ WISSLER: In what way?

10 DR. PARASIEWICZ: -- than perennial
11 streams. The reason is, reducing the amount
12 of water in intermittent streams would extend
13 the periods of time that they are dry. Some
14 of those streams are being used for spawning,
15 and this could potentially reduce the time
16 necessary for trout to hatch. And they could
17 potentially dry out before they have a chance
18 to get out of there. The intermittent
19 stream --

20 ALJ WISSLER: If you know, are the
21 intermittent streams in this project, are they
22 trout spawning streams, the intermittent

23 streams?

24 DR. PARASIEWICZ: Yes, some of those

25 are trout spawning streams. Is it right,

1 Mike?

2 MR. FLAHERTY: I can't tell you that
3 for sure. Portions of these streams that are
4 trout spawning are definitely intermittent in
5 their headwaters. So trout may spawn up
6 there, but it's hard for us to make that
7 determination when we sample the --

8 ALJ WISSLER: If somebody can break
9 that out for me, unless it's already broken
10 out somewhere.

11 DR. PARASIEWICZ: So that's how the
12 analysis -- basically, it could be even more
13 dramatic on the intermittent streams, and
14 specifically they are so small. They are so
15 easily bulldozer, and so easily vanished under
16 any kind of construction.

17 There was this letter that I provided
18 here. There was a draft letter signed by many
19 scientists to the Army Corps of Engineers
20 about the status of intermittent streams in
21 the country, and it pointed out it is very

22 dramatic.

23 MR. GERSTMAN: We will provide that.

24 DR. PARASIEWICZ: So it underlines

25 importance of intermittent streams as a

1 network that, first of all, transports the
2 water to the perennial stream, but also slows
3 it down and fulfills a vital role in the
4 landscape. Specifically in the upland areas.

5 Therefore, my conclusion here would be
6 that it is a little dicey to say, or premature
7 maybe, to say there will be no impact on the
8 habitat. There is a very high potential for
9 that. The systems are so valuable that it
10 would be advisable to perform very thorough
11 analysis of the systems and determine what
12 really would happen; and not only this, if the
13 project would move forward, to develop
14 measures that would prevent its destruction,
15 and that's why such analysis would be
16 absolutely necessary. And by the project of
17 that size, I consider it absolutely necessary.

18 ALJ WISSLER: What kind of measures
19 would mitigate such a thing, impact?

20 DR. PARASIEWICZ: Well, off the bat,
21 it's really hard to say, but if you develop a
22 relatively good model of a system, you could

23 potentially, first of all, provide some

24 tradeoffs.

25 For example, the area -- as I

1 mentioned before -- the area next to the
2 downstream of the Crystal Spring Brook is
3 heavily modified, morphologically modified.
4 Improvement of this area would provide more
5 habitat for entire river. This could
6 compensate for something. You could introduce
7 all kind of measures specifically with regard
8 to --

9 ALJ WISSLER: Specifically, that could
10 mean things like adding boulders, you were
11 talking about?

12 DR. PARASIEWICZ: Right. Adding
13 wooded debris, for example. You could provide
14 habitat improvement measures, on one hand.
15 You could also make sure that as much water as
16 possible will stay in the landscape during
17 high-flow events. So there are engineering
18 measures, but there are also long-term
19 measures. I think what would be necessary is
20 also a long-term plan. What would be if?
21 What will be up to 10, 20 years? Some of the
22 measures cannot be applied right away. You

23 can create some wetlands, something that could

24 be done.

25 So there are possibilities, but

1 without exact analysis, there is no way to say
2 what would bring us benefit.

3 I give you just one example. On the
4 first project I was doing here, this was on
5 the Quinebaug River, my major task was to say
6 how much water this river needs. And we
7 created a model believing that the amount of
8 water was an issue. As it turned out, it
9 wouldn't matter how much water we put into the
10 river without improvement of habitat
11 structure. There are so many dams, there are
12 so much morphological modification that it
13 doesn't matter how much water. That's
14 something that you learn only when you
15 investigated the system very exactly. When
16 you know it in and out.

17 MR. GERSTMAN: Dr. Parasiewicz, you
18 reviewed the Draft Environmental Impact
19 Statement and the discussion of impacts to
20 aquatic habitat?

21 DR. PARASIEWICZ: Yes.

22 MR. GERSTMAN: What conclusions did it

23 draw?

24 DR. PARASIEWICZ: It drew the

25 conclusion there will be no impact.

1 MR. GERSTMAN: On what basis did it
2 draw that conclusion?

3 DR. PARASIEWICZ: There was not
4 -- based on my observation, there was no
5 thorough analysis. There was just a very
6 brief analysis of what could happen. And the
7 conclusion was there will be no reduction of
8 the groundwater flow.

9 MR. GERSTMAN: Would you characterize
10 it as conclusory statements?

11 DR. PARASIEWICZ: No, it's inaccurate.
12 It's inadequate to the size of the project.

13 Thank you.

14 MR. GERSTMAN: Judge, we recommend we
15 take a lunch break and come back with a couple
16 minutes of follow-up questions and then turn
17 it over to --

18 ALJ WISSELER: Are we finished with
19 this?

20 MR. RUZOW: Your Honor, if it's only a
21 couple more minutes --

22 ALJ WISSLER: Yeah. How much?

23 MR. GERSTMAN: I actually would look
24 forward to a short break so I could go over
25 some of the questions and come back and make

1 some concluding remarks basically.

2 ALJ WISSLER: Do you want to take a
3 quick break now and do that so we can come
4 back and start with -- I'll give everybody
5 five minutes right now.

6 MR. GERSTMAN: It may be less.

7 (1:34 - 1:39 P.M - BRIEF RECESS
8 TAKEN.)

9 MR. GERSTMAN: Dr. Parasiewicz, how
10 would you characterize Birch Creek and Esopus
11 Creek in terms of pristine or nature-like
12 river? Can you give us some description?

13 DR. PARASIEWICZ: Neither of the two
14 is pristine. There is not much in the North
15 America that would be a pristine stream --
16 maybe Canada. It is however, I would -- the
17 definition of nature-like for some portions of
18 this would be probably accurate, specifically
19 upstream of the confluence with the Crystal
20 Spring Brook. My observations is from this
21 portion that there is apparently a deficit of
22 a woody debris in the upper portion of the

23 river. So -- but my fauna observation say
24 that it works relatively good as a system,
25 apparently better than Stony Clove. So it

1 would be very interesting stream to study,
2 actually.

3 Specifically by fact of having this
4 very clear seizure between the brook trout and
5 brown trout. We're wondering why, actually.
6 There's a lot of debate in the science, why
7 the areas that are full of brook trout are not
8 having so much brown trout, or actually the
9 other way around most often. I think the
10 composition temperature. It would be very
11 interesting to figure this out.

12 MR. GERSTMAN: Would you say that
13 these areas that you described as nature-like
14 are worthy, I think you said this, worthy of
15 study and worthy of being very protective
16 because of their status?

17 DR. PARASIEWICZ: Yes, I would say so.

18 MR. GERSTMAN: You have spent time
19 studying the Beaver Kill and Stony Clove Creek
20 and Town Brook. Are the conclusions you're
21 drawing with respect to the impacts on Birch
22 Creek and the Esopus based upon the body of

23 knowledge that you've developed over the
24 course of your study of these other rivers and
25 streams?

1 DR. PARASIEWICZ: That's correct.

2 MR. GERSTMAN: In terms of the quality
3 of Birch Creek above the confluence with
4 Crystal Spring Brook, would you say it's
5 fairly unique in the northeastern United
6 States?

7 DR. PARASIEWICZ: It's in common. I
8 wouldn't say it's totally unique -- I'm sorry,
9 uncommon. There are parts of New Hampshire or
10 Vermont that have streams that are as good as
11 this one.

12 I think for -- there are also streams
13 in the Catskill Mountains that probably are
14 similarly good, but it's not extremely common.
15 It would be actually one of the areas that we
16 are trying to find for our first science to
17 establish our reference on how to manage the
18 streams that have been modified.

19 MR. GERSTMAN: So this area that we're
20 talking about above the confluence with
21 Crystal Spring Brook actually has value for
22 further scientific study and reference?

23

DR. PARASIEWICZ: That's correct.

24

MR. GERSTMAN: Judge, do you have any

25

questions?

(AQUATIC HABITAT ISSUE)

4346

1 ALJ WISSLER: No.

2 MR. GERSTMAN: Thank you very much.

3 ALJ WISSLER: Okay. We will break for
4 lunch until 2:15.

5 (1:43 - 2:33 P.M - LUNCHEON RECESS
6 TAKEN.)

7 (LETTER FROM LA GROUP DATED 8/25/04
8 RECEIVED AND MARKED AS APPLICANT'S EXHIBIT NO.
9 136, THIS DATE.)

10 (LETTER TO KEVIN FRANKE FROM JOHN
11 MACPHERSON, CHEMIST WITH NATURAL SITE
12 SOLUTIONS, LLC. RECEIVED AND MARKED AS
13 APPLICANT'S EXHIBIT NO. 137, THIS DATE.)

14 (AUGUST 23, 2004 LETTER TO BILL
15 MIRABILE FROM KEVIN FRANKE ON SHALLOW
16 GROUNDWATER MONITORING RECEIVED AND MARKED AS
17 APPLICANT'S EXHIBIT NO. 138, THIS DATE.)

18 (LETTER FROM NYS DEC DATED 10/13/00
19 RECEIVED AND MARKED AS APPLICANT'S EXHIBIT NO.
20 139, THIS DATE.)

21 (USGS "WATER RESOURCES OF THE BATAVIA

22 KILL BASIN AT WINDHAM , GREENE COUNTY, NEW
23 YORK RECEIVED AND MARKED AS APPLICANT'S
24 EXHIBIT NO. 140, THIS DATE.)
25 (RESUME OF RONALD A. ALEVRAS RECEIVED

1 AND MARKED AS APPLICANT'S EXHIBIT NO. 141,
2 THIS DATE.)

3 ("CHITOSAN (LIQUI-FLOC) SYNOPSIS"
4 RECEIVED AND MARKED AS APPLICANT'S EXHIBIT NO.
5 142, THIS DATE.)

6 ("CHITOSAN ENHANCED SAND FILTRATION
7 FAILURE TEST" RECEIVED AND MARKED AS
8 APPLICANT'S EXHIBIT NO. 143, THIS DATE.)

9 ("RAINBOW TROUT (ONCORHYNCHUS MYKISS)
10 CHRONIC TOXICITY SCREENING OF STORMWATER
11 TREATED BY CHITOSAN ENHANCED SAND FILTRATION
12 FLOW-THROUGH SYSTEM - REDMOND, WASHINGTON -
13 JUNE 2, 2004" RECEIVED AND MARKED AS
14 APPLICANT'S EXHIBIT NO. 144, THIS DATE.)

15 ("LITERATURE REVIEW-CHITOSAN: ITS
16 FORMATION, PROPERTIES AND APPLICATIONS - STATE
17 PLANNING AND RESEARCH PROJECT NUMBER 615"
18 RECEIVED AND MARKED AS APPLICANT'S EXHIBIT NO.
19 145, THIS DATE.)

20 ("APPLICATION FOR PILOT-LEVEL
21 DESIGNATION GEL-FLOC ENHANCED BIOFILTRATION
22 STORMWATER TREATMENT TECHNOLOGY" RECEIVED AND

23 MARKED AS APPLICANT'S EXHIBIT NO. 146, THIS

24 DATE.)

25 MS. BAKNER: I'd like to introduce the

1 following exhibits. We have Applicant's
2 Exhibit 136, which is a letter dated August
3 25th, 2004 from Kevin Franke to Alex Ciesluk
4 addressing some comments raised by Trout
5 Unlimited relative to stream temperatures and
6 heavy metals.

7 The next is Applicant's 137, which is
8 a letter and other technical information from
9 Mr. MacPherson to Kevin Franke.
10 Mr. MacPherson is with Natural Site Solutions,
11 and he is a chemist.

12 The next exhibit is Applicant's 138,
13 and it is a letter from Kevin Franke to Bill
14 Mirabile at DEC, dated August 23rd, 2004.
15 Attached it has a lysimeter, L-Y-S-I-M-E-T-E-R
16 construction detail, and drawings showing
17 where we're proposing to put the shallow
18 groundwater monitoring well.

19 Next is Applicant's Exhibit 139, which
20 is a report entitled "Pesticide and Fertilizer
21 Technical Working Group Final Report," dated
22 -- with a cover letter dated October 13th,

23 2000.

24 Next is an article, a technical

25 document entitled, "Water Resources of the

1 Batavia Kill Basin at Windham, Greene County,
2 New York." It's by Paul Heisig, H-E-I-S-I-G,
3 and it's Applicant's Exhibit 140.

4 Next is Applicant's Exhibit 141, and
5 that's a curriculum vitae or resume of Ronald
6 A. Alevras, and he'll be one of our experts
7 here today.

8 Next is Applicant's Exhibit 142, which
9 is a position paper entitled, "Chitosan
10 Liqui-Floc Synopsis," August 23rd, 2004,
11 Revised August 24th.

12 Next is Applicant's Exhibit 143 is a
13 Chitosan Enhanced Sand Filter Failure Test by
14 Natural Site Solutions.

15 Applicant's 144 is an article
16 entitled, "Rainbow Trout, Chronic Toxicity
17 Screening of Stormwater Treated by Chitosan
18 Enhanced Sand Filtration Flow-Through System,"
19 dated June 2nd, 2004, prepared for Natural
20 Site Solutions by ECO-Endeavors, Inc.

21 Applicant's 145 is a literature review
22 entitled, "Chitosan, Its Formation, Properties

23 and Applications." The authors are Li, L-I,

24 and Kegley, K-E-G-L-E-Y, dated June 2004.

25 Applicant's Exhibit 146 is

1 "Application for Pilot-Level Designation,
2 Gel-Floc Enhanced Biofiltration Stormwater
3 Treatment Technology" dated July 9th, 2004.

4 What we'd like to do first, since we
5 have an expert with us today who hasn't been
6 with us previously, is I would like Ron
7 Alevras to go over his educational background
8 and experience so that we're familiar with his
9 expertise level.

10 MR. GERSTMAN: Could I get a
11 clarification before you start on which of
12 these exhibits relates directly to the aquatic
13 habitat discussion that we had this morning?

14 MS. BAKNER: The Chitosan relates to
15 the issue that's raised in your petition,
16 which is part of aquatic habitat, which was
17 impact on aquatic organisms from the use of
18 Chitosan. So all of those articles are,
19 obviously, on that point.

20 The rest is the comments on stream
21 temperatures and heavy metals, and that's
22 predominantly the response relative to the

23 aquatic habitat issue.

24 The groundwater monitoring, we wanted

25 to get to everybody as soon as possible.

1 You'll recall that in our discussions on
2 pesticides, DEP had requested that we shift
3 from deep groundwater monitoring wells to
4 shallow groundwater monitoring wells. So we
5 wanted to get that in the record.

6 The other thing here is the working
7 group, that's related to the fertilizer and
8 pesticides.

9 And the Heisig report, when we went
10 back and reviewed our notes and your exhibits,
11 we realized that Dr. Michalski had not
12 introduced the report, just a few drawings
13 from it. And we thought the entire report was
14 instructive.

15 The rest of it really has to do with
16 Chitosan predominantly.

17 MR. GERSTMAN: For our purposes,
18 anything not directly related to aquatic
19 habitat, we'd like to obviously reserve the
20 right to respond in terms of the Chitosan and
21 whatever comments you're making in terms of
22 the Heisig report vis-a-vis Dr. Michalski's

23 testimony.

24 MS. BAKNER: We just introducing it.

25 We're just putting it in the record because

1 you didn't.

2 MR. GERSTMAN: We only had a couple
3 charts that were relevant. We didn't want to
4 kill more trees than we had to.

5 MS. BAKNER: Just to get started,
6 then, Ron.

7 MR. ALEVRAS: I have a Bachelor's
8 Degree in biology from Montclair State
9 College, and a Master's in fisheries science
10 from Oregon State University. My professional
11 career has been divided between a period of
12 five-and-a-half years with Consolidated Edison
13 Company in New York, and over which time I
14 dealt with the fish problems at the Indian
15 Point Nuclear Plant.

16 After that I spent 25-plus years with
17 Lawler, Matusky & Skelly engineers; that's
18 involved a wide variety of endeavors
19 associated with impact assessments.

20 The one most relevant to this
21 proceeding is -- I spent a long period of time
22 working on the licensing of small hydropower

23 plants in New York State dealing with all of
24 the typical issues associated with hydropower
25 effects on stream flows, water level

1 fluctuations, entrainment of aquatic life.
2 And as part of that, we looked into and
3 participated with our clients on various types
4 and approaches to mitigation to reduce the
5 effects of hydropower operations on River
6 Rhine and lake habitats. The work was mostly
7 undertaken in New York State, significant
8 amount in the State of Michigan and some in
9 the State of Massachusetts.

10 Currently, I work on a wide variety of
11 projects in New York Harbor involving dredging
12 and waterfront development.

13 MS. BAKNER: Thank you very much.
14 Kevin, could you just remind us of your
15 qualifications relative to aquatic habitat?

16 MR. FRANKE: I have a Bachelor's
17 Degree in environmental and forest biology,
18 the College of Environmental Science and
19 Forestry. I have a Master's Degree in aquatic
20 ecology from Fredonia State University.
21 Working for 15 years with the LA Group, and a
22 good portion of that work was associated with

1 think what we want to do immediately is focus
2 in on the presentation that we heard this
3 morning, and the very few points that it made
4 with respect to our project in specific.

5 And what I would like to do, Kevin, is
6 ask you a series of questions about our
7 project, just so we can make this clear for
8 the record.

9 Are we proposing to channelize any
10 streams or intermittent streams as part of our
11 project?

12 MR. FRANKE: No, no channelization,
13 including no culverting.

14 MS. BAKNER: Are we proposing to
15 eliminate any flood plane habitat or have any
16 effect on any flood plane habitat?

17 MR. FRANKE: We don't have any
18 development in the flood plane.

19 MS. BAKNER: We have two bridges that
20 cross, and those are covered by draft DEC
21 permits at this point.

22 How close are we in our development

23 with respect to Big Indian to the streams,
24 Birch Creek and the other intermittent
25 streams?

1 MR. FRANKE: The actual development
2 footprints, exclusive of the access road,
3 obviously, which crosses Birch Creek, the
4 closest point, I believe, is around 800 feet
5 away from Birch Creek.

6 MS. BAKNER: 800 feet away. With
7 respect to Wildacres, I understand we're a
8 tiny bit closer. Can you describe that?

9 MR. FRANKE: There are two Class B
10 intermittent tributaries to Emory Brook which
11 pass through the Wildacres site, and the golf
12 course crosses both tributaries, and Tributary
13 2, I believe, more than once, two or three
14 times.

15 MR. RUZOW: When you say the golf
16 course crosses it, what do you mean by that?

17 MR. FRANKE: Basically, the fairway
18 will be constructed so that it is built up to
19 a point adjacent to the stream. There's no
20 filling of the stream, and the fairway picks
21 up on the other side of the stream.

22 MS. BAKNER: So you're essentially
23 shooting over the stream?
24 MR. FRANKE: That's correct.
25 MS. BAKNER: Would it be correct to

1 say we're bulldozing any streams or any
2 intermittent streams as a part of this
3 project?

4 MR. FRANKE: No.

5 MS. BAKNER: Do we have any
6 impoundment or dams as a part of this project?

7 MR. FRANKE: No, the DEIS clearly
8 states under the section of "Diversion and
9 Impoundment" that: "No existing surface
10 waters bodies will be impounded as a part of
11 this project."

12 MS. BAKNER: All right. In terms of
13 the irrigation ponds then, those are dug ponds
14 and they're not impounded?

15 MR. FRANKE: Correct. They will be
16 created dug ponds; they're not associated with
17 any existing surface water resources.

18 MS. BAKNER: In terms of direct
19 discharges to Birch Creek and other creeks,
20 can you describe where we have our effluent
21 discharge points?

22 MR. FRANKE: Right. Each side of the

23 project has its own wastewater treatment
24 plant. On the Big Indian side of the project,
25 we discharge to Birch Creek approximately

1 200 feet downstream of where the bridge from
2 Friendship Road is proposed.

3 At Wildacres, we discharge to
4 Tributary 3 of Emory Brook, approximately
5 two-thirds of the way towards the southern
6 boundary between the town road and the
7 railroad tracks.

8 MS. BAKNER: And I believe on the
9 various site visits, we looked at all of those
10 locations?

11 MR. FRANKE: Yes, we did.

12 MS. BAKNER: In terms of discharges
13 into Birch Creek, what other notable
14 discharges are there into Birch Creek above
15 and below our effluent point?

16 MR. FRANKE: Right now the City's Pine
17 Hill Wastewater Treatment Plant discharges to
18 Birch Creek.

19 MS. BAKNER: In terms of the capacity
20 of what we're proposing and the capacity of
21 the City's plant, what's the relative
22 magnitude of the difference?

23 MR. FRANKE: I believe we're less than
24 half of what is currently permitted for the
25 Pine Hill Wastewater Treatment Plant.

1 MS. BAKNER: Are we proposing to
2 change any habitat structure in any creek?

3 MR. FRANKE: No, we don't have any --
4 we have no proposed instream work disturbance.

5 MS. BAKNER: Have we proposed to take
6 any flora or fauna, that's instream flora or
7 fauna?

8 MR. FRANKE: No.

9 MS. BAKNER: Are we withdrawing any
10 water from surface waters, existing surface
11 waters from this project?

12 MR. FRANKE: Nope. Potable and
13 irrigation water supplies are from
14 groundwater.

15 MS. BAKNER: Are we proposing to
16 deforest the site and leave it in a deforested
17 condition?

18 MR. FRANKE: No. Any area that's
19 disturbed and not developed will be
20 revegetated for golf course and landscaping.

21 MS. BAKNER: So would you characterize
22 what we're doing as more or less an immediate

23 change in cover type?

24 MR. FRANKE: It would not be

25 immediate, it would be short-term, but it

1 would be certainly not -- historical sense it
2 will be short-term.

3 MS. BAKNER: In terms of what
4 materials we're bringing onto the site, what
5 kind of an impact will they have in terms of
6 discharges from the site; and in particular,
7 how will they differ from thin soils that may
8 run off after deforestation?

9 MR. FRANKE: As we talked about in the
10 previous session, the entire golf course will
11 be topsoiled with six inches of sandy loam
12 material, which will actually provide storage,
13 if you will, and decrease the severity during
14 low flow, according to the testimony that we
15 have heard this morning.

16 MS. BAKNER: So nothing that we're
17 doing from a design standpoint with our
18 stormwater system or the replacement of
19 vegetation on the site would, in your opinion,
20 extend the duration of low flows in any of the
21 creeks surrounding?

22 MR. FRANKE: That's correct.

23 MS. BAKNER: For our stormwater plan,
24 we've extensively evaluated pre- and
25 post-quantity of runoff?

1 MR. FRANKE: That's correct. The
2 stormwater management system has been designed
3 to discharge at rates that are at or just
4 slightly below the rate at which water comes
5 off the site now. And it's actually held back
6 in time so it's not discharged until the peak
7 in the stream has passed. We're not
8 contributing stormwater during peak flows.

9 MS. BAKNER: Switching to Mr. Trader.
10 Did we collect any actual empirical data with
11 respect to flows in the creek surrounding the
12 site?

13 MR. TRADER: Yes, we collected flow
14 measurements for a two-year period from Birch
15 Creek and Crystal Spring Brook, and many of
16 the other streams in the area.

17 MS. BAKNER: Where are the results of
18 that monitoring found?

19 MR. TRADER: That's found in Table 1A,
20 the infamous Table 1A.

21 MS. BAKNER: In Table 1A. The two
22 years that you took the data in, did that

23 include a drought year?

24 MR. TRADER: Yes, it was.

25 MS. BAKNER: What was the year of the

1 drought, roughly speaking?

2 MR. TRADER: 2001.

3 MS. BAKNER: Do you have any new or
4 unexpected data with respect to stream flow or
5 stream temperatures in the area that you would
6 like to introduce into the record?

7 MR. TRADER: We had a temperature
8 logger that was installed in Birch Creek just
9 downstream from the wastewater treatment plant
10 outfall.

11 MS. BAKNER: The Pine Hill New York
12 City DEC Wastewater Treatment Plant?

13 MR. TRADER: That's correct. It was
14 located in the creek. At some point in
15 probably January, we couldn't find it. So we
16 wrote it off. Al Frisenda -- this is where it
17 was located, back in the creek behind his
18 house -- he found it not too long ago, several
19 weeks ago when he was out there with his
20 grandson. It was still in the creek. It had
21 just moved and it was covered by another

22 boulder.

23 So he mailed that to me, and we

24 downloaded it, and so now I have a nice record

25 of about three years' of temperature

1 measurements of Birch Creek at that point.

2 MS. BAKNER: Hence, the unexpected?

3 MR. TRADER: Yes.

4 MS. BAKNER: Can you describe --

5 ALJ WISSLER: Are you offering this?

6 MS. BAKNER: We are going to. We just
7 don't have more than one copy. We can mark it
8 whatever the next exhibit is, if you'd like.

9 ("BELLEAYRE RESORT AT CATSKILL PARK -
10 TEMPERATURE LOGGER AT AL FRISENDA'S RESIDENCE"
11 RECEIVED AND MARKED AS APPLICANT'S EXHIBIT NO.
12 147, THIS DATE.)

13 MS. BAKNER: Steve, can you describe
14 where Al's residence is, for the record?

15 MR. TRADER: Yes. He is on the
16 eastern side of Rose Mountain Creek, which is
17 just east of the New York City DEP Pine Hill
18 Wastewater Treatment Plant.

19 MS. BAKNER: I don't know if you need
20 to retrieve the chart, but what does the chart
21 show about temperature in Birch Creek over
22 that three-year period?

23 MR. TRADER: It shows -- these
24 temperature measurements were programmed to
25 collect four times a day, so every six hours.

1 So for each day there's four measurements. So
2 you'll see a low and a high for each day. It
3 shows a seasonal fluctuation of water
4 temperatures in Birch Creek.

5 In the year 2002, summer of 2002 was
6 the warmest, it was about 70 degrees for one
7 or two of the six-hour periods over this
8 three-year period.

9 The lows, over three different winters
10 that are shown on the chart are 32 degrees.
11 It didn't go below that.

12 In 2003, the warmest the temperature
13 got was about 65 degrees. So 2002 was
14 slightly warmer water temperature.

15 MS. BAKNER: During Dr. Parasiewicz's
16 testimony, he commented on Tennant method data
17 with respect to the Birch Creek confluence,
18 and specifically he appeared to use, although
19 we have never seen this before, four years of
20 data, four or five years of data in order to
21 draw some conclusions about the flows in the
22 creek.

23 How does that data, the sort of
24 predicted data, compare with your results?
25 And if you could, please take some time and

1 explain the degree to which the data that he
2 used is predicted or how he came up with it.

3 MR. TRADER: He's using the
4 stream-flow measurements that were recorded at
5 the USGS gauging stage at Big Indian. There's
6 approximately four years of data available for
7 that site.

8 The drainage basin associated with
9 Birch Creek at that point is 12.5 square
10 miles. The drainage basin to the confluence
11 of Crystal Spring Brook and Birch Creek where
12 they meet, that drainage basin is 7.2 miles.
13 So what he has done is to present this data
14 for Birch Creek at that confluence, is to take
15 the ratio of the drainage basin areas, which
16 is 7.2 square miles to 12.5 square miles,
17 that's 57 percent. So he's multiplying all of
18 the USGS discharge -- stream-flow measurements
19 by 57 percent and making a hypothetical
20 hydrograph at the confluence, which is further
21 upstream from that point. So he has a
22 hypothetical hydrograph at the confluence of

23 Crystal Spring Brook and Birch Creek.

24 MS. BAKNER: We're not objecting to

25 the method he used, but we're going to compare

1 it now, if you will, to actual data.

2 MR. TRADER: The two-year flow study
3 that we did, we took measurements at the
4 confluence. We measured at Crystal Stream
5 Brook, upstream of the confluence, Birch
6 Creek, upstream from the confluence, and Birch
7 Creek just below the confluence.

8 When you actually compare the numbers
9 that we got, they don't agree with the
10 57 percent prediction. They're higher. The
11 average of the two-year flow study was
12 78 percent. So that the flows that are
13 predicted for that point further upstream are
14 actually higher. We measured flows that were
15 actually higher than what he's predicting
16 should have been during those same times.

17 ALJ WISSLER: Looking at CPC 105,
18 which is the PowerPoint presentation --

19 MR. TRADER: I think it was the last
20 page.

21 ALJ WISSLER: Essentially, what you're
22 doing is -- this chart compared to Table 1A;

23 right? Is that what we're talking about?

24 MR. TRADER: Right, this chart.

25 (Indicating)

1 ALJ WISSLER: Page 13 of CPC Exhibit
2 105, it's the chart on the upper left-hand
3 corner of that page.

4 MR. RUZOW: Your Honor, it's also --
5 Steve, could you describe where in the
6 doctor's report it was?

7 MR. TRADER: Page 3.

8 ALJ WISSLER: Of?

9 MR. RUZOW: That was Exhibit R, was
10 it, to the petition?

11 MR. GERSTMAN: To our petition, yeah,
12 I believe that's correct.

13 MR. RUZOW: The same graph is, I
14 believe, shown in Exhibit R to the petition.

15 ALJ WISSLER: Exhibit R or Exhibit J?

16 MR. GERSTMAN: It's not R, Dan.

17 ALJ WISSLER: It's J.

18 MS. BAKNER: Go ahead.

19 MR. TRADER: We have the right
20 exhibit?

21 MS. BAKNER: You have the right
22 exhibit.

23

MR. TRADER: Page 3.

24

MS. BAKNER: Page 3 is the first

25

hydrograph.

1 ALJ WISSLER: Of Exhibit J?

2 MS. BAKNER: Which shows all the data.

3 MR. TRADER: Figure 1, "Summer and
4 Fall Flows in Birch Creek Measured at Big
5 Indian Gauge." So those -- so that figure
6 shows the flows at the Big Indian gauge.

7 ALJ WISSLER: We're talking about Page
8 3 of Exhibit J of the exhibits to the
9 petition; is that what we're looking at?

10 MS. BAKNER: Yes, that's correct.

11 ALJ WISSLER: Of CPC's petition, okay.

12 MR. TRADER: In order to generate the
13 data for the hydrograph at the confluence,
14 he's multiplied each of those values by
15 57 percent.

16 ALJ WISSLER: And you're comparing the
17 table on page 3 of Exhibit J of CPC's petition
18 to Table 1A, the values that you're comparing?

19 MR. TRADER: Actually, it would be on
20 this, it would be page 6.

21 MR. RUZOW: The values on page 6 with
22 Table 1A is what you're comparing?

23 MR. TRADER: With Table 1A. What
24 Figure 3, I believe is showing, is the
25 hypothetical hydrograph at the confluence.

1 Then those numbers reduced by another .3 cfs.

2 ALJ WISSLER: So it's those values
3 that when you just made the statement about
4 comparing that with 1A, that's what --

5 MR. TRADER: There's like an
6 intervening graph that wouldn't be shown here.
7 There would be a hydrograph that shows flows
8 that are 57 percent of the Big Indian gauge.
9 Then this Figure 3 takes another .3 cfs off of
10 those values.

11 MS. BAKNER: Let's talk about the
12 origin of that .3 cfs. Based on Dr.
13 Parasiewicz's presentation and also this
14 petition, he's indicating that he feels the
15 project will cause a loss in baseflows of the
16 creek of .3 percent. And he appears to be
17 relying upon Dr. Michalski's testimony to make
18 that statement.

19 Can you explain why you feel that
20 that's an incorrect downward adjustment?

21 MR. TRADER: Sure. Let me start by
22 explaining, the .3 cfs reduction is equivalent

23 to 132 gallons per minute. That's the maximum
24 day demand for the Big Indian Plateau Resort.
25 That's where they get .3 cfs.

1 So what he's saying is there's going
2 to be a one-to-one loss in Birch Creek flow
3 due to groundwater pumping from the three
4 Rosenthal wells at 132 gpm.

5 MS. BAKNER: First, before you go
6 ahead, if it's helpful, where are the
7 Rosenthal wells in relation to the confluence
8 here?

9 MR. TRADER: They're downstream,
10 4000 feet.

11 MS. BAKNER: Do you want to point that
12 out?

13 MR. TRADER: Yes.

14 ALJ WISSLER: Can you identify, is
15 this from the DEIS or --

16 MS. BAKNER: This is something we
17 haven't produced yet, but we'll be introducing
18 it into the record. Steve, read off the
19 title, if you will.

20 MR. TRADER: Title is, "Recharge Areas
21 for Water Supplies in the Vicinity of the
22 Proposed Belleayre Resort."

23 ALJ WISSLER: We'll call it 148. It's
24 148, and it's a map of recharge areas.
25 (MAP OF RECHARGE AREAS FOR WATER

1 SUPPLY RECEIVED AND MARKED AS APPLICANT'S
2 EXHIBIT NO. 148, THIS DATE.)

3 MR. GERSTMAN: Is this different than
4 the prior map of recharge areas that was
5 introduced by Dr. Gowan?

6 MR. TRADER: It is different.

7 MS. BAKNER: Yes, it is different.

8 ALJ WISSELER: So we'll be copying this
9 and making it available?

10 MS. BAKNER: It's much broader, Marc.
11 Just for reference points, it shows the
12 recharge areas as they go off our site.
13 That's the difference between the two.

14 Where are the Rosenthal wells in
15 relation to the location of where they have
16 the confluence of Birch Creek and Crystal
17 Spring?

18 MR. TRADER: Crystal Spring Brook is
19 here, flowing north, taking a turn, but down
20 towards the southeast, it joins up with Birch
21 Creek, which is a southward flowing stream at
22 that point. It joins up right near the

23 village of Pine Hill. (Indicating)

24 MS. BAKNER: Where is the confluence

25 in relation to that, if you could just point

1 it out?

2 MR. TRADER: This is the confluence,
3 and the Rosenthal wells are here, which looks
4 to be about 4000 feet downstream.

5 (Indicating)

6 MS. BAKNER: Thank you.

7 Just to make sure I understand this,
8 Dr. Michalski is assuming that when we pump
9 water out of the Rosenthal wells, that that
10 water is going to be lost to the stream system
11 upstream, or downstream, which is it?

12 MR. TRADER: It's going to be lost to
13 Birch Creek.

14 MS. BAKNER: Okay. So that's the
15 assumption that's being made. Do you agree
16 with that assumption?

17 MR. TRADER: No, I do not.

18 MS. BAKNER: Can you tell us why you
19 disagree with that assumption?

20 MR. TRADER: Sure. First off, the
21 geology of Birch Creek Valley is very
22 important here. What you see when you go down

23 to the valley along Birch Creek, there's
24 typically a surficial layer of sand, gravel
25 and cobbles, and this is a variable thickness

1 anywhere from zero feet thick to maybe 20 feet
2 thick. This is up and down the Birch Creek
3 Valley from Pine Hill to the southeast.

4 This thin, gravelly cobbly layer is
5 what Birch Creek is flowing within. It's also
6 what the water table in the area, in the
7 valley is located in; it's situated in that
8 sand and gravel cobble layer.

9 This surficial deposit is underlain
10 by, directly, a very thick glaciolacustrine
11 clay deposit. We saw this on one of the field
12 trips. We saw it down by the Winding Mountain
13 Road Bridge. You could actually see the
14 layers in the clay exposed under the gravel in
15 the creek bed.

16 MR. RUZOW: That reddish color?

17 MR. TRADER: The reddish-brown color.
18 This is actually being eroded away at the Pine
19 Hill Wastewater Treatment Plant also. There
20 is a clay bank exposed there, and many times
21 during a storm event you can see the cloudy,
22 reddish-color water. And as you go upstream,

23 it stops at that point.

24 So the reason that is very important

25 is because that very thick clay deposit is --

1 effectively acts as a barrier to Birch Creek
2 flowing through that clay, and also from any
3 kind of bedrock water coming up through the
4 clay from the bottom.

5 So there is water in the clay, but
6 it's moving at such a slow rate, it's not
7 going to be effectively attained as a water
8 supply. You wouldn't want to put a well in
9 clay and try to get water out of it.

10 This sets up a condition in the valley
11 that had -- that displays confined hydrologic
12 conditions in the bedrock aquifer locally in
13 the valley. So that when we put our bedrock
14 wells in and we seal off the overburden, they
15 have the clay and the surficial gravels,
16 that's all sealed off. Our water is being
17 obtained from below, anywhere from 35 to
18 100 feet or so, approximately.

19 The bedrock water is not in direct
20 connection with Birch Creek because of this
21 thick layer of glaciolacustrine clay. There's
22 also a glacial till, which is very low

23 permeability also up and down the valley.

24 MR. GERSTMAN: Judge, I would object

25 to this line of offer of proof that's being

1 provided for the record at this point. The
2 subject of the day is aquatic habitat. We had
3 significant discussion on the issue of surface
4 and hydrogeology of the site. Communication
5 between -- the recharge, in fact, conceded by
6 the Applicant -- this entire discussion has
7 taken place when Dr. Michalski was here. We
8 had an opportunity to respond. They're now
9 resurfacing, if you will, those issues for
10 discussion in connection with the aquatic
11 habitat discussion.

12 We understand that Dr. Michalski's
13 offer provides the premise, much of the
14 support for what Dr. Parasiewicz said today,
15 but that doesn't mean that this opportunity
16 now is provided to the Applicant to reopen
17 these discussions.

18 ALJ WISSLER: Do you want to respond?

19 MS. BAKNER: Yes. Thank you, your
20 Honor. First of all, very little of what
21 Dr. Parasiewicz said today related in any
22 respect to our particular site or the

23 conditions on our site. His entire argument
24 regarding the change in baseflows and the
25 impact it will allegedly have, this brink of

1 disaster, is based upon Dr. Michalski's
2 erroneous conclusion that our pumping of water
3 from the bedrock wells are going to have an
4 affect on the surface waters and the baseflows
5 in the creek. So we need to explain why, in
6 fact, that we don't feel that's going to
7 happen. I mean, it's a house of cards he has
8 built. If there's no impact, if there's no
9 impact on our withdrawal of water from bedrock
10 upon the stream flows, then there's no reason
11 to discuss aquatic habitat because that's the
12 whole thing he's pinning his argument on.

13 That's why it's so important that we
14 point out to you that his hydrograph is
15 mistaken in two respects. It's mistaken in
16 that it artificially and without sufficient
17 basis takes off .3 cfs based on Dr.
18 Michalski's incorrect testimony. And it's
19 also not reflective of actual empirical
20 conditions, based on what Mr. Trader has
21 shared about their actual surface flow
22 monitoring.

23 We can leave it at this point. We
24 feel that we've put everything in the record
25 with respect to that, but we need to have the

1 ability to defend the product that we've done
2 and to show really that the academic exercise
3 in channelization and dams and all these
4 things that have nothing to do with our
5 project, you know, really don't provide any
6 probative value in this particular issue.

7 So we would like to go on just for a
8 second or two more on this issue and we can
9 move forward.

10 MR. GERSTMAN: It seems like
11 Ms. Bakner has supported my assertion that, in
12 fact, all they're doing is rehashing the
13 discussion that took place when Dr. Michalski
14 was here and was able to respond to some of
15 the contentions that were made.
16 Notwithstanding her characterizations,
17 Dr. Michalski's projection and evaluation was
18 based upon his scientific judgment --

19 ALJ WISSLER: Well, Dr. Michalski's
20 conjectures are -- do form part of the basis
21 of -- I'm not even going to try -- the good
22 doctor's argument today, though, wouldn't you

23 agree with that?

24 MR. GERSTMAN: I would say they were

25 more than conjecture, and yes, they would form

1 the basis --

2 ALJ WISSLER: Again, let's remember we
3 are at an Issues Conference. These are offers
4 of proof. I do think that what Applicant's
5 have offered is relevant and germane to our
6 discussion here today, so I'm going to allow
7 it. To the extent that you have made an
8 objection, that objection is overruled, but
9 your concern is noted for the record. Why
10 don't you go ahead.

11 MS. BAKNER: Thank you, your Honor.

12 MR. GERSTMAN: I would ask for the
13 right to have Dr. Michalski review the
14 testimony today to provide a response.

15 ALJ WISSLER: Whatever response, sure.

16 MR. GERSTMAN: Thank you, Judge.

17 MS. BAKNER: You were talking about
18 the confined nature of the aquifer. Of
19 course, this doesn't mean there's no recharge
20 into the system or anything?

21 MR. TRADER: It's locally confined and
22 mainly within the valley. And Birch Creek

23 itself is confined within the valley itself.
24 It's in Birch Creek valley. Let me back off
25 that.

1 The reasons that we see that this is
2 confined isn't just simply because I say
3 there's clay there. It's been encountered in
4 drilling logs in the valley. We did several
5 pumping tests, and we interpreted the data to
6 show that there's no water level changes that
7 were attributable to our pumping either -- no
8 water-level changes in Birch Creek, the nearby
9 wetland, nor did we see it in the water table.

10 Also, the fact that the water levels
11 that we saw in the bedrock wells, that we see
12 still today, versus the water table itself,
13 there's about a 15 foot difference. The water
14 table is 15 feet higher than the water levels
15 in the Rosenthal wells, which are not pumping.

16 If there was a direct connection
17 between these two, the water table and bedrock
18 wells and Birch Creek, we would expect to see
19 a much more similar water level in all these
20 measurements.

21 MS. BAKNER: When you pumped the well,
22 you also monitored the levels in the creek?

23 MR. TRADER: Yes. We didn't see any
24 water-level changes in Birch Creek or the
25 water table or in the well.

1 Also, there are two known flowing
2 artesian wells that are in the valley. One is
3 one of the residential wells we monitored,
4 which is further downstream from the Rosenthal
5 well field, it's a flowing artesian well.
6 There's about 100 feet of clay that was
7 drilled through, and it's a bedrock well. So
8 this indicates that the hydrostatic pressure
9 in the bedrock at that point is higher than it
10 is under the atmospheric conditions of the
11 water table.

12 There's another flowing artesian well
13 further down the Birch Creek valley down --
14 more closer to the Esopus Creek valley, to the
15 junction. It also had 100 feet of clay that
16 it penetrated before it made any water, and
17 it's a bedrock well and it's a flowing
18 artesian well.

19 One of the other signs of evidence
20 that shows that this aquifer acts as a locally
21 confined aquifer is something that was

1 that -- this is before we were doing any
2 pumping. We monitored it for a period of
3 days, the water levels, and we saw the effects
4 of what are known as earth tides. This is
5 similar to what you see in the ocean tides,
6 which are based on the moon. You see high
7 tide and a low tide.

8 Earth tide is simply -- it's the
9 reaction to the combination of the gravity
10 pull of the sun, earth, moon system. The
11 earth actually has a tide, if you will, that
12 goes around -- we don't see it every day, but
13 what it manifests itself is in a confined
14 situation where you have fractured bedrock.

15 So it's basically squeezing these
16 fractures and then slightly letting them up;
17 squeezing the water up and then the water
18 comes back down as the earth tide goes by.

19 These have been reported before in
20 other places, and they occur in confined
21 conditions. They have been reported to occur
22 in an unconfined situation, but that's

23 something like they were occurring in granite.

24 And it was a very low permeability, and we

25 certainly don't have low permeability, as

1 evidenced by our results of our pumping tests,
2 which we're pumping 149 gallons per minute.

3 So those are the lines of evidence
4 that we have actually seen in the field, and
5 tested and measured that shows that this is a
6 confined situation at this aquifer, and that
7 there is no connection with Birch Creek.

8 MS. BAKNER: Most particularly, you
9 have the empirical evidence from two years of
10 surface flow monitoring, as shown in Table 1A,
11 which shows what, relative to the hydrograph?
12 It shows more water?

13 MR. TRADER: The nut of this is that
14 the relationship between Birch Creek at the
15 confluence and Birch Creek at the Big Indian
16 gauge is not what Dr. Parasiewicz's model had
17 predicted. He's predicting -- based on the
18 comparison, it would be 57 percent of the
19 flow. In fact, over our two-year study
20 period, it averaged 78 percent.

21 MR. RUZOW: Including a time of
22 drought?

23 MR. TRADER: Including a time of
24 drought, yes. During the time of drought, it
25 was probably -- I think it was between 71 and

1 75 percent of the flow further down the
2 stream.

3 MS. BAKNER: Thank you very much,
4 Steve.

5 MR. TRADER: One other little thing on
6 that. The effect of this on the chart where
7 he has reduced the flows by .3 cfs, well, that
8 was all predicated on the flows at the
9 confluence being 57 percent of what they are
10 downstream, and then taking .3 cfs off.

11 Well, our flow study shows that it's
12 not that ratio. It's actually about 78
13 percent on average. So the flows would be
14 higher. Then we're also saying that you
15 shouldn't be taking the .3 cfs off --

16 ALJ WISSELER: How did you derive the
17 78 percent?

18 MR. TRADER: That's looking at the
19 flows we measured at the confluence of Crystal
20 Spring Brook and Birch Creek. We measured
21 flows in Birch Creek just down from the
22 confluence. Taking that flow and comparing it

23 to the flow that was measured by the USGS at
24 their gauging station.

25 ALJ WISSLER: That's taking Table 1A

1 data and comparing it to the USGS?

2 MR. TRADER: Yes.

3 ALJ WISSLER: And where is that USGA
4 data?

5 MR. TRADER: Has it been submitted?

6 MS. BAKNER: We'll find out where that
7 is, and if it's not in the DEIS, we'll submit
8 it.

9 MR. TRADER: That's where the
10 78 percent comes from. So the effect of that
11 is you're not going to be down to that
12 30 percent Tennant threshold as often as that
13 one figure would indicate.

14 MS. BAKNER: Kevin, there was a lot of
15 discussion about a number of things that we're
16 doing that would cause changes in baseflow,
17 and I just want to run through those briefly.

18 It is true that we are increasing
19 impervious area on the site?

20 MR. FRANKE: Correct.

21 MS. BAKNER: The ratio of impervious
22 area that we're increasing to the overall

23 site, what is that, roughly?

24 MR. FRANKE: For the project site, I

25 think approximately four percent impervious

1 area.

2 MS. BAKNER: So for the entire project
3 site, only four percent of it is going to be
4 impervious area?

5 MR. FRANKE: Correct.

6 MS. BAKNER: As I recall, one of the
7 ways we limited impervious area was by putting
8 parking lots under buildings?

9 MR. FRANKE: We have parking under the
10 Big Indian Hotel, we also have a multi-level
11 parking garage at Wildacres, as well as
12 parking at the Wildacres Hotel. Parking
13 otherwise would have been surface parking
14 lots, now it's underneath the building.

15 MS. BAKNER: So if one were to look
16 for a sea of asphalt here, one wouldn't find
17 it?

18 MR. FRANKE: No, one wouldn't.

19 ALJ WISSLER: The four percent for Big
20 Indian is --

21 MR. FRANKE: It's for the entire
22 project site, your Honor. If you total up all

23 the impervious areas between Wildacres and Big
24 Indian compared to the total project site.
25 ALJ WISSLER: Includes access roads?

1 MR. FRANKE: All the access roads,
2 yes.

3 MS. BAKNER: Buildings, roof tops?

4 MR. TRADER: Correct.

5 MR. RUZOW: Including the Big Indian
6 country club and spa building, which we have
7 not taken credit for it being a vegetated roof
8 as opposed to --

9 ALJ WISSLER: That's four percent
10 of --?

11 MR. FRANKE: 1260, I believe is the
12 total acreage.

13 MR. RUZOW: That's Big Indian.

14 ALJ WISSLER: Four percent of 1900 --
15 almost 2000 acres is what you're saying? That
16 is not four percent of what is proposed to be
17 actually developed?

18 MR. FRANKE: Correct. What is being
19 proposed to be developed -- it's on a table if
20 you would like, I believe we're up somewhere
21 around 12 percent.

22 MS. BAKNER: One of the comments that

23 we heard here today was that we were
24 fragmenting and filling wetlands on the site,
25 and I would like you to point out where in the

1 EIS we cover what impacts we're actually going
2 to have. I believe we have that tagged.

3 MR. FRANKE: In the EIS, Tables 3-25,
4 Wetlands Table Eastern Property; 3-26,
5 Wetlands Table Western Property; and 3-26A,
6 Projected Impacts to Wetlands of the Belleayre
7 Resort Site. In here we document the amount
8 of impacts to isolated and nonisolated
9 wetlands.

10 MS. BAKNER: We don't need to go over
11 the numbers, I'm sure his Honor can read them
12 himself from the DEIS, but in terms of the
13 overall size of the site -- looking at the
14 quantity to be filled here, as I understand
15 it, the impacts to regulated wetlands are less
16 than -- they're less than a tenth of an acre.
17 And otherwise, impacts relative to clearing
18 and filling are roughly two, two and a half
19 acres, more or less?

20 MR. FRANKE: Right. The clearing,
21 which is just simply removal of the woody
22 vegetation, the trees from the wetland -- we

23 talked about the golf holes playing over some
24 of these drainages -- is approximately two and
25 a half acres. And the numerous and scattered

1 isolated wetland fills is about an acre and a
2 half.

3 MS. BAKNER: As an aquatic biologist,
4 would you have the opinion that these minor
5 impacts to wetlands would have any impact on
6 the baseflows of the streams?

7 MR. FRANKE: No, because none of the
8 fills that are proposed are going to really
9 totally interrupt the hydrology or the
10 discharge from these discharge wetlands. Most
11 notably, there's the area by the Wildacres
12 Hotel where those wetlands would be affected,
13 the water is currently flowing and would
14 continue to be piped underneath the golf
15 course fairway, so it continues to be flowing
16 in the direction and the quantities that it's
17 flowing today.

18 MS. BAKNER: And I believe we're also
19 lining our stormwater ponds in that location
20 so we can be sure we don't have an effect on
21 the springs or the wetlands that are adjacent
22 to those?

23 MR. FRANKE: That's correct, and we'll
24 see more of that tomorrow when we talk about
25 stormwater.

1 MS. BAKNER: So for this limited and
2 very tiny amount of filling in relation to
3 1,970 acres, you wouldn't anticipate any kind
4 of appreciable impact on the surface waters
5 surrounding the site?

6 MR. FRANKE: No.

7 MS. BAKNER: Ron, could you share with
8 us your opinion with respect to that?

9 MR. ALEVRAS: Yes. Just let me let
10 the Judge know where we are -- LMS's role in
11 this. We were asked by the attorneys for
12 Crossroads to take a look at the Draft EIS and
13 specifically, areas of technical concern. And
14 my area specifically was to look at the
15 effects on streams and aquatic life
16 populations.

17 I reviewed the Draft EIS, various
18 relevant sections, description of the project,
19 the ways in which the project was designed to
20 minimize impact. I've reviewed the aquatic
21 resource information provided in there, as
22 well as doing a reconnaissance walkover of

1 except in the minor locations identified by
2 Kevin, where there's any direct effects on
3 surface water. The project has avoided those
4 almost completely, so that there's no direct
5 effects on changes in the streams and the
6 headwaters of the streams that are feeding the
7 streams lower down on the slopes.

8 The stormwater provisions that are
9 provided here are going to go a long way to
10 preventing changes in flows in the
11 intermittent streams that occur off of the
12 site, and that will minimize any effects that
13 could occur to the permanent flowing streams
14 down below.

15 As part of the review that I did, I
16 looked at the fishery data that's available
17 and the aquatic life data that's available for
18 this area of the streams. The streams
19 provide, as has been identified, good habitat,
20 good spawning habitat for trout, particularly
21 Birch Creek. Substantial reproduction occurs
22 there. And that occurs despite significant

23 permitting changes that have occurred to the
24 watershed all through the Route 28 corridor
25 that goes through Pine Hill and the project

1 area.

2 It indicates to me that the stream has
3 adjusted to and has recovered from the various
4 changes that have occurred over time as
5 physical structures, roads, buildings and so
6 forth were put into the watershed.

7 The relationship between the resort
8 project, the existing resources and the
9 existing impacts that occur to those
10 resources, makes the resort a very minor
11 influence and potential influence on the
12 stream resources, the physical nature and the
13 flows in the streams, therefore, likely to
14 have very little impact on the aquatic
15 resources that are using those streams.

16 MS. BAKNER: In terms of the
17 suggestion this morning that we really need to
18 do an extensive academic study, what is your
19 opinion of the electro-shocking and the other
20 data in the DEIS relative to the fish and the
21 habitat quality? Do you think it does a good
22 job of describing the habitat?

23 MR. ALEVRAS: Yes. The habitat
24 quality is clear from the fishery data. The
25 numbers and the distribution of the trout in

1 the stream are impressive. There's a
2 substantial trout resource present. I suspect
3 that that resource is important for the Esopus
4 Creek downstream of Birch Creek. It's
5 probably an important spawning area for the
6 trout resources that occur farther down and
7 are an important fishery resource for the
8 public.

9 The quality of the habitat is good,
10 the walkover that I did indicated to me, even
11 in those areas where there's been significant
12 physical modification to the stream,
13 particularly the stream is relocated around
14 Pine Hill Lake, and basically, the whole
15 stream course was rebuilt.

16 In the village of Pine Hill, there's
17 numerous areas where there's direct runoff of
18 the roads. There's sections where the stream
19 is confined between stone walls that were
20 built some time ago. Despite those changes,
21 the physical resource is still there and the
22 fish are responding appropriately and

23 continuing to reproduce in that area.

24 The characterization of the creek as

25 somehow on the brink of disaster is way

1 overstated. There's no indication that that
2 has occurred. In fact, the stream has shown
3 extraordinary resilience in the face of a lot
4 of direct impacts. The fact that this project
5 is going to have only very minor indirect
6 impacts, to suggest that that increment would
7 push it over the brink, I think is way
8 overstated.

9 MS. BAKNER: The value of the stream
10 habitat was described by Dr. Parasiewicz as
11 uncommon, not pristine, but uncommon. Could
12 you give us your opinion on that?

13 MR. ALEVRAS: Yes. I take issue with
14 that characterization. He was speaking
15 specifically about the upper portion of Birch
16 Creek upstream of Pine Hill Village, that's
17 essentially upstream of Route 28.

18 I walked over that area, I took a look
19 at it. I would characterize it as a stream
20 that to the layman looks very good and would
21 be characterized as natural in appearance.

22 However, that stream had serious impacts to
23 it. There's a road that parallels it very
24 closely, in fact, so closely that there are
25 places where you can step off the blacktop

1 into the creek. There's no intervening
2 vegetation whatsoever, and there's eroding
3 banks along the edge of the creek. This road
4 extends all the way to near the headwaters,
5 and there's a pond at the headwaters that's
6 being used as a handicapped fishing area. But

7 that pond is slowing the water down and
8 probably warming it up to some extent.

9 There's former agriculture at the
10 headwaters and cleared land up there. Along
11 the stream channel, there's a number of areas
12 where the land is cleared; in one case, a
13 large acreage of grass where the creek has
14 been channelized and goes to the middle of the

15 creek. And near Route 28 on Academy Street,
16 there's a bridge being replaced right now.
17 That bridge -- that work area is not being
18 adequately protected, and there's erosion
19 occurring at that location.

20 I would not characterize this as a
21 place that is uncommon in terms of its quality

22 of habitat. I think it's a very common
23 condition to see a stream treated this way.
24 It is perhaps uncommon to see it that far up
25 in the headwaters of the stream, but the kind

1 changes that have occurred there, and are
2 continuing to occur, are not at all uncommon.

3 If you simply survey a map of the
4 Catskills and look at all of the hollows and
5 the small tributaries that do not have roads
6 up their valleys, I would suggest that
7 virtually every one of those have higher
8 quality and better habitat than the upper
9 reaches of Birch Creek.

10 MS. BAKNER: In terms of the proposed
11 project, Ron, and the steps we have taken to
12 limit direct and indirect impacts to the
13 stream, is there anything else, is there any
14 other mitigating measure that you would have
15 recommended?

16 MR. ALEVRAS: I would say no. I would
17 think this has been a very thorough look at
18 the potential effects, and clearly the project
19 has been designed around the existing
20 resources, not just the aquatic resources.
21 But because you're at the headwaters and
22 you're at the place in the stream channel

23 where you might say there's such a close
24 relationship between the watershed and the
25 stream itself, that -- it's the place in the

1 watershed where it takes a lot of care to make
2 sure you don't damage the resource. And this
3 has clearly been the case, leaving 800 feet
4 between the nearest land clearing and
5 disturbance to the nearest stream course, for
6 example, I would characterize it as an
7 extraordinary amount of space to protect a
8 headwater stream.

9 Rarely is that done, and because it
10 hasn't been done is why so many streams are in
11 bad shape. And I think this is an example of
12 somebody who's going to take care of a
13 resource.

14 ALJ WISSLER: Kevin, I think you said
15 it was 800-foot; right?

16 MR. FRANKE: Yes.

17 ALJ WISSLER: What is the elevation of
18 that -- when you're measuring that 800 feet,
19 is that coming down the hill?

20 MR. FRANKE: It was measured on a flat
21 piece of paper, so a linear distance.

22 ALJ WISSLER: Linear distance, you

1 area, whatever it is, down to the stream,
2 there's an elevation change; is there not?

3 MR. FRANKE: Sure.

4 ALJ WISSLER: About how much is that
5 would you guess?

6 MS. BAKNER: It would be different at
7 different locations.

8 MR. FRANKE: Mr. Frisenda estimated 6-
9 to 800 feet in elevation.

10 MS. BAKNER: Your Honor, that's at Big
11 Indian and not Wildacres.

12 ALJ WISSLER: Yes, because we're
13 talking about Birch Creek.

14 MR. FRANKE: About 1900 is where the
15 employee parking lot is, that's the lowest
16 point.

17 MR. RUZOW: That's elevation?

18 MR. FRANKE: Correct. And the
19 elevation of Birch Creek directly below is
20 approximately 1320. The linear distance -- I
21 misspoke -- the linear distance to the creek
22 itself is approximately 1300 feet from the

23 employee parking lot down the hill to Birch

24 Creek.

25 ALJ WISSLER: That's going down the

1 slope of the hill; right?

2 MR. FRANKE: Correct.

3 MR. RUZOW: Can you give us a sense of
4 the scale of the employee parking lot in terms
5 of its size?

6 MR. FRANKE: The employee parking lot
7 is actually two lots --

8 ALJ WISSLER: Who's good at trig?

9 MR. TRADER: 1400 feet up the slope.

10 ALJ WISSLER: 1400 feet in slope and
11 800 feet on one leg of the triangle.

12 MR. FRANKE: In terms of the nearest
13 golf hole is approximately 2200 feet.

14 MR. RUZOW: For the record, we're
15 looking at the drawing sheet MP-4, Master Plan
16 4.

17 ALJ WISSLER: Which is already in
18 evidence as Office of Hearings --

19 MR. RUZOW: Right, it's part of the
20 application, the LA Group plans' set.

21 MS. BAKNER: Your Honor, does that

22 answer your question?

23 ALJ WISSLER: It does.

24 MS. BAKNER: The other suggestion, and

25 I'm frankly not sure who would be better to

1 answer this, there was a suggestion that our
2 effluent point into Birch Creek could somehow
3 serve as a thermal barrier to -- I think it
4 was fish migration -- as a thermal barrier,
5 yes, that was the issue. So is there any
6 evidence that would suggest that?

7 MR. FRANKE: No, I think we have got
8 empirical evidence to the contrary. We have
9 got the Big Indian Pine Hill DEP Wastewater
10 Treatment Plant discharging into the vicinity.
11 And the temperature data that Al Frisenda
12 collected indicates there's no significant
13 changes. The temperature of the stream is
14 very localized.

15 MS. BAKNER: You're referring to
16 Applicant's Exhibit 147?

17 MR. FRANKE: It's not just that data,
18 there is other data in the EIS that point to
19 that.

20 MR. TRADER: The effluent from the
21 treatment plant is typically about four to six
22 degrees warmer than Rose Mountain Creek, which

23 is the direct tributary to Birch Creek.

24 MS. BAKNER: And Kevin, also, I'm

25 sorry, I want to refer to --

1 MR. FRANKE: Let me just back up a
2 second.

3 MS. BAKNER: Sure.

4 MR. FRANKE: Related to that, in terms
5 of any thermal loading during the warmer
6 months, the warmer months will be the dryer
7 months where we will need that effluent for
8 irrigation. So there will be certainly less
9 frequent discharges to Birch Creek during the
10 warmer months. But a lot of that water is
11 going to be pumped to the irrigation ponds and
12 filtered through the ground before it reaches
13 Birch Creek as baseflow.

14 MR. ALEVRAS: One more point is that
15 the likely time that fish would be migrating
16 in the creek -- and this would be almost
17 probably exclusively trout, they would be
18 migrating upstream to spawn -- that is going
19 to occur in the fall of the year when the base
20 temperature is substantially less than the
21 peak temperature that's shown on the graph of
22 the temperature monitoring that was done just

23 below the treatment plant. All those factors
24 taken together, I suggest there's very little,
25 virtually no chance that it's going to block

1 the migration of fish in the creek.

2 MS. BAKNER: I'm referring to
3 Applicant's Exhibit 136; this also addresses
4 the temperature issue, I believe, Kevin?

5 MR. FRANKE: Right. This reiterates
6 what I just stated but gives specific data as
7 to actual temperatures at various locations
8 along Birch Creek in relation to the Pine Hill
9 Wastewater Treatment Plant.

10 MS. BAKNER: So that's the table on
11 page 2 entitled, "Post-Spawning Stream
12 Temperatures"?

13 MR. FRANKE: Correct.

14 MR. GERSTMAN: Could you repeat that?

15 MS. BAKNER: Exhibit 136, page 2, look
16 at the table in the middle of the page. It
17 goes through the temperatures, November,
18 December, January, February and March.

19 MR. FRANKE: The concern here wasn't
20 so much for a thermal barrier, but any
21 potential impacts on egg development within
22 Birch Creek.

23 MS. BAKNER: And your conclusion
24 regarding that is?
25 MR. FRANKE: It's not going to have

1 any significant impact on the viability of
2 eggs or egg hatching time.

3 MS. BAKNER: There was another
4 allegation early on that we would have some
5 indirect impact relative to increasing heavy
6 metals in the stream. And that's addressed on
7 page 3 of Exhibit 136. If you could just go
8 over that quickly.

9 MR. FRANKE: The simple answer to that
10 is that we've designed a stormwater management
11 system that serves all our impervious surfaces
12 and has been designed in accordance with the
13 New York State Stormwater Design Manual, which
14 has, as part of its criteria, removal of
15 metals from stormwater, among other things,
16 such as nutrients and solids, metals are also
17 taken into account.

18 MS. BAKNER: They use the removal of
19 sediments as sort of a surrogate for metals
20 and other things; is that correct?

21 MR. FRANKE: Yes.

22 MS. BAKNER: Is there anything else

23 you want to point out in Exhibit 136 to the

24 Judge?

25 MR. FRANKE: No, the only thing I'm

1 just piggybacking on the stormwater. The
2 method that we're proposing to use, these
3 micropool extended detention ponds actually
4 have the highest ranking for metal removal
5 among all the practices listed in the
6 Stormwater Design Manual.

7 MS. BAKNER: What does that practice
8 do for us in terms of temperature?

9 MR. FRANKE: Temperature, it's also
10 one of the practices that is recommended in a
11 cold-water fisheries area, as opposed to other
12 practices which could have greater thermal
13 impacts. This is one of the practices to
14 choose from in the selection matrix in the
15 manual when you're in the area of cold-water
16 fisheries.

17 MS. BAKNER: So are you satisfied as a
18 biologist that we've done everything we can to
19 protect the aquatic habitat?

20 MR. FRANKE: I feel comfortable, yes.

21 MS. BAKNER: And that was relative to
22 stormwater.

23 There was a suggestion that somehow
24 compaction, either compaction on the ski
25 slopes or compaction of the golf course, would

1 have some impact on infiltration and
2 baseflows. Do you find that allegation
3 credible?

4 MR. FRANKE: Particularly not for ski
5 slopes, since there's no ski slopes associated
6 with our project. As far as the golf course
7 goes, their golf course maintenance is going
8 to involve steps that we're able to take to
9 relieve compaction in order to enhance the
10 ability to grow the grass, various physical
11 methods of working the soils such as pulling
12 soil cores out, slicing, things like that are
13 routinely performed to relieve compaction on
14 golf courses.

15 MS. BAKNER: I think that's everything
16 that we needed to cover. I would just invite
17 you, Ron and Kevin, if you have anything more
18 you would like to say relative to Dr.
19 Parasiewicz's testimony.

20 MR. ALEVRAS: Well, I found that the
21 testimony lacked the detail that was needed to

22 evaluate a specific project. I've seen this
23 time and again on development projects where
24 there's concerns over various levels of impact
25 and those concerns are based on general

1 information about what occurs to streams and
2 aquatic resource populations in those streams.

3 But I would have to look at the
4 details of what the project is going to do,
5 its relationship, how it's affecting the
6 watershed. And those specifics are where the
7 issues need to be addressed, not in the
8 general concerns regarding someone's desire to
9 have more trout or more fish in the stream. I
10 hope that this project -- as the review of
11 this project goes forward, the specifics are
12 what are dealt with and not the generalities.

13 MS. BAKNER: What I would like to move
14 forward to now, just briefly, is the use that
15 we're proposing to make of Chitosan, which has
16 been -- an issue has been raised related to
17 the toxicity of Chitosan to aquatic species,
18 most notably trout.

19 So the first thing I would like Kevin
20 to do briefly is just refresh your Honor's
21 recollection as to how we're using the
22 Chitosan, and the somewhat limited use that

23 we're making of it during construction. So if

24 you could do that, Kevin.

25 MR. FRANKE: Right. We discussed

1 during the construction phasing presentation
2 earlier, we need to do something to treat the
3 collected stormwater in order to settle out
4 all the fine clay materials.

5 What we propose to do is treat this
6 with a chemical liquid flocculent, the active
7 ingredient, Chitosan, also known by the trade
8 name of Liqui-Floc. The material will be
9 sprayed into the basin, the basin will be
10 allowed to settle out, and then the water,
11 once it's cleared, will be pumped out of the
12 basins through these long dispersion pipes
13 that will be in wooded areas, pumped out, and
14 the water is dispersed over the hillside.

15 The product itself is a natural
16 product derived from seafood shells. It has
17 many different formulations, but the one we're
18 proposing to use is the chemical, Chitosan
19 acetate.

20 ALJ WISSLER: Kevin, the plans that
21 have been submitted, they show the placement
22 of those outfalls?

23 MR. FRANKE: Yes, your Honor,
24 Applicant's Exhibit 44. If you recall, the
25 earlier version we had out there did not show

1 those, but we supplemented the record the
2 following day with Applicant's 44 which does
3 show the locations of those dispersion pipes.

4 ALJ WISSLER: It's already in the
5 record; right?

6 MS. BAKNER: Yes.

7 MR. FRANKE: This is for Phase II of
8 Big Indian, if you recall, which was 10 of the
9 golf holes. We have got 22 basins that will
10 be capturing stormwater, designed to capture
11 and hold six inches worth of runoff.

12 Of those 22, 17 we're able to pump to
13 the irrigation ponds. So they'll be no
14 overland dispersion. We'll take that water,
15 empty our ponds, put it in there for a later
16 date for when we need to irrigate the sod.

17 MS. BAKNER: So you said there were 17
18 out of the 22 will get pumped to the
19 irrigation ponds?

20 MR. FRANKE: Correct.

21 MS. BAKNER: That leaves how many that

22 get into the dispersion pipes -- since I can't
23 add and we've demonstrated that before?

24 MR. FRANKE: That would be five.

25 ALJ WISSELER: Is any of it located in

1 the 100 acres of sod?

2 MR. FRANKE: Actually, it will be
3 below the 100 acres of sod.

4 The EIS, specifically Appendix 9 goes
5 into great detail to explain how the discharge
6 rates will be --

7 ALJ WISSLER: Where is Birch Creek?

8 MR. FRANKE: Down here. And here is
9 the employee parking lot we talked about is
10 roughly over here. (Indicating)

11 ALJ WISSLER: So you have a level
12 spreader along here?

13 MS. BAKNER: Dispersion pipe.

14 MR. FRANKE: Dispersion pipe is the
15 term we prefer to use.

16 ALJ WISSLER: Basically, a perforated
17 pipe?

18 MR. FRANKE: Correct, yes.

19 MS. BAKNER: Is that the closest
20 perforated pipe to Birch Creek?

21 MR. FRANKE: Yes, it is. They're
22 equally distant.

23 ALJ WISSLER: Kevin, is this the
24 scale? In other words, there will a pipe that
25 will run -- if you were to scale this hill --

1 MR. FRANKE: Right, the addendum to
2 Appendix 9.

3 MS. BAKNER: Okay. So the ponds that
4 we're focused here on are the five ponds that
5 we're going to dose with Chitosan in order to
6 enhance sedimentation. Do you typically use
7 flocculents in your stormwater management
8 plans?

9 MR. FRANKE: Typically, no.

10 MS. BAKNER: Would you describe this
11 as an enhanced stormwater control measure?

12 MR. FRANKE: Yes, it certainly is.
13 The other thing is you just let the course of
14 sediment settle out and pump out the water
15 with your fine silt suspension.

16 MS. BAKNER: So you actually searched
17 quite a while until you found something that
18 you felt presented the least amount of risk.
19 What are the other things that are available?

20 MR. FRANKE: Aluminum sulfite or alum
21 is commonly used as a flocculent to
22 precipitate things out. Early discussions

23 with the Department, the Division of Water
24 folks, they didn't want us to even think about
25 using that. There's another --

1 MR. RUZOW: The reason for that would
2 be --

3 MR. FRANKE: It wasn't very clear at
4 the time. I believe it had something to do
5 with the metals loading from the aluminum
6 portion of it.

7 The other group of chemicals are
8 commonly known as PAMs or polyacrylamides.
9 State of California lists some polyacrylamides
10 on their list of potential cancer-causing
11 agents. So we thought it wise to stay away
12 from that group altogether being in the
13 watershed.

14 MS. BAKNER: What is one of the --
15 kind of odd things you found out about
16 Chitosan when you were going through this
17 research? I mean, odd in the sense of
18 unusual? Is it also used in human medicine?

19 MR. FRANKE: It has many uses, one of
20 the uses being in human medicine, actually
21 used as a coagulant on bandages.

22 MS. BAKNER: So there's no question

23 that it's not toxic to humans?

24 MR. FRANKE: Everything is toxic to

25 humans in certain doses.

1 MS. BAKNER: Bad question.

2 MR. FRANKE: So at the correct doses,
3 no, it's not toxic.

4 MS. BAKNER: Thank you. So our goal
5 was an enhanced treatment, we've described the
6 method of using it. How do we know it's going
7 to work? What testing did you do?

8 MR. FRANKE: The EIS contains a figure
9 -- we sent dirt from the site to the lab out
10 in Washington and they ran jar tests on our
11 soil, dosing it with various amounts of the
12 product -- with our soils in suspension in
13 water, and basically got 95 to 90 percent
14 removal within an hour after dosing it with
15 the same dose that we would use in the field.
16 It's Appendix --

17 MR. GREENE: Section 3.

18 MS. BAKNER: Page 3-32, Figure 3-150
19 -- 15Q. 3-15Q.

20 MR. FRANKE: That's the results of the
21 jar tests.

22 MS. BAKNER: The purpose of that test
23 had nothing to do with toxicity, it had only
24 to do to see whether it would actually assist
25 in getting the suspended colloidal clay out of

1 the water?

2 MR. FRANKE: The crew that worked on
3 our soil, and unfortunately in followup
4 conversations with the Department, it probably
5 would have been very helpful to have tested
6 the water after it was done to actually test
7 our toxicity to prove that the chemical was
8 safe. Unfortunately, we didn't have the
9 forethought to do that, so we're relying on
10 other data to prove that.

11 MS. BAKNER: What is the toxicity
12 issue as you understand it?

13 MR. FRANKE: There was a study done by
14 -- I'll just use the author's first name --
15 referred to as the Bullock Study. The way
16 they tested it, it was pretty toxic. We're
17 talking in the range of .075 milligrams per
18 liter.

19 MS. BAKNER: Can you describe the test
20 or describe what they did?

21 MR. FRANKE: It was basically a
22 constant dosing test of different

23 concentrations. It didn't really follow any
24 standard EPA method. They were using it in
25 their laboratory, their Freshwater Institute,

1 if you will. They were using it in their
2 laboratory actually for beneficial purposes,
3 and one day they killed a bunch of fish and
4 they didn't know why, so they subjected a
5 number of trout to different concentrations of
6 Chitosan and found that it did have some
7 negative effects.

8 MS. BAKNER: So the way they were
9 using it is not how we're proposing to use it?

10 MR. FRANKE: No, not at all. There
11 was a second study that looked at possibly
12 using Chitosan to kill zebra mussels, which is
13 what I refer to as a Waller study,
14 W-A-L-L-E-R. They used commercial products of
15 Chitosan, different from what we're proposing
16 to use, and a check of their website shows
17 that the products aren't available anymore, so
18 I wasn't able to find out what the actual
19 formulation was.

20 These were -- toxicity was also
21 somewhat higher in this second study. Then
22 again, we didn't know what the formulation

23 was. We have three sets of toxicity tests
24 done on the product we are proposing to use,
25 done in accordance with EPA methods, and the

1 LC-50 value, which is the concentration that's
2 lethal to 50 percent of the trout, is just a
3 little over one milligram per liter.

4 MS. BAKNER: And Kevin's referring now
5 to Applicant's Exhibit 137; and what
6 Applicant's Exhibit 137 is, is correspondence
7 between Mr. Franke and Mr. MacPherson who is
8 the chemist with the -- why don't you describe
9 it then. What is the exhibit number?

10 MR. FRANKE: I don't have it on my
11 copy.

12 MS. BAKNER: The one entitled,
13 "Chitosan Liqui-Floc Synopsis."

14 MR. FRANKE: Applicant's 142. This is
15 really just a distillation of a lot of the
16 other Applicant's exhibits related to Chitosan
17 that were submitted.

18 I already talked about the toxicology
19 under Item 1. We talked about the rate at
20 which you spray this into the ponds as listed
21 in the second, which is approximately one-half

22 to two milligrams per liter. We talked about
23 how effective this was in settling out our
24 soils. That reduces your concentrations in
25 the ponds about 95 percent, because once it

1 binds to the soil particles and settles them
2 out, it's out of solution.

3 So we get down to a discharge
4 concentration of anywhere from 0.02 to
5 0.1 milligrams per liter. It's about 11 to 55
6 times lower than the LC-50 value that was
7 determined by EPA methods.

8 MS. BAKNER: So it's the point at
9 which it leaves our ponds, and comparing it to
10 the values at which it becomes toxic to trout,
11 were an order of magnitude less?

12 MR. FRANKE: Yes.

13 MS. BAKNER: And was there some
14 confusion over the formulation of the product?

15 MR. FRANKE: Yes, this was a good
16 point brought up by the folks in the
17 Department who were having discussions with me
18 on this issue. There was some -- it was not
19 clear at one point whether the toxicology was
20 reported based on the product or the active
21 ingredient, but we have since resolved that
22 with clarification from the manufacturer and

23 distributor.

24 MS. BAKNER: For the uninitiated,

25 what's the distinction between the product and

1 the active ingredient?

2 MR. FRANKE: Well, it depends on how
3 you report it. Liqui-Floc is a one percent
4 solution. So they tested it, reported it at a
5 value of 111 milligrams per liter. So that's
6 your product toxicity.

7 The active ingredient, the one percent
8 active ingredient solution is one percent of
9 your LC-50 for the product. So in this case
10 it was 1.1 milligrams per liter for the active
11 ingredient.

12 MS. BAKNER: Is that issue covered in
13 the letter from John MacPherson?

14 MR. FRANKE: Yes, that is in
15 Applicant's 137. There is a table on the
16 second page of 137 clarifying that issue.

17 MS. BAKNER: Your Honor, do you have
18 any questions about that, the product versus
19 the --

20 ALJ WISSELER: No.

21 MS. BAKNER: So that gave us
22 information regarding the toxicity. Now, if

23 we want to confirm that the material is
24 nontoxic as we're using it, how would one go
25 about doing that?

1 MR. FRANKE: The distributor has
2 developed a field testing methodology. It
3 isn't the most precise, it's basically a
4 presence or absence test. It can be done in
5 the field fairly simply with uncomplicated
6 equipment. It basically tells you, do you
7 have at least .1 milligram per liter of
8 Chitosan in your water that you're going to be
9 spraying out. So it's either a yes or no.
10 Are you .1 or higher, or are you less than
11 that.

12 MS. BAKNER: That would be unbound
13 Chitosan floating in the water?

14 MR. FRANKE: Still in solution.

15 MS. BAKNER: It wouldn't have bound
16 with the sediment, it would still be in the
17 water in the pond. And you mean before you
18 discharge it to the dispersion pipes?

19 MR. FRANKE: Right, before we actually
20 pump to the pipe, you can kick on the pipes,
21 you can grab a sample and do this field test
22 to determine kind of a presence or absence at

23 that point.

24 And the level of detection, if you

25 will, that .1 milligram per liter presence or

1 absence, that happens to be the same value
2 that was determined in toxicity tests using
3 EPA methods.

4 ALJ WISSLER: So what happens if that
5 grab sample that you take shows you're over
6 the limit; what, do you wait until it settles
7 some more?

8 MR. FRANKE: Yes.

9 ALJ WISSLER: It will settle some
10 more?

11 MR. FRANKE: Yep. As you recall, your
12 Honor, the pumping system that we had is also
13 going to be monitoring the turbidity of the
14 water. So we'll have the opportunity, through
15 swishing and hosing -- if we're not meeting
16 our turbidity requirements at discharge, it
17 just recirculates it back into the pond. Our
18 setup will allow us to pump that, sample it,
19 and if it's not pumping out, it doesn't clean
20 the water, it just goes right back to the
21 pond. It doesn't get discharged.

22 MS. BAKNER: I know they tell you in

23 law school to not ask the question if you
24 don't know the answer. But suppose your
25 Chitosan -- the testing method shows greater

1 than .1 percent is present or whatever it
2 is --

3 MR. FRANKE: Yes.

4 MS. BAKNER: -- what are you
5 physically going to do to get that lower?

6 MR. FRANKE: I think by
7 recirculating -- there's still going to be
8 some suspended solids in the water, it's not
9 going to be 100 percent crystal clear water
10 like this -- there's still going to be some in
11 there. And I think by recirculating that,
12 you're going to have that Chitosan re-exposed
13 to the material that's still suspended in the
14 water, allowing it to do --

15 ALJ WISSLER: To do it's flocculent
16 thing?

17 MR. FRANKE: Basically, yes, you're
18 re-spraying your basin. You're taking the
19 water out and spraying it back on top. But it
20 binds by -- Chitosan settles through the
21 water. And you're reintroducing it on top of
22 the water.

23 MS. BAKNER: So worst-case scenario,
24 you would introduce dirty water to the pond if
25 you had to?

1 MR. FRANKE: If you have to, but then
2 you'd have to, in your balancing act between
3 adding the dirt --

4 ALJ WISSLER: Then you might have to
5 add more Chitosan.

6 MR. FRANKE: -- that mechanism exists.

7 MS. BAKNER: Okay. Is there anything
8 else -- are you satisfied, based on all the
9 information that you have read regarding this
10 product and your communications with the
11 chemist whose resume is included in here
12 and -- for the record, John MacPherson -- are
13 you comfortable with the use of this material?

14 MR. FRANKE: I'm comfortable with it.
15 I wish we had a little bit better testing
16 methodology, and I think we'll hear this from
17 the Department as well, but I think the level
18 of safety that we have got is documented in
19 147.

20 Our ability to test it, the presence
21 or absence at that .1 milligram per liter,

22 that's the same concentration that was
23 determined in the laboratory to have no
24 effect -- not the lethal concentration of
25 50 percent, but what they call the no-effect

1 concentration, meaning that 100 percent of the
2 fish that were exposed survived that
3 concentration.

4 MR. RUZOW: Your discharge, however,
5 is not to the creek itself?

6 MR. FRANKE: There will be no direct
7 surface water discharges. We saw for Phase II
8 of Big Indian, we're going to have a thousand
9 feet or so between our discharge pipe and the
10 stream. And there's another factor that comes
11 into play once you're discharging, if this
12 stuff binds to dirt, you're discharging into
13 the forest floor which is --

14 MR. RUZOW: But the Department asked
15 us not to rely on whatever benefit that might
16 provide?

17 MR. FRANKE: No.

18 MR. RUZOW: So when we discharge it,
19 they have asked us to meet a certain level, in
20 terms of the nontoxicity of the point of
21 discharge, not to rely on it. And we're not
22 relying on that, correct?

23 MR. FRANKE: Correct. The measurement
24 is prior to discharge and not taking any
25 credit for any uptake that would occur as the

1 water flows over land after discharging it.

2 MS. BAKNER: Anything else you want to
3 say about Chitosan or anything else in
4 response to Dr. Parasiewicz?

5 MR. FRANKE: No.

6 MS. BAKNER: For the record, I just
7 want to say, we saw a lot of things today from
8 Dr. Parasiewicz that was never before in the
9 record -- some which were, and a lot which
10 wasn't. So we need to reserve so that if we
11 see anything, we can supplement the record.

12 And as far as Chitosan, I don't know
13 if CPC doesn't have an expert in that area.
14 Marc, are you planning on presenting any
15 proffer on that beyond what's in the petition?

16 MR. GERSTMAN: I'll reserve the right
17 to take a look at what you submitted today and
18 respond appropriately based upon our review.
19 Thank you.

20 MS. BAKNER: It's all yours then.

21 MR. ALTIERI: Could we take ten, your

22 Honor, and I think we'll still be done by
23 five-ish.

24 MR. GERSTMAN: Actually, we will want
25 to respond, so we may end up having to go

1 later.

2 ALJ WISSLER: Let's take five minutes.

3 (4:23 - 4:39 P.M. - BRIEF RECESS

4 TAKEN.)

5 MR. ALTIERI: First, regarding
6 Chitosan, I would like to introduce Ed Kuzia,
7 Bill Mirabile and Shayne Mitchell.

8 Could you please state and spell your
9 names for the record and give your position
10 with the DEC.

11 MR. KUZIA: Ed Kuzia, K-U-Z-I-A, I
12 head up the toxicity testing unit for the
13 Division of Water, and I am responsible for
14 doing both toxicity tests on a statewide basis
15 and evaluating ambient waters and some
16 discharges. And I also review, and a person
17 directly under my supervision, review all the
18 toxicity testing that's done under all the
19 SPEDES permits. I also was responsible, again
20 with somebody who is working directly below
21 me, for developing the guidance document for

22 how toxicity testing is put into permits in
23 New York State waters.

24 ALJ WISSLER: Ed, you're out of
25 Albany?

1 MR. KUZIA: I'm out of Albany. I also
2 work out of the Hale Creek lab in Gloversville
3 where we do all our toxicity tests.

4 MR. ALTIERI: I believe Bill and
5 Shayne have already given their backgrounds on
6 the record.

7 Ed, do you have a certain concern with
8 regard to the use of Chitosan for the project?

9 MR. KUZIA: Well, the first concern
10 is, I think, has to be determined by the
11 Applicant, and that is whether or not this
12 Chitosan-treated water is going to reach the
13 surface water. Overground discharge is a
14 concern with respect to, we don't really know
15 whether or not this stuff is even going to get
16 to surface waters.

17 MR. ALTIERI: This is as to the Big
18 Indian and Wildacres, wherever it's used?

19 MR. KUZIA: Whichever. Wildacres was
20 mentioned as an overland discharge, and I
21 guess Big Indian, we're not quite sure yet. I
22 assume that's going to be overland too at this

23 point -- did I reverse them? I'm sorry.

24 If the Chitosan is going to reach the

25 surface waters, we have some concerns. I went

1 through the data, and I agree that the Bullock
2 method was not standard EPA techniques. The
3 Waller method that was already mentioned where
4 they were using Chitosan as a potential for
5 zebra mussel control, was done by EPA
6 techniques, although they were old techniques
7 according to the reference procedure. And the
8 Waller technique did, in fact, develop an
9 LC-50 value of .38 milligrams per liter, 380
10 parts per billion.

11 Using an EPA Part 132 Great Lakes
12 Guidance, which we also used in the previous
13 development of pesticide limits, because of
14 the variability in the data that I saw, I used
15 the safest application factor. And I came up
16 with a Chitosan limit -- 17 parts per billion,
17 we'll round it off to 20 parts per billion.
18 And the problem with this is that there's no
19 acceptable chemical technique for quantifying
20 Chitosan at that concentration.

21 What I would recommend to the
22 Applicant, again, prefacing it if the material

23 is going to reach surface waters, if it cannot
24 be measured in terms of a chemical limitation
25 in terms of what the -- whether or not it's

1 going to exceed this 20 part per billion
2 concentration, would be to set up some tests
3 either -- I would recommend that they test the
4 Chitosan-treated water themselves using
5 rainbow trout, using a 48-hour acute toxicity
6 test, because rainbow trout were the most
7 sensitive organism that was reported in the
8 literature that I reviewed. That data could
9 be submitted to the Department, and if it's
10 not toxic to the rainbow trout, then we could
11 approve a discharge.

12 The Bullock paper, which I want to
13 address, does show some potential for
14 significant toxicity. And there was some
15 -- at continuous dosages, there's a difference
16 in the testing procedures. So I want to
17 explain that a little bit.

18 When we do a test, you can do a static
19 test, static renewal test or flow-through
20 test. A static test, for 48 hours, you would
21 take one sample, put the Chitosan in, and it
22 would then -- then you would put the fish in

23 or whatever test organism you need, and you
24 would do nothing to that sample for 48 hours
25 except count the dead fish and remove them.

1 In a static renewal test --

2 MR. ALTIERI: Is this first test
3 what's called the EPA test?

4 MR. KUZIA: These are all EPA tests.
5 These are just theme and variation of the
6 test.

7 The static renewal test, usually it's
8 a daily renewal. So at the end of 20 -- you'd
9 set up your solutions, say zero, put the
10 organisms in, and at 24 hours you would
11 transfer the organisms to a fresh solution of
12 toxicants.

13 In the flow-through test, there's a
14 constant renewal of the chemical by pumping
15 fresh chemical in and the old solution out,
16 and that ensures that you don't lose -- you
17 don't lower the concentration of the Chitosan.

18 That was the problem that was brought
19 up with the Bullock test, that the Chitosan
20 apparently is lost. They didn't do a real
21 chemical analysis of their system, but when
22 they were looking at their recharge solutions,

23 they took the material and they dried the
24 water and then weighed what was left, and they
25 found out they lost 25 percent of the Chitosan

1 somewhere in the test procedure. This is my
2 concern with any of these aquatic toxicity
3 tests that use what are known as nominal
4 concentrations, which are concentrations where
5 the material is just added to the solution by
6 weight. You weigh it out, put it in, and you
7 don't do any chemistry. All these tests don't
8 have any hard analytical chemistry to identify
9 the concentration of Chitosan they're actually
10 exposed to. This is why I'm concerned about
11 any test data that's submitted with the
12 nominal concentration. And this is why I put
13 in this safety factor or direct testing of the
14 discharge, I think as a recommendation for a
15 requirement.

16 If the Applicant chooses to come up
17 with or can come up with an analytical method
18 that gets down to the levels I recommend,
19 that's fine, or the alternative toxicity
20 testing procedure is fine also prior to the
21 discharge of the material.

22 MR. ALTIERI: We can put these
23 requirements in the special condition?

24 MR. KUZIA: In a special condition,
25 similar to what we do for regular SPEDES

1 permittees that have a discharge requirement
2 for toxicity testing.

3 MR. ALTIERI: Mr. Mitchell, do you
4 have something to add?

5 MR. MITCHELL: The only thing I would
6 add is that, you know, certainly the
7 Applicant's could also choose to propose an
8 alternative water treatment chemical that
9 would achieve what they need to do at this
10 site, and, you know, would be less toxic, if
11 they don't want to go through these various
12 testings of the organisms.

13 ALJ WISSLER: But the concern of both
14 of you is founded on the premise that this
15 stuff reaches surface water?

16 MR. KUZIA: Absolutely.

17 MR. MITCHELL: Yes.

18 MR. KUZIA: These are based on surface
19 water organisms.

20 ALJ WISSLER: Do you have some model
21 permit language that you would propose?

22 MR. ALTIERI: Mr. Mirabile could speak

23 to that.

24 ALJ WISSLER: That's Bill's

25 department?

1 MR. MIRABILE: I would like to just
2 clarify one thing, and then we'll get into the
3 possible permit.

4 What Mr. Kuzia's referring to,
5 magnitudes of like 20 parts per billion, 30
6 parts per billion, and the Applicant's
7 referring to about 750 parts per billion
8 -- I'm sorry, 75 parts per billion, what
9 Mr. Kuzia did -- the Applicant was referring,
10 I believe, correct me if I'm wrong, directly
11 to LC-50 data, toxicity data. And what
12 Mr. Kuzia did, as he mentioned, we did the
13 same thing with pesticides numbers, he applied
14 a safety factor. So the Applicant's numbers
15 are straight toxicity test numbers, whereas
16 Mr. Kuzia's levels are -- basically those
17 numbers after applying a safety factor, which
18 is what we do.

19 ALJ WISSELER: There's a toxicity level
20 and the safety factor is lower yet?

21 MR. KUZIA: Yes.

22 MR. MIRABILE: It lowers it because of

23 the uncertainty --

24 ALJ WISSLER: By a percentage or what?

25 MR. KUZIA: In this case, it was a

1 factor of 21.9.

2 MR. MIRABILE: Because there's only
3 one species.

4 MR. KUZIA: There's a real problem
5 here with the variability in the data. They
6 used rainbow trout. In the material that was
7 submitted by the Applicant, the LC-50s for the
8 rainbows were 1.1 milligram per liter after we
9 figured out what the active ingredient
10 concentration was.

11 In the Waller paper, which was the
12 zebra mussel control material, the LC-50 was
13 .38 milligrams per liter, so we're talking
14 about a three- or fourfold difference.

15 ALJ WISSLER: The LC-50 is what?

16 MR. KUZIA: In this case, the LC-50
17 was the concentration of material it takes to
18 kill 50 percent of the organisms in a 48-hour
19 period. That's a standard end point that's
20 used for acute toxicity and comparable.

21 The Bullock paper was used to -- they
22 were after -- using Chitosan as a culture

23 enhancement, I guess, to pull out metals that
24 were suspended solids or whatever from tanks
25 that they were actually culturing rainbow

1 trout in, and they found they killed some
2 trout, as I believe was already testified to,
3 and they decided to do a study on it. And
4 they were trying to find a no-effect end
5 point. And even though there was no LC-50
6 calculated from their data, the LC-50 from
7 that data that I calculated using a standard
8 EPA analytical program was .13 milligrams per
9 liter with very wide confidence intervals, and
10 that's why I didn't use it.

11 But we have a broad range of toxicity
12 for the same species in this situation, and I
13 don't know what it's due to, and there's a
14 limited amount of data out there. So I chose
15 to use the most conservative safety factor
16 that is in the guidance that we used before.

17 ALJ WISSLER: Which is 380 parts per
18 billion?

19 MR. KUZIA: 121.9th of 380 parts per
20 billion or 20 -- comes out to 17 and change,
21 or 20 parts per billion would be the number.
22 The problem is the detection limit on the

23 colorimetric technique that they used is .1 or
24 100 parts per billion. And consequently, that
25 method isn't a good analytical technique, and

23 determine --?

24 ALJ WISSLER: To determine whether or

25 not it's reaching surface water. How are you

1 going to decide, or are you going to decide
2 that's as part of this grab sample they take
3 at the top of the hill before the stuff ever
4 goes into the dispersion system, or whatever
5 you call it; are you telling them that they
6 have to use this 20 parts per billion number
7 before they even put it through the
8 distribution system? Is that what we're
9 saying?

10 MR. KUZIA: No, it shouldn't exceed
11 that 20 part per billion in any receiving
12 water it hits.

13 ALJ WISSLER: Are you going to monitor
14 the receiving water to see if it ever gets
15 there, and then they'll be some permit
16 conditions at that point?

17 MR. MIRABILE: I don't know if that
18 step is necessary. Again, the number that
19 Mr. Kuzia's reflecting here is basically if
20 it's a surface water discharge. If it's not a
21 surface water discharge, if it's to overland
22 flow, who knows what the concentration is

23 going to be by the time it eventually reaches
24 the stream, if it reaches it at all. We don't
25 know.

1 So if it reaches the surface water,
2 then Mr. Kuzia's number would be applicable.
3 As far as the actual mechanism where the test
4 or the procedure for determining whether or
5 not the Chitosan-treated stormwater reaches
6 the surface water, I think that's something we
7 have to sit down and take a harder look at how
8 we want to consider that. Whatever the result
9 of that consideration is, we can write a limit
10 in the permit which reflects what we want. If
11 it doesn't reach the surface water, the
12 stormwater that is, then it's not a surface
13 water discharge, essentially, and the number
14 wouldn't apply. If it does reach the surface
15 water, then the number would apply. We would
16 also --

17 ALJ WISSLER: I understand what you're
18 saying, but I need to get -- you're putting
19 water into a system, you're sending it through
20 some kind of -- what's the name?

21 MS. BAKNER: Dispersion pipe.

22 ALJ WISSLER: Thank you. You're

23 sending it through a dispersion pipe. Is it
24 just going to be physical observation? You
25 set up some kind of protocol where we observe

1 every time we put water through the pipe, we
2 see where it goes, and if it starts coming
3 down the mountain and carving rivulets and
4 getting into the stream, then we become
5 worried or what?

6 MR. MIRABILE: I think that has to be
7 worked out. I don't think we have enough
8 information. The Applicant said they will
9 pump the ponds through the dispersion pipes to
10 overland flow. I think it's a matter of --

11 ALJ WISSLER: Seeing where that
12 overland flow is going?

13 MR. MIRABILE: -- sitting down and
14 looking at the slope and the contour lines and
15 the flow direction of the overland flow and
16 kind of making a professional judgment.

17 MR. ALTIERI: We're looking for
18 testing to occur in the ponds before it is
19 discharged; correct?

20 MR. KUZIA: Yeah. Well, the other
21 thing is --

22 MR. ALTIERI: That's where we want to

23 establish the control?

24 MR. KUZIA: If the material is tested

25 in the ponds and it's not toxic, then it

1 doesn't matter.

2 MS. BAKNER: Then it doesn't matter.

3 ALJ WISSLER: But that doesn't -- I'm
4 confused. Let's say that the only protocol
5 that exists is what Kevin said, there will be
6 a grab sample taken before the stuff gets put
7 into the dispersion system.

8 What number should that be in the
9 Department's view? Should that be, whatever,
10 the 1.3, or should it be 20 parts per billion?
11 Do you know what I'm saying?

12 Should it not go into the dispersion
13 system until it is at a level where if you
14 dumped it straight in the stream it wouldn't
15 hurt the fish? You know what I'm saying?

16 MR. KUZIA: Given the uncertainty --
17 I'm not a modeler as far as runoff goes and
18 that stuff.

19 ALJ WISSLER: Let's say it goes
20 straight.

21 MR. KUZIA: Given the uncertainty, I
22 would say we'll stick with the 20 parts per

23 billion. But the problem is --

24 ALJ WISSLER: At the pond before we

25 put it in the dispersion --

1 MR. KUZIA: At the pond before we put
2 it in the dispersion system. But the problem
3 is that's not measurable.

4 MR. ALTIERI: That's why we want the
5 testing.

6 ALJ WISSLER: Not measurable by the
7 technique that Kevin has suggested but by some
8 little field test tube or shaking it up, or
9 not detectable because a lab doesn't have the
10 technical --

11 MR. KUZIA: We haven't seen any
12 analytical techniques for Chitosan that go
13 down to that concentration.

14 ALJ WISSLER: How far down do they go,
15 to your knowledge?

16 MR. KUZIA: As far as I know, the only
17 thing I've seen is the .1 part per million
18 concentration. And I'm not a chemist, by the
19 way, I'm a toxicologist. And these numbers
20 that are arrived at by the toxicology, as I
21 stated, are arrived at by weighing material

22 out, making delusions of it and calculating
23 the concentrations of material in the exposure
24 of vessels.

25 ALJ WISSLER: So if the best we can do

1 is one part per million, we're talking about
2 something that is one thousand times bigger
3 than -- one part per million is one thousand
4 times bigger than one part per billion?

5 MR. KUZIA: Yeah. Or the alternative
6 is to toxicity test the discharge, or the
7 potential discharge, with rainbow trout, and
8 if it's not toxic, it can be discharged.
9 That's my recommendation. There isn't a
10 chemical technique, so I would recommend
11 testing the discharge prior to release using
12 rainbow trout. If it's not toxic, they can
13 release it.

14 ALJ WISSLER: How would you do that?

15 MR. KUZIA: Using standard EPA
16 methods. Static renewal.

17 MS. BAKNER: If I can just ask this
18 question: Would that be a one-time test, or
19 would that be each time you want to discharge
20 water from the pond?

21 MR. KUZIA: You're only going to put
22 Chitosan in it once; correct?

23 MR. RUZOW: No, these are active

24 stormwater construction ponds.

25 MS. BAKNER: This is why we went over

1 -- Kevin, go get that plan and let's do
2 this --

3 MR. KUZIA: I think what we could
4 do --

5 ALJ WISSLER: You know what, this is
6 the discussion you indicated you needed to
7 have about crafting some kind of language. I
8 don't know that we need to do this today right
9 now. Why don't we just move on.

10 MR. ALTIERI: Your Honor, I would like
11 to introduce Mr. Isaacs and Mr. Flaherty to
12 speak about aquatic habitat.

13 Could you state your names for the
14 record and describe your current position with
15 the DEC, and then Mr. Flaherty, follow with
16 the same.

17 MR. ISAACS: My name is Jack Isaacs,
18 I-S-A-A-C-S. I'm the Habitat Manager for the
19 DEC Region 3. I have been in that position
20 for, in one form or another, for the last 25
21 years.

22 Among my duties are the review of

23 projects that impact the aquatic environment
24 under Article 15 of the Environmental
25 Conservation Law, the Stream Protection Act,

(AQUATIC HABITAT ISSUE)

4441

1 as well as other projects that perhaps could
2 impact the aquatic environment. My area
3 includes Ulster County and the Catskills. I
4 also supervise the Freshwater Wetlands Program
5 in relation to it.

6 MR. FLAHERTY: My name is Mike
7 Flaherty, F-L-A-H-E-R-T-Y. I got my
8 Bachelor's Degree in 1987 from Ripon College,
9 Wisconsin.

10 From 1987 to 1990, I was at Michigan
11 State University where I got a Master's
12 Degree, Master of Science in Fish and Wildlife
13 Biology Management. And since 1990, I've been
14 with the Department of Environmental
15 Conservation with the Bureau of Fisheries, and
16 as a senior aquatic biologist. And my area
17 has been Ulster County, primarily as fish
18 management oriented type of position.

19 MR. ALTIERI: Both of you reviewed the
20 CPC's position and reviewed the aquatic
21 habitat issues related to this project. And
22 you have heard Dr. Parasiewicz's statements

23 today regarding aquatic habitat?

24 MR. FLAHERTY: Yes.

25 MR. ALTIERI: Dr. Parasiewicz's

1 presentation, I guess, included sort of a good
2 background, or a lengthy background, but then
3 at the end it came to a certain concern.

4 Mr. Isaacs, do you have a certain
5 concern as a general matter as it relates to
6 what was presented by Dr. Parasiewicz?

7 MR. ISAACS: The final conclusion
8 regarding the potential impacts should
9 withdrawal of water occur from the Birch Creek
10 system is of concern, and it is a valid
11 concern. Should that system suffer the loss
12 of groundwater, the impacts could be quite
13 devastating, if the loss was of the magnitude
14 that was brought about as a potential by
15 Dr. Parasiewicz.

16 MR. ALTIERI: Mr. Flaherty, do you
17 have a concern in this regard?

18 MR. FLAHERTY: No, I think that is
19 exactly the point. If water is lost in that
20 system at all, whether it's surface water or
21 groundwater, it could be potentially harmful
22 to the fishery. But I think further, the

23 groundwater is even more important.

24 MR. ALTIERI: How does that relate to

25 the discussion --

1 ALJ WISSLER: It would be harmful to
2 the fishery because it would reduce the flow
3 in Birch Creek?

4 MR. FLAHERTY: Right, and any of the
5 tributaries potentially. And I think that as
6 the good doctor explained, the levels are
7 really low at times, and that it's at those
8 times, I think, when it has the greatest
9 impact on the fishery, either through floods
10 or drought conditions. And if this in any way
11 is going to make those problems worse, then it
12 can have a greater impact. That's my main
13 concern.

14 I guess it's being argued now by
15 others outside my area of expertise whether
16 that groundwater is really going to be
17 impacted or surface water is going to be
18 impacted. But if there are --

19 ALJ WISSLER: Hydrogeologic
20 connections?

21 MR. FLAHERTY: Yes, then I think it
22 could be an issue, and maybe modeling will be

23 in order to try to assess how much of an
24 impact the stream would have on it, given the
25 certain amount being removed.

1 But I really think that the
2 groundwater is of particular concern,
3 primarily because it's during those drought
4 conditions, that that may be the only thing
5 that's coming into the stream because surface
6 waters may be all dried up.

7 MR. ALTIERI: There was some
8 discussion about 51 percent, 78 percent?

9 MR. FLAHERTY: Right. The interesting
10 thing about that is, I believe the way I
11 understood it, a back calculation was made
12 from the gauge, Birch Creek down in Big
13 Indian, to what it would be up at the
14 confluence of Crystal Spring Brook. And I
15 think your measured results, the Applicant's
16 measured results, showed a higher flow in the
17 stream than what would have been predicted
18 based on watershed area, which would indicate
19 to me that groundwater may be the additional
20 volume that they are measuring. It doesn't

21 seem to be explained by the surface area of
22 surface flow of water, that it would be
23 actually groundwater.

24 And I believe that most of these
25 Catskill streams that have really good trout

1 populations, it's that groundwater that really
2 has helped to moderate the temperatures in the
3 summertime and in the winter -- and flows to a
4 great extent.

5 So I think it just points, and maybe
6 drives home, that this system is really
7 dependent on groundwater, and that withdrawals
8 from the groundwater that may get to the
9 stream, in some way or another, may have a
10 greater impact than what they might in some
11 other systems.

12 MR. ALTIERI: Having said that,
13 neither of these experts are hydrologists and
14 our hydrologists were in the water supply
15 issue within the context of this hearing, so
16 Staff will just reserve the right to have the
17 water supply people provide a written comment
18 or analysis as hydrology may affect this
19 particular issue in the streams.

20 We heard some reference to September
21 withdrawals of water by the ski center.

22 Mr. Flaherty, would you like to address that.

23 MR. FLAHERTY: It just so happens I
24 spoke to Mr. Lanza from the ski center on sort
25 of a separate issue with regard to additives

1 that may be put into water for snowmaking
2 purposes, because someone from the public had
3 called and had a concern about that. So I
4 asked him that question. And he said that the
5 only reason that they would put additives in
6 would be if they were going to try to make
7 snow earlier in the year. And that they don't
8 do that, that they wait until it's cold enough
9 so that they can start making snow, and that
10 their diversions don't start until later in
11 the fall when they really need that water.

12 So I'm not sure where this idea of
13 water being diverted for snowmaking purposes
14 to their ponds up on the mountain in September
15 came from, but I think before that statement
16 becomes a part of the record and as fact, that
17 that should maybe be clarified if it becomes
18 an important issue.

19 MR. ALTIERI: Mr. Isaacs, there was
20 some discussion regarding intermittent
21 streams, perennial streams, did you want to
22 elaborate on that?

23 MR. ISAACS: There was some discussion
24 as to the impacts of water withdrawal on
25 intermittent streams or the headwaters of the

1 perennial streams where they become
2 intermittent.

3 I will agree with whomever made the
4 point, I'm not sure who that was, that
5 intermittent streams do support wild trout.
6 They are habitat for trout spawning. Many
7 streams in the Catskills do go dry and become
8 intermittent in their headwaters. That's not

9 an unusual condition. And the withdrawal of
10 significant amounts of groundwater can
11 exacerbate the intermittent condition, and
12 also make the intermittent section of the
13 stream larger, thereby impacting a number of
14 factors: Trout spawning, aquatic biota,
15 benthic organism production, all of which form
16 the basis of the aquatic biomass of the

17 system.

18 MR. ALTIERI: I guess we heard
19 differing characterizations of Birch Creek.
20 What is your characterization?

21 MR. ISAACS: It's in the middle of

22 what he said and what he said. Birch Creek is
23 a very healthy system. It's not uncommon in
24 the Catskills, it's not on the brink of
25 disaster, nor is it unimpacted. It has a very

1 healthy, vibrant wild trout population. It
2 has wild brook trout in its headwaters, which
3 is very typical of Catskill systems.

4 The wild brown trout and rainbow trout
5 become more prevalent as we go downstream in
6 the watershed. That is not untypical. It's
7 very, very typical. They enjoy a competitive
8 advantage over brook trout, as well as they
9 are more temperature tolerant. So in that
10 regard, Birch Creek is not unusual, but it
11 -- although it suffers some impacts at the
12 hands of man, the situation is certainly not
13 dire.

14 MR. ALTIERI: Any further questions,
15 your Honor?

16 ALJ WISSLER: Real quick. If at the
17 end of the day, groundwater withdrawals do
18 effect the flow in Birch Creek, take it below
19 the Tennant threshold and so forth, what kind
20 of steps can be taken to mitigate that?

21 MR. ISAACS: Very little, quite
22 honestly. There was some mention of habitat

23 manipulation as mitigation for the lack of
24 water. I have not ever seen that to be an
25 adequate mitigation. Adding water to a

(AQUATIC HABITAT ISSUE)

4449

1 debilitated system doesn't always help it. So
2 just adding water to a system that has
3 marginal habitat or habitat that has been
4 degraded does not overcome the lack of
5 habitat.

6 By the same token, removal of water
7 from a stream that has good habitat is
8 disastrous, and there's not much you can do to
9 manipulate the habitat to make up for the lack
10 of good, cold water.

11 MR. FLAHERTY: That's well said. I
12 don't have anything to add to that.

13 ALJ WISSLER: Mike, what is your
14 position with the Department?

15 MR. FLAHERTY: I'm a senior aquatic
16 biologist.

17 MR. ALTIERI: With that, your Honor,
18 that would conclude aquatic habitat, although
19 Mr. Mirabile would like to make a closing
20 comment regarding Chitosan.

21 ALJ WISSLER: He's got a permit
22 condition worked out already?

23 MR. MIRABILE: First, my apologies for
24 the confusion before. It's actually quite
25 simple. Mr. Kuzia's analysis, quite in-depth,

1 thorough analysis was under the premise that
2 the Chitosan-treated stormwaters would reach
3 surface water.

4 If that's not going to be the case,
5 it's not an issue. I believe the Applicant
6 stated that all of the Chitosan-treated
7 stormwater will be discharged to overland flow
8 and basically not reach any surface water. If
9 that's the case -- if they can demonstrate
10 that to us, it's not an issue. If it cannot
11 be demonstrated to our satisfaction, then we
12 can write a condition in the permit which puts
13 controls on potential stormwater,
14 Chitosan-treated stormwaters that would be
15 surface waters. And there we would plug in
16 some numbers that we can all be happy with.

17 And Mr. Kuzia was talking about the
18 problem with the analytical detectabilities
19 not being able to go low enough. That can be
20 addressed through testing empirically arrived
21 at, numbers can be determined.

22 But I don't think we have to really

23 get into that right now. We can write a
24 permit condition which addresses the Chitosan
25 issue, if they reach surface water, but that

1 may not even be necessary if the Applicant can
2 demonstrate that --

3 ALJ WISSLER: Wouldn't the overland
4 flow provide enough of a buffer that some
5 Chitosan might --

6 MR. MIRABILE: Does it provide a
7 buffer?

8 ALJ WISSLER: Does it provide a buffer
9 or enough of a buffer that it would filter
10 some of that remaining Chitosan out?

11 MR. MIRABILE: That is something we
12 have to use our professional judgment on. I
13 know overland flow is what we call alternative
14 technology with municipal wastewater
15 treatment. They have fairly well-established
16 numbers, the distance and the type of
17 vegetation and so forth, required to achieve
18 certain percentage of removals. That's not
19 the case here with Chitosan.

20 So we would have to use our judgment
21 on that. One thing we can say for certain.
22 If Chitosan, in the level of 30, 50, 70 parts

23 billion is discharged to a forested area and
24 it's a substantial distance from a stream, we
25 certainly can't apply stream standards because

1 it's not a surface water discharge. So that's
2 where our judgment has to kick in and we would
3 have to take a harder look at it, and I can't
4 give you a better answer than that.

5 ALJ WISSLER: I'm not asking you to.

6 MR. ALTIERI: That's it for Staff.

7 MR. GERSTMAN: Your Honor, let me pick
8 up on the Chitosan issue. And from what I
9 have heard, from a lay perspective, it seems
10 at this point there are no answers to the
11 questions that have been raised about Chitosan
12 toxicity. There will be discharges over land.
13 It hasn't been established whether they will
14 or will not reach surface water. We do not
15 know what kind of attenuation will occur as a
16 result of the overland discharge. We don't
17 know -- I don't know, and I'll ask our
18 toxicologist whether or not this would persist
19 in the environment. We don't know under what
20 conditions or worst-case possible scenarios
21 where this can be applied.

22 We don't know whether there would be

23 intermittent streams which would intercept
24 these overland discharges or wetlands in those
25 areas. We don't know enough about this except

1 that it's toxic, and that the parties seem to
2 agree that that is the case.

3 That being the case, there being no
4 permit condition which adequately mitigates
5 against that, we believe that we have
6 adequately established a substantive and
7 significant issue for adjudication.

8 I would like to proceed now with a
9 response from Dr. Parasiewicz.

10 Dr. Parasiewicz, you heard the
11 evaluation by Crossroads' consultants
12 concerning the stream flow measurements at the
13 USGS station at Big Indian versus the stream
14 flow measurements that were done at the -- I
15 guess, the confluence?

16 DR. PARASIEWICZ: Of Birch Creek with
17 Crystal Spring Brook.

18 MR. GERSTMAN: Could you comment on
19 the issue of the 57 versus 78 percent?

20 DR. PARASIEWICZ: I would like to
21 comment just by checking the Table 2.1. I
22 made a quick calculation of the numbers.

23 MR. GERSTMAN: I think it's --

24 MS. BAKNER: Table 1A.

25 MR. GERSTMAN: Table 1A.

1 DR. PARASIEWICZ: And quickly run the
2 numbers that were -- the measurements that
3 have been done at the USGS gauge versus
4 location at the confluence, the Birch Creek at
5 the confluence. And in June 2001, the
6 measured ratio was 89 percent. In June 2002,
7 the measured ratio was 48 percent. August
8 2001, 89 percent again. And 2002, 71 percent.
9 October 2001, 118 percent. So we had more
10 water upstream than downstream measured. And
11 65 percent in 2002.

12 I am not trying -- what I am trying to
13 point here out is that the flow measurements
14 in natural streams are sometimes very
15 imprecise. And I did develop instruments
16 myself, and I was working many years with
17 different types of flow meters.

18 The way it is stated here in the
19 methods, the measurements have been done using
20 propeller type of flow meter, which is used as
21 the standard technique. And is used by USGS.
22 However, still very inaccurate. Or in some

23 streams, in some situations, might be very
24 inaccurate. The reason for that is it
25 measures only one point in the entire

1 vertical. The way the measurement is being
2 done, you have a cross section, you lay out
3 the cross section and measure velocities every
4 specific distance.

5 ALJ WISSLER: At a specific depth?

6 DR. PARASIEWICZ: At the specific
7 depth. What is usually happening -- there's a
8 standard formula to this, and I couldn't find
9 here how it has been done here. But a
10 standard formula is used by USGS, is that
11 there's one point at 60 percent of depth that
12 is being measured and being entered into the
13 formula or assumed mean velocity.

14 The problem with this, and I've seen
15 it many times, this formula assumes specific
16 distribution of velocities in the stream that
17 it's faster at the top, slower at the bottom.
18 And that's true in rectangular or trapezoidal
19 channel. It is frequently not true in natural
20 stream where you can have a boulder right
21 behind or before the cross section that might
22 create a velocity distribution that might be

23 very fast at the bottom and very slow at the

24 top.

25 And I have seen it from many

1 measurements. So the argument now, if we talk
2 about 57 or 78 percent, is irrelevant. We
3 still have shown that at a USGS location, even
4 today, we are frequently going on the
5 30 percent threshold of Tennant. And this
6 means the habitat is impacted, fisheries is
7 impacted. Even today to some extent.

8 The matter of the fact is if there
9 will be any loss of water in the system, we
10 can have this much more frequently and much
11 more often, and this will happen. So it
12 basically does not really matter.

13 But it does matter with regard to
14 that, the precision of measurements. And
15 that's one of the points and the things that
16 disturbed me is just one measurement every
17 month. And it's great that they are
18 concurrent measurements, one day upstream and
19 downstream. But it's not sufficient.

20 ALJ WISSLER: What should it be -- for
21 each of those days, how many measurements
22 should have been taken?

23 DR. PARASIEWICZ: I would make -- take
24 much more measurements than once a month. If
25 we really have the surface water-groundwater

1 interactions, the amount of water upstream and
2 the amount of water downstream strongly
3 depends on the meteorological history.

4 If you are in a very wet season, you
5 might have very strong contribution of
6 groundwater or subsurface water to the stream.
7 So as you go downstream, you might have really
8 more water. At other times in the times of
9 drought, you might be losing water.

10 ALJ WISSLER: Or if measurements were
11 taken immediately following a precipitation
12 event or something like that?

13 DR. PARASIEWICZ: That's right. So
14 it's important to know what kind of event,
15 hydrological event this measurement has been
16 taken.

17 ALJ WISSLER: Is there a USGS or some
18 other protocol that's out there that tells you
19 what you ought to do when taking measurements
20 like this?

21 DR. PARASIEWICZ: It varies from study

22 to study. The USGS protocol is very precise
23 with regard to gauging.

24 ALJ WISSELER: I mean, is there kind of
25 a standard protocol that everybody follows or

1 should follow?

2 DR. PARASIEWICZ: Not really, because
3 it's a difficult measurement. It's really
4 very difficult measurement. And specifically
5 at the low end of flows, the inaccuracy might
6 be very high. Whenever you calculate the
7 discharge, you have to take into account the
8 roughness of the river.

9 If you have so much water in the river
10 and there is a boulder of this size, it
11 matters a lot. If you have so much water,
12 this boulder does not matter. (Indicating)

13 So when you do the discharge
14 measurements at this level, it will obviously
15 be much less accurate. And there are many,
16 many different issues. (Indicating)

17 ALJ WISSLER: And there are also
18 meteorological concerns?

19 DR. PARASIEWICZ: Right. So we would
20 need to -- in this kind of situation, we
21 definitely need a measurement during the low
22 flow periods. And I would even suggest better

23 techniques -- there are better techniques
24 for -- dilution techniques that are much
25 better for this type of stream.

1 MR. GERSTMAN: Can you describe that?

2 DR. PARASIEWICZ: Yes. You basically
3 release salt into the water and you measure
4 the concentration of the salt down the stream.
5 And the timing of dilution is giving you that
6 very precise measurement of how much flow is
7 in the river at this time.

8 MR. GERSTMAN: In a project such as
9 this where the potential impacts, as we heard
10 from Dr. Michalski and from your offer of
11 proof today, would be devastating on a very
12 important fishery, would you recommend that
13 kind of analysis be done?

14 DR. PARASIEWICZ: I think we
15 definitely need more detailed analysis of
16 flows, flow patterns, interaction -- surface
17 water, groundwater interaction. We can argue
18 forever; will the stream lose water, will it
19 not lose water. As long as we didn't go and
20 see, we don't know.

21 ALJ WISSLER: Of what duration should
22 such testing program be? Do you have to

23 collect data for two months, six months, a

24 year; how long?

25 DR. PARASIEWICZ: It's asking me a

1 little too much to come up right away for an
2 answer for this type of specific project. It
3 varies from project to project, and we would
4 have to provide some specific design.

5 The objective here would be to capture
6 the critical conditions, so you would want to
7 have the measurements. And the best would be
8 to have continuous measurements, if we can
9 have, during the summer months, for example.
10 You have to have good measurements, I would
11 say, over a period of summer at least, if not
12 a year.

13 ALJ WISSLER: Because that's the
14 period of lowest flow?

15 DR. PARASIEWICZ: Right. The best
16 data is to collect the data continuously every
17 part of the river all the time, but nobody
18 would want to pay.

19 MR. GERSTMAN: Let me ask a question
20 about the USGS gauging station. What kind of
21 measurements do they do there?

22 DR. PARASIEWICZ: What USGS is usually

23 doing, they usually look for really relatively
24 uniform cross section without any obstacles;
25 sometimes they even create a cross section out

1 of concrete or marble. Then they perform very
2 many measurements, usually two, three -- first
3 calibrate, create relationship between -- they
4 take three to four measurements and they can
5 establish the relationship between the depth
6 and the flow in the river.

7 Then at least once a year, I think,
8 they calibrate the cross sections again. So
9 it is -- this is very intensive work and very
10 labor intensive type of work. I have seen
11 frequently that rating curves were
12 dramatically corrected because streams move
13 also.

14 MR. GERSTMAN: Those are continuous
15 measurements that are taken by USGS?

16 DR. PARASIEWICZ: They continuously
17 measure depth in the stream, and they use
18 -- they have at least four calibration
19 discharges that they measure with the
20 velocities with the propeller, and that's how
21 they establish -- they use the four
22 measurements to calculate the discharge and

23 relate it to the depth that they measured.

24 This allows them to create a rating curve

25 between the flow and the depth.

1 ALJ WISSLER: Is there a document that
2 lays out this USGS protocol someplace?

3 DR. PARASIEWICZ: Sure.

4 ALJ WISSLER: What's that document
5 called?

6 DR. PARASIEWICZ: USGS Manual. It
7 would be USGS Manual describing discharge
8 measurements. I don't know them off the top
9 of my head.

10 MR. GERSTMAN: We'll provide it for
11 the record.

12 DR. PARASIEWICZ: It varies worldwide.
13 Some countries accept some instruments, some
14 countries accept some other instruments.
15 Therefore, I don't know off the top of my head
16 USGS procedures.

17 MR. GERSTMAN: Without casting
18 dispersions on the flow metering done in the
19 stream by the Applicant, you would generally
20 tend to rely on USGS measurements to get an
21 accurate gauge of flow in Birch Creek, for
22 instance?

23 DR. PARASIEWICZ: This is the reason
24 why I used this technique that I used for
25 calculation, the proportion of flow at the

1 confluence of Birch Creek and Crystal Spring
2 Brook, because after reviewing this data, I
3 did not find it reliable enough.

4 ALJ WISSLER: The data in Table 1A?

5 DR. PARASIEWICZ: Pardon me?

6 ALJ WISSLER: The data in Table 1A?

7 DR. PARASIEWICZ: That's correct. A
8 few things. Just a comment, and it's more a
9 question than anything else. We have seen on
10 the temperature data that we just luckily
11 found, that already now that temperature goes
12 up to 70 degrees Fahrenheit, which is
13 relatively high for this type of stream for
14 summer. And we -- then there was a statement
15 that treatment plant -- I don't know if this
16 was with the treatment plant or not -- would
17 increase the temperature by four to six
18 degrees Fahrenheit. If we would add this on
19 top of 70 and would reduce the amount of
20 water, then it could become critical.

21 ALJ WISSLER: Mr. Isaacs, what's too
22 high for trout temperature?

23 MR. ISAACS: Generally, a sustained
24 temperature of over 72 degrees is lethal.
25 It's not an instantaneous mortality. They

1 have to be exposed for a sustained period of
2 time, but we consider 72 lethal for trout.

3 MR. ALTIERI: Is it a matter of days?

4 MR. ISAACS: That depends on a number
5 of factors.

6 ALJ WISSLER: They can find a deep
7 part of a pool to hide in too?

8 MR. ISAACS: Right. So if they are
9 -- if they are confined to an area of the
10 stream that is over 70 or 72 degrees for any
11 length of time, it has an impact on the trout.
12 As I said, it's not instantaneous mortality.
13 It weakens them, makes them susceptible to
14 disease, and eventually has a detrimental
15 impact.

16 DR. PARASIEWICZ: The point I'm trying
17 to make here, it's really very difficult to
18 meet the conclusion today, because as I
19 mentioned before, the temperature in the
20 stream is a function of the duration of low
21 flows. If it lasts longer, the temperature
22 could rise very, very high. And then we're

23 talking something very different.

24 Now, with regard to -- at one point

25 there was a mention there would be no

1 influence on the flood plane habitat. Well,
2 assuming that we would have modification of
3 high flows and low flows, there would be
4 indirect influence on the flood plane habitat.
5 This needs to be mentioned.

6 With regard to the comment of my
7 colleague, Alevras, this was the issue if this
8 is unique or not unique stream. We have three
9 experts saying three different things, and I
10 know that Joe knows the stream way better than
11 I do -- Jack, I'm sorry -- they know the
12 stream very well, and still each of us made
13 assessment based on -- at least the two of us
14 made assessment visual. This was just a brief
15 walk. I didn't mention the street next to the
16 stream or that there is a bridge, and the
17 colleague did not mention that there is a
18 bridge dam that I observed. So each one of us
19 have seen some parts of it. And I absolutely
20 agree that lack of detail in this analysis is
21 mostly disturbing, and that's what I also
22 pledge for, that there will be more data

23 collected to provide much more detailed
24 analysis and much more detailed assessment so
25 we will be able to make a sound decision if

1 this project will have an impact or not.

2 Otherwise, we're ending up in arguments of
3 experts.

4 ALJ WISSLER: Mr. Isaacs, does the
5 Department have a protocol it follows for
6 taking these flow measurements?

7 MR. ISAACS: No.

8 ALJ WISSLER: What do we use?

9 MR. ISAACS: We generally use the USGS
10 data, which is based, as Piotr described, on a
11 stable cross section that is generally a
12 trapezoid, a very measurable trapezoid. And
13 it is a continuous measurement of height of
14 the water through that trapezoid, which then
15 gives us the flow measurements. However, we
16 also use the propeller method, and even the
17 crude method of dropping tennis balls in the
18 stream and measuring the time it takes for
19 them to go a certain distance. So a variety
20 of measurements are used. And the USGS gauges
21 are the best we have available. But in many
22 cases, they're -- on some small streams,

1 publication that describes most of the
2 methods, it's Gordon and McMahon, Stream
3 Hydrology for Ecologists, and that's summary
4 of most of the methods that are applied
5 worldwide.

6 MR. GERSTMAN: Is the USGS protocol
7 available to provide to the Judge?

8 DR. PARASIEWICZ: Sure, they're public
9 documents.

10 MR. ISAACS: I would stress, though,
11 that if we are getting to the point that the
12 technique of flow measurement is the basis of
13 our decisions, we better take a step back and
14 review that decision because we'll never find
15 a technique that is absolutely accurate. And
16 our decision shouldn't be based on the
17 differences in techniques. If there is an
18 impact of flow, that impact is more important
19 than how it was arrived at.

20 DR. PARASIEWICZ: Maybe just one last
21 statement that I would like to make, that in
22 the many years that I was working on the

23 streams at various projects, big and small
24 projects, I have never seen a project that
25 would not have unexpected circumstances, that

1 would not all of a sudden either turn the
2 water off or release some excess water and
3 cause some disturbance. This happens at every
4 big facility. And it's really very hard to
5 prevent because things happen, accidents
6 happen. So that's something we also have to
7 keep in mind.

8 MR. GERSTMAN: Several other comments
9 to add. At first, we would agree with
10 Mr. Isaacs, that where there is a demonstrated
11 impact, especially in the nature of the one
12 that we're putting forth here, it needs to be
13 analyzed further. We would further say the
14 USGS methodology seems to be at least
15 understood, well-accepted and applied on a
16 regular basis where the data is available.
17 And it does seem to be available here.

18 Using that data, Dr. Parasiewicz has
19 demonstrated that the water withdrawal will
20 result in the stream flow falling below
21 10 percent of mean average flow for a very
22 extended period of time, which would have, and

23 DEC staff agree, a significant impact on this
24 aquatic habitat.

25 Ms. Bakner, again, talks about what we

1 put forward here is academic because there is
2 no scientific response to what we've put
3 forward. In fact, the science demonstrates
4 there is a real possibility, a very
5 significant potential for impact. And we
6 believe, as Dr. Parasiewicz has said, that
7 there is an absolute obligation on the part of
8 the agency to look at this further to make
9 sure that this type of impact does not occur.
10 Whether or not there are other streams similar
11 to the upper Birch Creek or not in the
12 Catskills, it is an important resource. There
13 are development pressures throughout the
14 Catskills. It is a dwindling resource. It's
15 not an academic exercise, and certainly one
16 can't diminish the importance of an evaluation
17 by somehow calling it academic.

18 The other aspect of this is I believe
19 there was some effort to compare the
20 discharges from the project to the wastewater
21 treatment plant. I wasn't quite sure what the

22 numbers were that were put out by Crossroads,
23 but that's an existing discharge. We're
24 looking to add to the discharge, and that has
25 to be considered.

(AQUATIC HABITAT ISSUE)

4470

1 If the agency felt it was important to
2 ratchet back on certain parameters in the
3 discharge from the wastewater treatment plant,
4 it would do so to protect the environment.
5 Here we're facing a new discharge, and we have
6 to take a look at the cumulative impact of
7 this discharge to any existing ones in the
8 stream.

9 Dr. Parasiewicz in his presentation
10 was talking about the, essentially, holistic
11 view of stream ecology. In order to do that,
12 he was presenting various -- as much
13 information as he could to demonstrate what
14 the various influences were on aquatic
15 habitat. We weren't suggesting that
16 Crossroads was proposing to channelize the
17 stream or construct an impoundment here. But
18 in terms of the influences and the impact on
19 the aquatic habitat here, it was important to
20 see the entire picture, we thought.

21 As far as the temperature gauge

22 showing up after mysteriously being lost in
23 the stream for -- we're not sure how long --
24 obviously, if this were a trial, chain of
25 custody would have to go through Al Frisenda

1 and maybe his grandson. We're not in that
2 situation, but we do question that data, where
3 it's been, where the flow meter has been,
4 where the temperature gauge has been for three
5 years.

6 The other aspect of this is that there
7 is always the suggestion here, and
8 unfortunately New York City is not here to
9 identify some of these issues, there's been
10 the suggestion that there's minimal impact on
11 wetlands and minimal impact on intermittent
12 streams. As we hiked both the Wildacres and
13 the Big Indian sites, it was very apparent
14 that there were what was affectionately called
15 surface drainage features that course the
16 sites. Intermittent streams, headwaters of
17 these important streams that were flowing
18 through the site towards Birch Creek and Emory
19 Brook.

20 There were also these isolated or
21 seemingly isolated wetlands that were

22 identified both by Dr. Kiviat, some by
23 Dr. Michalski when we were out, and very many
24 of them by New York City's expert, Joe
25 Damrath. If we go back and look at his

1 testimony concerning those flows and
2 concerning the wetlands, we will see that the
3 impacts of construction of the golf course,
4 the channelization to some extent, through the
5 fairways, removal of vegetative cover, all
6 have an impact on the aquatic habitat as
7 Dr. Parasiewicz has mentioned today. So I
8 think it's very important to take a look at
9 that offer of proof from Joe Damrath in
10 conjunction with what we are suggesting here
11 today.

12 Judge, as I said earlier, we would
13 request the opportunity to have Dr. Michalski
14 review Mr. Trader's offer of proof here and
15 response concerning the ground and surface
16 water hydrology. We will provide the USGS
17 protocol that's used for determination of
18 stream flow, and we'll also review the
19 information concerning Chitosan to determine
20 whether or not a response is appropriate.

21 We would ask the Department staff to
22 provide us with a copy of any draft documents

23 that are exchanged between the Department and
24 the Applicant so we can evaluate whether or
25 not we need to pursue that issue any further.

1 We believe that based upon the offer
2 of proof that's been made today by Dr.
3 Parasiewicz, including the exhibit to the
4 petition, we have established a substantive
5 and significant issue for adjudication. We
6 believe that due to the importance of the
7 aquatic habitat in Birch Creek and the
8 potential devastating impact that this project
9 will have, that this issue demands
10 adjudication and that we should explore these
11 issues further. Thank you, Judge.

12 ALJ WISSLER: Thank you, Mr. Gerstman,
13 and thank you, Dr. Parasiewicz. Anything
14 else?

15 MS. BAKNER: We would like to take a
16 short break before we respond.

17 (5:45 - 5:55 P.M - BRIEF RECESS
18 TAKEN.)

19 ALJ WISSLER: Ms. Bakner.

20 MS. BAKNER: First of all, we want to
21 say that we very much continue our view that
22 Dr. Parasiewicz's analysis related to our

23 project was not specific to our project, did
24 not have information in it that would lead to
25 any significant issue or substantive issue

1 with respect to the aquatic habitat. As we
2 have shown, we have no direct impacts. We've
3 also proved we have no indirect impacts, and
4 we have designed a system of stormwater
5 control that meets or exceeds the Department's
6 standards.

7 We have undertaken a substantial and
8 lengthy study of surface waters surrounding
9 the site, and we've collected a lot of
10 empirical evidence in addition to evaluating
11 other stream flow information and fish habitat
12 information that was made available to us by
13 the Department.

14 Basically, we don't see that the
15 evidence that's been presented really directly
16 relates to our project. It certainly relates
17 to projects such as dams, hydroelectric
18 facilities, other things where there are
19 direct impacts on the streams such that you're
20 going to withdraw water from the streams. Our
21 point is simply we're not withdrawing water
22 from the streams, nor are we adversely

23 affecting the composition of the streams.

24 So Steve, there has been a lot

25 suggested here regarding casting dispersions

1 upon your methodology for testing the surface
2 flows. We have gone over this at length
3 previously, but of course, Dr. Parasiewicz
4 wasn't here to hear that. So if you could
5 describe how the USGS gauging works at Birch
6 Creek and how you did your flow measurements
7 for the record, again, that would be very
8 helpful.

9 MR. TRADER: Sure. The method that we
10 use with the propeller flow meter is
11 essentially the same method the USGS is using
12 to calibrate their gauging station. The USGS
13 gauging station at Birch Creek does not have
14 any sort of concrete structure or trapezoid
15 form. In fact, it's the same bouldery strewn
16 stream that we measure further upstream.
17 They're measuring it with another device, a
18 pipe that is connected. They measure the
19 water level, and they calibrate that once a
20 year to make sure that their stream cross
21 section -- and see if the cross section is
22 changed.

23 They can look at different flow rates
24 during the year. A certain flow rate will
25 correspond with a height of water in the

1 measuring pipe that's tied to the creek. So
2 they can calibrate it this way and they can
3 construct a curve. So if you have a certain
4 height in that water, in that measuring pipe,
5 that will correspond to a certain flow. And
6 it's not just a one-for-one basis necessarily
7 because the channel is not a square --
8 certainly not in this case, it's just the
9 regular Birch Creek channel.

10 MS. BAKNER: So to be clear, there's
11 no trapezoidal thing in the creek?

12 MR. TRADER: No, it's the same type of
13 creek bottom that we measured up below the
14 confluence.

15 They calibrate this once a year. With
16 our measurements, we're effectively
17 calibrating it every month. Every time we
18 visit the section, the measuring spot, we do
19 it at the same spot, and we measure the cross
20 section each time that we go there.

21 On a particular monthly -- on the day
22 that we go to make these measurements, we do

23 two or three different transects across with
24 the flow meter to make sure that we're getting
25 a good representative average of what the flow

1 is there. We're not just doing a one shot and
2 then leaving the site. We take our cross
3 sectional measurement of the morphology of the
4 general bottom and have it where the top of
5 the water is. And then we do transects with
6 the flow meter two or three times.

7 So I see it as our method is no less
8 reliable than what the USGS is doing. I don't
9 think people would say the USGS gauges are
10 recording more accurate measurements of flow
11 than our method, because Dr. Parasiewicz
12 admitted, they only calibrate once a year.

13 Birch Creek can change its morphology
14 in a day, just like that, two or three times a
15 year. Anytime a big storm event comes along,
16 boulders are rolling down the stream. It's
17 changing. Our method accounts for that
18 because we're measuring a transect every time
19 we go out there.

20 ALJ WISSLER: Let me just understand.
21 Without getting into the calibration thing,
22 but the values that are in Table 1A, are you

23 saying that the value that is expressed there
24 is not just from one flow measurement, that
25 multiple measurements were taken and then that

1 number was the average of those multiple
2 readings?

3 MR. TRADER: Exactly, right. Because
4 in the instruction manual for the flow meter,
5 it says that's what they recommend you should
6 do.

7 ALJ WISSLER: So on a particular day
8 when you went and you took a measurement, was
9 there a log that you kept and you said, here
10 are these three that I took across the stream,
11 and that's how I derived this number that I
12 put in the table?

13 MR. TRADER: Right. Al Frisenda and I
14 would write them down. I would be out there
15 and I'd call the number out and he would write
16 it down.

17 ALJ WISSLER: Does that log exist?

18 MR. TRADER: Yes, it does. It's field
19 notes.

20 ALJ WISSLER: Do you have them?

21 MR. TRADER: Not with me.

22 ALJ WISSLER: Can you produce them?

23 MS. BAKNER: We would be happy to
24 provide that, your Honor.
25 The other thing I wanted to ask you

1 about was the temperature issue. We're at the
2 Pine Hill Wastewater Treatment Plant.
3 Describe what it discharges into.

4 MR. TRADER: The treatment plant has
5 an outfall location which goes into a small
6 ditch. This ditch parallels Birch Creek. Al,
7 how far away from Birch Creek would you say
8 that ditch is?

9 MR. FRISENDA: 50 feet.

10 MR. TRADER: 50 feet. It comes out
11 and it parallels Birch Creek, runs into Rose
12 Mountain Creek, which is coming from across
13 Route 28 flowing towards the south. It hits
14 Rose Mountain Creek and then another 30 or
15 40 feet downstream, Rose Mountain Creek enters
16 Birch Creek.

17 So this graph of the temperature
18 measurements that we just submitted, that was
19 made from Birch Creek downstream, maybe
20 50 feet, 100 feet --

21 MR. FRISENDA: Which one?

22 MR. TRADER: The one that you found.

23 MR. FRISENDA: The temperature logger,

24 yeah, I would say about 100 feet downstream

25 from Rose Mountain.

1 MR. TRADER: So that those
2 measurements were 100 feet downstream from
3 where Rose Mountain Creek or Brook enters
4 Birch Creek.

5 So what we did for 13 months, we had
6 monthly visits to a lot of the streams and
7 springs in the area, and we measured field
8 water quality parameters, one of which was
9 temperature. And we could tell from our 13
10 times doing this what the temperature was of
11 that ditch -- that's the outfall from the
12 sewer plant -- we could tell what the
13 temperature is of the receiving stream, which
14 is Rose Mountain Creek, and then get what the
15 Birch Creek measurement was.

16 We also had this temperature logger
17 that was there. It was lost in December of
18 2001, I think. So by comparing those field
19 measurements, that's how I can make the
20 statement that, in general, the sewer plant
21 outfall had a greater temperature than Birch
22 Creek does. Although, just downstream

23 100 feet, Birch Creek showed no effect from
24 that introduction of warmer water, which I
25 attribute to a volume issue.

1 MS. BAKNER: In terms of, again, to
2 get to the specifics of our project; in the
3 summer, what is your understanding is going to
4 happen with our effluent? Is it going to be
5 discharged to Birch Creek?

6 MR. TRADER: Most likely not, I
7 imagine it would be used for irrigation.

8 MS. BAKNER: Kevin, just for the
9 record, how many million gallons does the
10 irrigation pond hold on Big Indian; 7 million?

11 MR. FRANKE: 7 and a half million
12 approximately.

13 MS. BAKNER: 7 and a half million
14 gallons. So unlike the Pine Hill Wastewater
15 Treatment Plant, we have an alternative
16 discharge site, which allows us to avoid
17 entirely discharge of water into Birch Creek.

18 Now, when it comes to irrigation,
19 again, Kevin, are we adding water to the
20 system by using the -- by pumping bedrock
21 groundwater and then irrigating with it?

22 MR. FRANKE: Sure, you're adding it to

23 the surficial system. It's likely that you're
24 going to see shallow groundwater flow as a
25 result of irrigation, and more likely

1 precipitation that occurs because you're
2 raining now on a moist soil where otherwise it
3 would have been dry and you'll get more
4 percolating into the soil.

5 MS. BAKNER: Steve, you had a point?

6 MR. TRADER: The water budgets that
7 we've done, and typical water budgets for this
8 part of New York State are going to show that
9 during the summer months, typically July,
10 August and even into September, you don't have
11 percolation, which means you're not actually
12 recharging the groundwater system during those
13 months on a typical year.

14 The effect of adding this irrigation
15 water will alleviate that fact. You will have
16 percolation because the plants, the grass that
17 is using this irrigation water, that's what
18 it's using. The precipitation is not going to
19 suddenly disappear. It's going to be actually
20 having a chance to recharge to some extent the
21 groundwater, where it wouldn't have done so
22 before.

23 MS. BAKNER: But you, in fact, didn't
24 take any credit for that in your water budget?
25 MR. TRADER: No.

1 MS. BAKNER: And your water budget
2 showed that, in fact, there wasn't going to be
3 any decrease in water available to the system
4 as a result of the project?

5 MR. TRADER: That's right.

6 MS. BAKNER: So we've looked at it
7 from sort of a global sense in terms of the
8 water budget, we've done the measurements in
9 the stream surrounding it, we've done the pump
10 tests, we've done -- it sounds like days and
11 days and days of tests over a period of four
12 years. So, your Honor, we would submit that
13 we really have done a good job here, and we
14 really have looked at it.

15 I really think that the position that
16 Department staff articulated, which is that
17 given a dynamic system such as Birch Creek,
18 the thought that it's not possible to approve
19 any water withdrawal from Birch Creek or any
20 consumptive use of water, which we're not
21 proposing to do in any event, any consumptive
22 use of water out of that system without having

23 a significant adverse impact on the system is
24 quite at odds with the record of the
25 Department so far in issuing permits for

1 snowmaking water withdrawals, in issuing
2 permits just recently for the Pine Hills Water
3 Company to have bedrock wells, and for the
4 -- and given the historic use, frankly, of the
5 Pine Hills water system of a lot of the
6 springs that contribute water into the system
7 and cold, fresh water into the system. So --

8 MR. RUZOW: Let me add, there are a
9 number of other wells that are ground -- that
10 are bedrock wells, like we proposed, that have
11 been either approved or been undertaken. My
12 understanding is that the New York City's Pine
13 Hill Treatment Plant has two bedrock wells
14 which are pumped on a regular basis because
15 there isn't enough flow given the size of the
16 plant with just sewage.

17 And so all of those elements are using
18 the groundwater system. Our data shows, and
19 our hydrologists' evaluation -- and I don't
20 believe the Department's evaluation, at least
21 at this point in time from the hydrology point
22 of view, has taken issue with it -- is that

23 we're not affecting the surface water flows in
24 Birch Creek. And you have all these other
25 sources that, at least to this point, have

1 never raised a specter that would be impacting
2 Birch Creek. So the newness of -- I guess
3 some surprise by this assertion is, in fact,
4 reflected by the fact that you have all of
5 these takings, thousands of gallons a day from
6 all sorts of sources and the flows to Birch
7 Creek have not -- there's not been an
8 indication of a reflection of impacting that.

9 So we're reasonably confident that
10 looking at this science -- and the only thing
11 we have from professor -- Dr. Michalski, is a
12 theorem -- a theory that he has come up with
13 based on looking at some other studies -- and
14 the reason we submitted the rest of the Heisig
15 study is that there are countervailing
16 arguments in that study that were ignored by
17 him and not brought to your attention, which
18 we will address in additional submission and
19 argument -- but it's this theorem that he is
20 creating and which, in entirety, Dr.
21 Parasiewicz is relying on here. So we think
22 there is already good science and better

23 science that says that we will not have an
24 impact on Birch Creek. We understand the
25 importance of it, and we respect the

1 importance of protecting Birch Creek.

2 We think the conditions of the water
3 supply folks, who have indicated that we not
4 exceed the Tennant -- the standard 30 percent
5 of the low flow -- for low flow purposes is a
6 perfectly rational condition that they have
7 imposed and that we find acceptable.

8 MS. BAKNER: On the usage of Silo A.

9 MR. RUZOW: On Silo A.

10 MS. BAKNER: Lastly, we would just
11 like to say with respect to the Chitosan,
12 we're confident that we can live with the
13 condition proposed by the Department, and that
14 we can examine the drawings, perhaps tomorrow,
15 in the context of stormwater on the overland
16 flow, and address that issue.

17 We do not plan to have surface water
18 discharges of the treated water into surface
19 waters. That's not what our plans are
20 showing. And we feel we can most likely
21 address that tomorrow. So thank you very
22 much.

23 ALJ WISSLER: Just because I may have
24 been flip before, and I would ask this of
25 counsel, if there are logs that were kept

1 during the year or whatever it was that Table
2 1A values were ultimately derived from, I want
3 to see the originals of those.

4 MR. GERSTMAN: Judge, I ask copies to
5 be provided to us.

6 One final comment, Judge. I know it's
7 late and, Theresa, you've worked hard today,
8 and I don't mean to take up more time than we
9 need to.

10 Dr. Michalski based his offer of proof
11 not on conjecture and not on theories. He
12 looked at the data, he evaluated the data
13 provided by the Applicant and was able to
14 support it using the science that he, I think
15 was able to express here during the offer of
16 proof. And we rely, obviously, on his offer
17 of proof and on his science based upon the
18 data that was provided by the Applicant. That
19 will be it.

20 MR. ALTIERI: Your Honor, I believe I
21 reserved the right to supplement our record
22 regarding hydrology as it may affect this

23 issue, but since apparently we may get some
24 more data, we reserve the right in general to
25 supplement the record in writing regarding

1 aquatic habitat.

2 ALJ WISSLER: Is there anything we
3 haven't reserved?

4 We are done for today. We will
5 reconvene tomorrow morning at 9 o'clock.
6 Thank you very much.

7 (6:13 P.M. - WHEREUPON, THE ISSUES
8 CONFERENCE ADJOURNED FOR THE DAY.)

9
10
11
12
13
14
15
16
17
18
19
20
21
22

23

24

25

C E R T I F I C A T I O N

I, THERESA C. VINING, hereby certify and say that I am a Shorthand Reporter and a Notary Public within and for the State of New York; that I acted as the reporter at the Issues Conference proceedings herein, and that the transcript to which this certification is annexed is a true, accurate and complete record of the minutes of the proceedings to the best of my knowledge and belief.

THERESA C. VINING

DATED: September 15, 2004

