

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22

ISSUES CONFERENCE                                   VOLUME 18

In the Matter of the Applications of  
CROSSROADS VENTURES, LLC  
  
for the Belleayre Project at Catskill Park  
for permits to construct and operate pursuant to  
the Environmental Conservation Law

---

Margaretville Fire House  
Margaretville, New York  
August 26, 2004

B E F O R E:

HON. RICHARD WISSLER,  
Administrative Law Judge

A P P E A R A N C E S:

WHITEMAN, OSTERMAN & HANNA, LLP.  
Attorneys for Applicant,  
CROSSROADS VENTURES, LLC  
One Commerce Plaza  
Albany, New York 12260

BY: DANIEL RUZOW, ESQ., of Counsel  
BY: TERRESA M. BAKNER, ESQ., of Counsel

NEW YORK STATE DEPARTMENT  
of ENVIRONMENTAL CONSERVATION  
Region 3

23                   21 South Putt Corners Road  
                      New Paltz, New York 12561

24                   BY: VINCENT ALTIERI, ESQ., of Counsel  
                      Regional Attorney

25

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22

LAW OFFICE OF MARC S. GERSTMAN  
Attorneys for CATSKILL COALITION,  
ROBINSON SQUARE  
313 Hamilton Street  
Albany, New York 12210

BY: ERIC GOLDSTEIN, ESQ., of Counsel

NEW YORK CITY LAW DEPARTMENT  
OFFICE OF CORPORATION COUNSEL  
100 Church Street  
New York, New York 10007-2601

BY: HILARY MELTZER, ESQ., of Counsel

YOUNG, SOMMER...LLC  
Attorneys for THE COALITION  
OF WATERSHED TOWNS  
DELAWARE COUNTY,  
TOWN OF MIDDLETOWN,  
TOWN OF SHANDAKEN  
Executive Woods - 5 Palisades Drive  
Albany, New York 12205

BY: KEVIN M. YOUNG, ESQ., of Counsel

23

24

25

1	DEP'S	4492
2	PRESENTERS	PAGE
3	CHARLES CUTIETTA-OLSON	4498
4		
5	APPLICANT'S	
6	PRESENTERS	
7	DAVID CARR	4530
8	DEAN LONG	4557
9	SCOTT LOWE, Ph.D.	4590
10		
11	DEC	
12	PRESENTER	
13	PAT FERRACANE	4640
14		
15		
16		
17		
18		
19		
20		
21		
22		

23

24

25

	APPLICANT'S EXHIBITS		PAGE
1			
2			
3	149	JUNE 10, 2004 LETTER TO SUSAN AMRON AT NYC DEP FROM JOHN DUNN, P.C., NYS DOH	4495
4			
5	150	USEPA CONSTRUCTION FACT SHEET, PART II, FEDERAL REGISTER NOTICE, WEDNESDAY SEPTEMBER 9, 1992	4495
6			
7			
8	151	NYS DEC SPDES GENERAL PERMIT, PERMIT NO. GP-93-06 (8/1/93 - 8/1/98)	4495
9			
10			
11	152	RESUME OF GUY A. APICELLA	4495
12	153	RESUME OF STEVEN G. BILHEIMER	4495
13			
14	154	RESUME OF SCOTT A. LOWE	4495
15	155	RESUME OF THOMAS B. VANDERBEEK	4496
16	156	"THE SOURCE LOADING & MANAGEMENT MODEL (SLAMM), PITT & VOORHEES 2000 [EXCERPTS]	4496
17			
18			
19	157	"TOTAL PHOSPHORUS LOADING CALCULATIONS AND COMPARISONS," LA GROUP, AUGUST 24, 2004	4496
20			
21	158	MEMO "BIG INDIAN ACCESS ROAD CONSTRUCTION PHASING" CHIESLUK TO	4496
22			

23

LONG MEMO DATED 8/25/04  
WITH ATTACHMENT -  
DRAWING PH-4 DATED  
8/24/04

24

25



1	159	SHEET FLOW ANALYSIS, LA	4496
2		GROUP DATED 8/25/04, PREPARED BY LA GROUP	
3	160	ADDENDUM TO THE	4496
4		STORMWATER MANAGEMENT	
5		REPORT - BELLEAYRE	
6		RESORT AT THE CATSKILL	
7		PARK, ATTACHMENTS ARE	
8		DRAWINGS SD-5, SD-6,	
9		SD-7, SG-1, SG-6, SG-7,	
10		SG-8, SG-9, SG-10, SG-5	
11	161	"BELLEAYRE RESORT	4497
12		WATERSHED MODEL" BY	
13		LAWLER, MATUSKY & SKELLY	
14		ENGINEERS, LLP DATED	
15		8/25/04	
16	CITY EXHIBIT		
17	30	"CALCULATION OF EXPORT	4497
18		COEFFICIENTS FOR	
19		TRIBUTARIES ON BELLEAYRE	
20		MOUNTAIN"	
21	WATERSHED COMMUNITIES EXHIBITS		
22	6	"NYC DEPARTMENT OF	4654
23		ENVIRONMENTAL PROTECTION	
24		GUIDANCE FOR PHOSPHORUS	
25		OFFSET PILOT PROGRAMS"	
26	17	COURT DECISION IN	4654
27		CATSKILL MOUNTAINS	
28		CHAPTER OF TROUT	

23 UNLIMITED V. CITY OF NEW  
YORK

24 18 "SHANDAKEN TUNNEL SPDES 4655  
25 PERMIT - CITY OF NEW  
YORK DEP"

1 (AUGUST 26, 2004)

2 (9:35 A.M.)

3 P R O C E E D I N G S

4 MS. BAKNER: We'll mark these.

5 (JUNE 10, 2004 LETTER TO SUSAN AMRON  
6 AT NYC DEP FROM JOHN DUNN, P.C., NYS DOH  
7 RECEIVED AND MARKED AS APPLICANT'S EXHIBIT NO.  
8 149, THIS DATE.)

9 (USEPA CONSTRUCTION FACT SHEET, PART  
10 II, FEDERAL REGISTER NOTICE, WEDNESDAY  
11 SEPTEMBER 9, 1992 RECEIVED AND MARKED AS  
12 APPLICANT'S EXHIBIT NO. 150, THIS DATE.)

13 (NYS DEC SPDES GENERAL PERMIT, PERMIT  
14 NO. GP-93-06 (8/1/93 - 8/1/98) RECEIVED AND  
15 MARKED AS APPLICANT'S EXHIBIT NO. 151, THIS  
16 DATE.)

17 (RESUME OF GUY A. APICELLA RECEIVED  
18 AND MARKED AS APPLICANT'S EXHIBIT NO. 152,  
19 THIS DATE.)

20 (RESUME OF STEVEN G. BILHEIMER  
21 RECEIVED AND MARKED AS APPLICANT'S EXHIBIT NO.  
22 153, THIS DATE.)

23 (RESUME OF SCOTT A. LOWE RECEIVED AND  
24 MARKED AS APPLICANT'S EXHIBIT NO. 154, THIS  
25 DATE.)

1 (RESUME OF THOMAS B. VANDERBEEK  
2 RECEIVED AND MARKED AS APPLICANT'S EXHIBIT NO.  
3 155, THIS DATE.)

4 ("THE SOURCE LOADING & MANAGEMENT  
5 MODEL (SLAMM), PITT & VOORHEES 2000"  
6 [EXCERPTS] RECEIVED AND MARKED AS APPLICANT'S  
7 EXHIBIT NO. 156, THIS DATE.)

8 ("TOTAL PHOSPHORUS LOADING  
9 CALCULATIONS AND COMPARISONS," LA GROUP,  
10 AUGUST 24, 2004 RECEIVED AND MARKED AS  
11 APPLICANT'S EXHIBIT NO. 157, THIS DATE.)

12 (MEMO "BIG INDIAN ACCESS ROAD  
13 CONSTRUCTION PHASING" CHIESLUK TO LONG MEMO  
14 DATED 8/25/04 WITH ATTACHMENT - DRAWING PH-4  
15 DATED 8/24/04 RECEIVED AND MARKED AS  
16 APPLICANT'S EXHIBIT NO. 158, THIS DATE.)

17 (SHEET FLOW ANALYSIS, LA GROUP DATED  
18 8/25/04, PREPARED BY LA GROUP RECEIVED AND  
19 MARKED AS APPLICANT'S EXHIBIT NO. 159, THIS  
20 DATE.)

21 (ADDENDUM TO THE STORMWATER  
22 MANAGEMENT REPORT - BELLEAYRE RESORT AT THE

23 CATSKILL PARK, ATTACHMENTS ARE DRAWINGS SD-5,  
24 SD-6, SD-7, SG-1, SG-6, SG-7, SG-8, SG-9,  
25 SG-10, SG-5 RECEIVED AND MARKED AS APPLICANT'S

1 EXHIBIT NO. 160, THIS DATE.)

2 ("BELLEAYRE RESORT WATERSHED MODEL"

3 BY LAWLER, MATUSKY & SKELLY ENGINEERS, LLP

4 DATED 8/25/04 RECEIVED AND MARKED AS

5 APPLICANT'S EXHIBIT NO. 161, THIS DATE.)

6 MS. MELTZER: We'll mark this.

7 ("CALCULATION OF EXPORT COEFFICIENTS

8 FOR TRIBUTARIES ON BELLEAYRE MOUNTAIN"

9 RECEIVED AND MARKED AS CITY EXHIBIT NO. 30,

10 THIS DATE.)

11 ALJ WISSLER: If I could have the

12 appearances for the record.

13 MR. RUZOW: Dan Ruzow, Terresa Bakner

14 for the Applicant.

15 MR. ALTIERI: Vincent Altieri for DEC.

16 MS. MELTZER: Hilary Meltzer.

17 MR. YOUNG: Kevin Young for the

18 Watershed Communities.

19 MR. GOLDSTEIN: Eric Goldstein for the

20 CPC.

21 ALJ WISSLER: Ms. Meltzer, I think

22 you're first up here.

23 MS. MELTZER: As we discussed at the  
24 end of the presentations on stormwater at the  
25 end of June, the DEP based on its actual



1 monitoring of stormwater runoff from the  
2 Belleayre Mountain site -- had reached a  
3 different conclusion as to the pre-development  
4 export of pollutants from the site than what  
5 the Applicant had indicated both in the DEIS  
6 and in Applicant's Exhibit 47, which was  
7 prepared in response to the City's stormwater  
8 presentations in this Issues Conference.

9 Charles Olson has developed an  
10 analysis and the report is City Exhibit 30,  
11 which I believe has now been marked. Charlie  
12 is going to talk about how he developed the  
13 pre-development export coefficient for  
14 phosphorous and total suspended solids, and  
15 also talk about how his results differ from  
16 the Applicant's results in the DEIS and in  
17 their Exhibit 47, and talk a little about the  
18 implications.

19 MR. CUTIETTA-OLSON: Thank you. Just  
20 again to review DEP's monitoring program, we  
21 have been monitoring five tributaries on  
22 Belleayre Mountain. This program began in

23 August of 2000. Data logging, which allowed  
24 us to quantify discharge at these tributaries  
25 while the data logging equipment was installed

1 in April and May and September of 2001, except  
2 for the site Belle2, which is a difficult to  
3 access site, so that has not been automated,  
4 and storm event sampling to look at impacts of  
5 storm events specifically began in November of  
6 '01, but didn't include total phosphorous  
7 until the year 2002.

8 When I was here in June, I presented  
9 documentation regarding total phosphorous  
10 concentrations. Today I'm going to talk about  
11 export coefficient, which is a bit more  
12 complicated to describe.

13 The export coefficient is  
14 concentration times discharge, so it's  
15 actually a load, a load of particular  
16 pollutant of concern. And typically, it's  
17 expressed as a per-unit area per-unit time, so  
18 it allows you to standardize assessments over  
19 watershed areas specifically for the purpose  
20 of controlling pollution.

21 For example, when you do TMDLs, you  
22 develop export coefficients for particular

23 land uses, and then you have a large watershed  
24 area with several different types of land uses  
25 and you can then extrapolate that coefficient

1 to areas that you haven't monitored. So it  
2 allows you to derive a value that you are then  
3 going to apply to areas where you have no  
4 data. It allows you to model basically.

5 ALJ WISSLER: Similar areas, though;  
6 right?

7 MR. CUTIETTA-OLSON: Similar areas.  
8 In this particular case, we're talking about  
9 totally forested watersheds, so the land use  
10 is relatively homogenous. Export coefficients  
11 for modeling purposes are often taken from the  
12 literature, but the literature does not  
13 contain a lot of information or much  
14 information at all on export coefficients in  
15 the Catskill region in particular, and that's  
16 one of the reasons that we have a monitoring  
17 program that's looking specifically at the  
18 stormwater BMP retrofits, because although  
19 there's a national stormwater database on the  
20 effectiveness of stormwater control measures,  
21 there's no data on the effectiveness of these  
22 measures specific to the Catskills region, and

23           we're trying to actually get that data.

24                       One of DEP's motivations for starting

25           this program was because there really isn't

1 much data on small, single land-use catchments  
2 in this region. To develop the export  
3 coefficients from the data we have been  
4 gathering, I had a choice of using only two  
5 years, 2002 and 2003.

6 2003 was a very wet year, and since  
7 the export coefficient is a load, it's a  
8 function of the concentration and the flow. I  
9 didn't want to use a year that had very high  
10 flows because that would present a sort of  
11 high bias to the final result. You want to  
12 use something that is more representative of  
13 average long-term conditions. In the DEIS,  
14 the precipitation year that the Applicant used  
15 was 1993, which they established as an average  
16 precipitation year.

17 2002 compares closer to that. The  
18 precipitation quantity that I ended up working  
19 with -- I'm working with the same period now  
20 that was used in the WinSLAMM model which was  
21 March to November -- so it's not a full  
22 12-month year, it doesn't include the ice-on

23           period.

24                       The precipitation quantity that I was

25           working with from the Arkville rain data at



1           that time was 38 inches for that  
2           March/November period. The Applicant in the  
3           original WinSLAMM model submitted in the DEIS  
4           used 32 inches. So I felt that that wasn't  
5           too far off, and I believe the 2003 year was  
6           something like 48 inches. It was very, very  
7           high. So I felt that was not representative.

8                         At the Arkville gauge in 1993, the  
9           precipitation was 31 inches, which is much  
10          closer to what the Applicant used of  
11          32 inches.

12                        ALJ WISSLER: Charlie, what are you  
13          reading from?

14                        MR. CUTIETTA-OLSON: Page 4 of City  
15          Exhibit 30, top paragraph is a review of  
16          the -- an explanation of how I selected the  
17          year and a comparison of precipitation values.

18                        The point being that the precipitation  
19          volume that I'm working with that was recorded  
20          at the Arkville station was 38 inches, which  
21          is higher but not a lot higher than what the  
22          Applicant originally used. So the result is

23           that I should have somewhat higher loads  
24           because now I've got more water, but I felt it  
25           was not so much higher as to make the final

1 assessment unreasonable.

2 For this submission, 30, and  
3 previously, we looked at total phosphorous  
4 obviously because of the TMDLs and DEP's  
5 concerns with nutrient control. We also added  
6 total suspended solids, which is another  
7 analyte that we have been monitoring, and  
8 since Esopus Creek is actually a 303(d) listed  
9 water for suspended sediments, we felt that it  
10 was worthwhile to look at that, at the  
11 pre-development export off the site for TSS  
12 also, so that analysis had been included in  
13 this submission and had not been included in  
14 previous submissions that we had in June.

15 So now we have the sites automated. I  
16 have a stage discharge rating curve which  
17 allows us, knowing the height of water in the  
18 stream, which we record at 15-minute intervals  
19 every day with the automated monitoring  
20 equipment, we can relate that to discharge  
21 because we periodically go out and quantify  
22 discharge and then compare that to the depth

23 of water.

24 Now, for those times that we don't

25 actually go out there and physically measure

1 discharge, we interpolate discharge based on  
2 how deep the water is. In our data set, we  
3 have a discharge value for every day in the  
4 March to November period of 2002, but I only  
5 have sampling data for certain days twice a  
6 month and then later on only once a month.

7 So I wanted to take advantage of the  
8 fact that I actually have a discharge value  
9 for every day, and to replace, develop a  
10 concentration value that I'm now going to  
11 replace into those dates that I don't have a  
12 sample, an actual sample. One of the ways to  
13 do this is just to take an average of all your  
14 data and stick that into dates that you don't  
15 have sample data for.

16 After speaking with the modeling  
17 group, and after doing some statistical  
18 analysis of the data that I had, I determined  
19 that it was more representative to actually  
20 develop separate concentrations for storm  
21 samples and for baseflow samples because the  
22 concentrations were statistically different.

23           So I developed those average concentrations.  
24           How I did that is also described in this  
25           submission. I can get into that if you want.

1                   Then I went back to the Arkville rain  
2                   data, and for dates where I had more than half  
3                   an inch of rain falling over a 48-hour period,  
4                   I marked those dates as storm dates, and the  
5                   storm flow concentration was substituted into  
6                   those dates where I had no concentration data.  
7                   If I had any sample data, I used the actual  
8                   sample data, but if I didn't, I substituted in  
9                   the storm data. For those dates that were not  
10                  storm flows, if I had no sample data, I  
11                  substituted in a baseflow concentration.

12                  And the concentrations that I  
13                  substituted in for each of the sites are  
14                  listed on pages 6 and 7 as Tables 5 and 6. In  
15                  the second column, you'll see, the  
16                  constituent, B is the baseflow default, and S  
17                  is the stormflow, sort of default. Again,  
18                  these were only substituted if I had no data  
19                  for that date.

20                  In those tables, Tables 5 and 6, the  
21                  last column is what I finally calculated the  
22                  export coefficient to be as an area-weighted

23           average for the whole area. In other words, I  
24           have an export coefficient for each of the  
25           sites, then in column 4, the basin export



1 coefficient, there are two sites that are on  
2 the Pepacton side and two sites that are on  
3 the Ashokan side, and I calculated an  
4 area-weighted average. And there are those  
5 two coefficients.

6 If you average area weight, all the  
7 sample points together, you come up with that  
8 number that's in the final column, which I  
9 consider to be generally representative of  
10 forested catchments in the Catskills.

11 I just wanted to note that in the TP  
12 export coefficient of .046 is actually very  
13 close to the coefficient of .05 kilograms per  
14 hectare per year that was used in the TMDL  
15 analysis. So my value, which is derived  
16 pretty much from data, agrees with a value for  
17 forested catchments that was used in the TMDL  
18 models. Then the export coefficient of 7.64,  
19 we have not actually used that in any -- for  
20 example TMDL analysis in DEP but -- yeah, we  
21 haven't done TMDLs for TSS yet.

22 So if you look at the concentrations

23 in this Table 6 for TSS, the default  
24 concentrations range from .026 milligrams per  
25 liter to 32.87 milligrams per liter, which is

1 that high storm flow mean concentration, it's  
2 an average concentration.

3 I would like to point out that in  
4 Appendix 10A of the DEIS, the Applicant used a  
5 pre-development TSS concentration at Big  
6 Indian of 836.9 milligrams per liter. I did  
7 not go back and convert their results to an  
8 actual export coefficient, but with that  
9 concentration difference, there's going to be  
10 a substantial -- if they had used the actual  
11 data, there would be a substantial difference  
12 in what they're predicting as the  
13 pre-development load.

14 As we spoke of in June, the total  
15 phosphorous concentrations that I'm using were  
16 also significantly different from what the  
17 Applicant had proposed originally prior to the  
18 June '03 submission.

19 MS. MELTZER: That is Applicant's 47.  
20 You're looking first at the DEIS?

21 MR. CUTIETTA-OLSON: Right, I was  
22 referring to the DEIS before. Applicant's

23 Exhibit 47 uses -- refers to DEP's Giggle  
24 Hollow data, our 1991 data, and comes up with  
25 a load in kilograms per year that if you then

1 divide out by the area, comes down to an  
2 export coefficient of .0927 kilograms per  
3 hectare per year, which is about twice what I  
4 calculated here as an average.

5 One of the reasons for that, if you  
6 look at these data, it turns out that Giggle  
7 Hollow has the highest concentration of any of  
8 the sites that we're monitoring. It also has  
9 among the highest flows, so it's going to have  
10 the highest load. In my opinion, again, it  
11 has also the larger watershed, but when you  
12 area weight the averages of all the sites,  
13 you're getting a clearer picture of what is  
14 going on overall on the mountain.

15 The other reason that there's a  
16 substantial difference is that the Applicant  
17 in the June '04 submission used a  
18 precipitation value of 50 inches, which was  
19 different from 32 inches that was originally  
20 used in the DEIS, and different from the  
21 38 inches that I used. And I think they were  
22 using an annual precipitation value rather

23 than trying to portion out that March to

24 November portion of that annual value.

25 But again, if you add more water to

1 the system, because flow is a part of the  
2 load, you increase the load. So the  
3 50 inches, added to the fact that Giggle  
4 Hollow has the highest export already, is the  
5 reason why that -- the coefficient they  
6 presented in June is still twice of what I'm  
7 calculating is the average coefficient off  
8 that mountain overall.

9 TSS has not been recalculated, but I  
10 do expect that it would show, if it was  
11 recalculated, using data that we developed,  
12 there would be substantial differences in the  
13 results of the assessment.

14 MS. MELTZER: If the Applicant were to  
15 reevaluate?

16 MR. CUTIETTA-OLSON: If the Applicant  
17 were to reevaluate TSS using the data that we  
18 have.

19 And the final point I want to make is  
20 again, we're not saying that this particular  
21 development is going to result in phosphorous  
22 loads that will cause a eutrophication problem

23 or total suspended solid loads that will  
24 result in excessive turbidity at aqueduct  
25 intakes, but the purpose of an environmental



1 assessment is to look at the incremental  
2 difference between a pre- and a  
3 post-condition.

4 If the preexisting condition,  
5 preexisting load or export is high relative to  
6 the increment, it doesn't look like there's a  
7 substantial environmental cost relative to the  
8 benefit of a given project; but if the  
9 preexisting load is very small, that same  
10 incremental difference between pre- and  
11 post-conditions could become -- could appear  
12 more significant.

13 So it's very critical that we use this  
14 time to accurately characterize what the  
15 preexisting condition is to assess what the  
16 environmental cost of the project will be  
17 relative to the benefit.

18 MS. MELTZER: Charlie, could you speak  
19 for a moment to what we found overall coming  
20 off this site, what the data showed coming off  
21 this site, both in terms of proportion of  
22 rainfall that ultimately was runoff and in

23 terms of pollutant concentrations?

24 MR. CUTIETTA-OLSON: The

25 concentrations of phosphorous and total

(STORMWATER ISSUE)

4511

1 suspended solids are very, very low. I didn't  
2 get the exact numbers, but I believe they're  
3 going to be near what would be considered  
4 irreducible concentrations for the purposes of  
5 stormwater management. In other words, you  
6 could not get them any lower than they are  
7 currently.

8           What we found with the -- looking at  
9 discharge in the stream versus the amount of  
10 precipitation we're recording at our rain  
11 gauges at the site is that during storms, very  
12 substantial proportions of the water are  
13 infiltrating, and that most of the water in  
14 these watersheds is coming out of the system  
15 as baseflow, which is logical in a forested  
16 watershed, but is not what happens in  
17 developed areas with stormwater controls where  
18 there is not as much infiltration.

19           Again, we would have to -- I didn't  
20 get into exactly comparing what we measured RV  
21 values, it's a coefficient -- what we did was  
22 we actually took the total volume of rain that

23           fell within the watershed of one of our --  
24           above one of our sampling points and the  
25           volume of discharge that we measured at that

1           sampling point. And you divided the discharge  
2           by total volume of rain, and you get some  
3           number less than 1, because not all the rain  
4           that falls on the site actually runs off the  
5           site. Some of it evaporates, some of it goes  
6           up to the plants.

7                     ALJ WISSLER: How did you determine  
8           the amount of rain?

9                     MR. CUTIETTA-OLSON: We have rain  
10          gauges at the sites, tipping bucket rain  
11          gauges. During storms, that coefficient --  
12          the coefficients that we looked at -- were  
13          often far less than 1 percent of the volume  
14          that fell on the watershed actually ran off  
15          the watershed during that storm. And the vast  
16          bulk of water that's coming off these  
17          watersheds, if you look at it on a per-year  
18          basis, March to November, the precip. that we  
19          measured versus the discharge that we measured  
20          coming out of the stream, the vast bulk of  
21          that water that is coming out as baseflow in  
22          those streams -- which is actually one of the

23 protectors of water quality. It's that  
24 baseflow that's colder, that's cleaner because  
25 it's filtered now through the ground, and it's

1 part of that process that helps to protect  
2 overall water quality and habitat.

3 ALJ WISSLER: You used the rain gauge  
4 at Arkville. Tell me how that was used in  
5 your analysis here and where is the data that  
6 you referred to.

7 MR. CUTIETTA-OLSON: The Arkville  
8 data, it's a NOAA station, it's a National  
9 Oceanic and Atmospheric Administration  
10 station. So I was able to get the  
11 precipitation record from one -- from the head  
12 of hydrology group at DEP, Jim Mayfield, was  
13 able to provide me with that record. And it  
14 simplified my analysis as opposed to looking  
15 at each -- the rain gauge at each individual  
16 site.

17 To be perfectly honest, Dave  
18 VanValkenburg, who is a scientist, who is  
19 actually the field person who conducts this  
20 work, was on vacation at the time that I was  
21 doing this analysis, and I couldn't get him to  
22 get all the rain data for each of the

23 individual sites and do the analysis for me  
24 that would allow me to do it in a more  
25 site-specific way. But Arkville is not so



1 distant from the mountain, and I felt for the  
2 purpose of this analysis, it was reasonable.

3 ALJ WISSLER: Is Arkville the closest  
4 NOAA station?

5 MR. CUTIETTA-OLSON: I think so.  
6 There is another one. I think there might be  
7 one at Big Indian, but I don't know if that's  
8 NOAA or participating volunteer. It is one of  
9 the closer stations. When I talked to Jim  
10 Mayfield, he seemed to feel that that would be  
11 fair.

12 ALJ WISSLER: That's daily  
13 precipitation data collected at that site?

14 MR. CUTIETTA-OLSON: Yes.

15 ALJ WISSLER: Charlie, you indicated  
16 that from that data, you avoided dates where  
17 you had a half inch of precipitation?

18 MR. CUTIETTA-OLSON: When that gauge  
19 showed half an inch of precipitation falling  
20 within a 48-hour period, I marked those dates  
21 as storm dates so that if I did not have any  
22 concentration data, I substituted in the storm

23 concentration that I developed, and I go  
24 into -- in the submission, I describe how I  
25 developed those concentrations.

1                   If I had a sample on that date, I used  
2                   the data that I had. For those dates where it  
3                   was not raining, which is most dates in the  
4                   record, and one of the data appendices  
5                   actually has the precipitation, the stream  
6                   flow records, and it indicates which dates I  
7                   used storm concentrations for.

8                   ALJ WISSLER: That's appended to --

9                   MR. CUTIETTA-OLSON: Appendix A is the  
10                  discharge data for each site.

11                  ALJ WISSLER: Explain those to me.

12                  MR. CUTIETTA-OLSON: The data  
13                  appendices?

14                  ALJ WISSLER: Yes, take a look at the  
15                  first one for Belle5.

16                  MR. CUTIETTA-OLSON: Data Appendix A,  
17                  discharge data for Belle5 is daily discharge,  
18                  this is a mean value taken as a simple  
19                  arithmetic mean of 15-minute interval  
20                  measurements. You'll note there's a column  
21                  that says "flow code," and there are S's  
22                  there.

23                           ALJ WISSLER:  So the discharge in  
24                           cubic feet per second would be a reading taken  
25                           every 15 minutes through the 24-hour period?

(STORMWATER ISSUE)

4516

1 MR. CUTIETTA-OLSON: An average of all  
2 those readings taken every 15 minutes.

3 ALJ WISSLER: So 24 hour times 4  
4 divided by whatever that is?

5 MR. CUTIETTA-OLSON: Right. Average  
6 of 96. 96 readings.

7 ALJ WISSLER: Let me ask you this: If  
8 we look at 3/26/2002, and then we go to 3/27,  
9 we see a jump. Is that an indication of a  
10 precipitation event?

11 MR. CUTIETTA-OLSON: Yeah, because now  
12 it's raining, but the rain has stopped at the  
13 end of 3/27, but you can see the discharge is  
14 still high because now --

15 ALJ WISSLER: The effects of the rain?

16 MR. CUTIETTA-OLSON: But it's not  
17 overland flow, it's not storm flow anymore in  
18 the stream, it's increased baseflow.

19 In other words, when you have storm  
20 flow, there's an assumption that there's this  
21 overland flow component. That's what's  
22 carrying pollutants directly into the stream.

23           When the water comes in as baseflow through  
24           the groundwater, that's just water coming up  
25           through the bed sediments, and it's not

1 typically -- it's certainly not carrying  
2 suspended pollutants like total suspended  
3 solids. It could be carried dissolved  
4 pollutants, like nitrate or ammonia; but for  
5 example, total phosphorous, a substantial  
6 amount of total phosphorous is particulate  
7 associated.

8 So, you know, there might be dissolved  
9 phosphorous in that baseflow, but there's not  
10 going to be much particulate phosphorous  
11 coming from that baseflow, unless it's somehow  
12 in the stream and getting re-suspended.

13 But in any case, yes, you see the  
14 flows jump.

15 ALJ WISSLER: The longer it takes them  
16 to get back to whatever that 28 or some value  
17 in that area?

18 MR. CUTIETTA-OLSON: You can see, it  
19 starts to get back down now around April 11th,  
20 '02. It's coming back down to what it was at  
21 3/25.

22 ALJ WISSLER: The number of days it

23 takes it to come back down to whatever that  
24 lowest level is is a function of how much  
25 precipitation was experienced?



1                   MR. CUTIETTA-OLSON: Yes. It's a  
2                   function of a number of things. It's a  
3                   function of the storage in the aquifer above  
4                   the sampling point in that stream because it's  
5                   the aquifer in the mountain that's  
6                   contributing to that baseflow. So when it  
7                   rains, that aquifer is recharging, it's  
8                   storing water.

9                   And in the case of the stream, it's a  
10                  shallow aquifer, it's not the deep aquifers  
11                  that, for example, Pine Hill is tapping for  
12                  its water supply. It's a shallower aquifer  
13                  that's contributing to that stream.

14                 Actually, what happens, you can  
15                 imagine, like a sponge -- if you have a  
16                 sponge, you have it wet and you were holding  
17                 it vertically and it's starting to run out, it  
18                 doesn't just run out all at once, the water  
19                 coming off that sponge starts at some larger  
20                 amount and then gets smaller before it stops  
21                 running out. It's like the head pressure  
22                 actually is going down too at the same time.



1           some water.  So there's always some amount of  
2           aquifer available there.

3                   ALJ WISSLER:  Tell me what the flow  
4           code S means.

5                   MR. CUTIETTA-OLSON:  That means that  
6           during those dates, it was raining.  So if I  
7           didn't have any data for those dates, then the  
8           concentration that I substituted into that  
9           date is the storm flow concentration data  
10          which is in Tables 5 and 6, which is a higher  
11          concentration.

12                   And this now allows me to treat storm  
13          events as contributors of pollutants, because  
14          you're now getting overland flow and there is  
15          an assumption -- and it was borne out to some  
16          extent by the data -- that storm flow  
17          concentrations of phosphorous were higher than  
18          baseflow concentrations of phosphorous.

19                   In my professional opinion, they were  
20          not a lot higher, but as I said, after  
21          speaking with the modelers, they convinced me  
22          that I should find a way to treat those two

23 different things differently to provide a more  
24 accurate picture of what the actual pollutant  
25 loads were.

1                   So by coming up with a separate storm  
2                   flow concentration, which is higher, I'm now  
3                   taking into account the increased pollutant  
4                   loads that occur during storms.

5                   ALJ WISSLER: Ms. Meltzer, maybe it's  
6                   available on the web, the NOAA data for that  
7                   Arkville site; do we have that?

8                   MS. MELTZER: I believe it is, but  
9                   I'll provide either the website or I can  
10                  provide the data itself.

11                  MR. CUTIETTA-OLSON: I could certainly  
12                  get it for you.

13                  ALJ WISSLER: If you have -- for  
14                  whatever years you have.

15                  MR. CUTIETTA-OLSON: So you want me to  
16                  provide you with the NOAA gauge data?

17                  ALJ WISSLER: From Arkville, yes.  
18                  What years did you say you had?

19                  MR. CUTIETTA-OLSON: The gauge data,  
20                  they had '93. I would have to look at my  
21                  notes to actually find out how long it went.  
22                  I looked at specifically '02 and '03 to

23           compare them to determine which would be a  
24           more representative year for the purpose of  
25           developing this coefficient.

1                   In other words, you want some year --  
2                   if you're going to develop something like  
3                   this, that you want to use to extrapolate to  
4                   areas where you don't have any data and you're  
5                   going to use it for long-term planning  
6                   processes, you want something that reflects a  
7                   longer term average. I'm not looking for a  
8                   worse case here. I'm not looking for the best  
9                   case here. I'm trying to come up with the  
10                  closest I can the middle ground.

11                  MS. MELTZER: So if we had had data  
12                  from a 10-year period, we might have --

13                  MR. CUTIETTA-OLSON: I might have  
14                  picked a different year.

15                  MS. MELTZER: You might have picked a  
16                  different year or picked the range of years,  
17                  but given you had one normal year and one very  
18                  wet year, it made more sense to use the normal  
19                  year?

20                  MR. CUTIETTA-OLSON: Yes, which is  
21                  still a little higher than the long-term  
22                  average, but I didn't feel it was so much

23 higher that it invalidated the results.

24 ALJ WISSLER: Okay. If you have it

25 for the last five years, that would be great.



1 MS. MELTZER: We have nothing further.

2 MS. BAKNER: We don't really have any  
3 comments about what we just saw from Charlie,  
4 so I think we'll just reserve on that and  
5 comment later if that's okay with your Honor.

6 ALJ WISSELER: That's fine.

7 MS. BAKNER: We appreciate having the  
8 information. I have one question. I just  
9 have a question for Hilary. I notice that  
10 Charlie has said several times that he spoke  
11 with the modelers. Are you planning on  
12 providing -- and I also notice he focused on  
13 just the summer months which is what one would  
14 use in a WinSLAMM model. Are you proposing to  
15 or have you run those numbers in the WinSLAMM  
16 model?

17 MS. MELTZER: No.

18 MS. BAKNER: I was just curious.

19 We can go ahead with Dave Carr if  
20 that's okay with your Honor.

21 ALJ WISSELER: That's fine. If we have  
22 completed this area, I'll take responses.

23 MR. ALTIERI: We don't have any

24 responses. We'll reserve.

25 MR. GOLDSTEIN: No responses.

1 MR. RUZOW: Part of our presentation  
2 today deals with a parallel path.

3 MS. BAKNER: Right, we will return to  
4 the phosphorous issue, but it's not directly  
5 related to what Charlie presented. It's  
6 presenting some more model information, as  
7 well as some more calculations that Mr. Long  
8 did, but if it's all right with you, we would  
9 like to go through the HydroCAD stuff first,  
10 your Honor.

11 You asked me to go through the  
12 exhibits. The first exhibit is Applicant's  
13 Exhibit 149, which is a June 10th, 2004 letter  
14 to Susan Amron at DEP from John Dunn at --

15 MR. YOUNG: Can I interrupt you for  
16 one second, Terresa.

17 Can I ask one question of Charlie or  
18 Hilary?

19 MS. BAKNER: Sure.

20 MR. YOUNG: You talked about -- when  
21 you were comparing pre-development versus  
22 post-development and you expressed that it was

23           important to use an average; not the worst,  
24           not the best, but what was realistic over  
25           time. Is that the same standard you used when

1           you calculate post-development coefficients;  
2           that you're not looking for the worst or the  
3           best, but you're looking for the same average  
4           so you can compare apples to apples?

5                   MS. MELTZER: I think it depends on  
6           for what purpose you're looking at the  
7           post-development information. For purposes of  
8           designing a stormwater pollution prevention  
9           plan, you need to be looking at the high end  
10          of the potential pollutant loading because  
11          that's what you need to mitigate. For  
12          purposes of evaluating the overall impact --  
13          if you're looking at long-term average  
14          pollutant loadings from the site, I think you  
15          look to the average, but I don't think there's  
16          a single answer to that question.

17                   MR. YOUNG: I'm looking at the  
18          increment, I guess.

19                   MS. MELTZER: For what purposes? The  
20          purpose of designing a plan?

21                   MR. YOUNG: Any purpose. In other  
22          words, if you're looking at an increment,

23           whether it's an increment during a storm event  
24           or an increment during a normal day. I take  
25           it what you want to know is what the

1 pre-development levels were during a storm  
2 event, and compare that with a  
3 post-development level during a storm event.

4 So this coefficient is useful in  
5 looking only at the increment over a long-term  
6 basis, but it's not necessarily useful in  
7 looking at the increment in any type of  
8 short-term storm basis?

9 MS. MELTZER: Again, I'm not sure what  
10 purpose you're talking about. I don't want to  
11 speak for Joe and Charlie, and I'll let them  
12 address this, but we haven't looked at what a  
13 post-development export coefficient for  
14 phosphorous or suspended solids would be.

15 You guys can speak to whether you  
16 would view literature values is appropriate  
17 for looking at post-development pollutant  
18 loadings from turf or from impervious surfaces  
19 or from other post-development areas. This  
20 isn't something obviously we calculate based  
21 on data because we don't have the data.

22 Would you look to literature values

23 for those export coefficients?

24 MR. CUTIETTA-OLSON: You wouldn't have  
25 a choice. You would have to look at export



1 coefficients. We don't have post-development  
2 export data for things like golf courses or  
3 small subdivisions in the Catskills. We've  
4 never done it before.

5 MS. MELTZER: I'm not sure if that  
6 answers your question, but that's what would  
7 be comparable for post-development conditions  
8 would be literature values, because we don't  
9 have real data, but where there is real  
10 data -- we're saying we have a preference for  
11 using it.

12 MR. YOUNG: My question is: Charlie  
13 started his presentation by saying the key  
14 here is to look at -- Charlie indicated that  
15 the City is not taking the position that this  
16 particular project is a significant source of  
17 phosphorous such that it would cause  
18 eutrophication of the reservoir, it's not a  
19 significant source of TSS that's going to  
20 cause a major turbidity problem, but that it  
21 was --

22 MS. MELTZER: I'm not sure he said

23           that.

24                           MR. YOUNG:  But the focus was looking

25           at what the background level of turbidity was

1 and the background level of phosphorous.

2 And I guess -- so my question is:  
3 When you were talking about what the increment  
4 is, were you talking about the increment over  
5 a long-term because that's the average,  
6 average typical year mass loading of TSS and  
7 phosphorus?

8 MR. CUTIETTA-OLSON: Specifically for  
9 my analysis, the average condition that I'm  
10 looking at has to do with the amount of  
11 precipitation because that is one of the  
12 factors that drives the load.

13 In the DEIS, they looked at 32 inches  
14 of precipitation as representative of the  
15 long-term average, and they used that same  
16 value of precipitation for their pre-analysis  
17 and their post-analysis, and that is the way I  
18 would expect it would be done.

19 MR. YOUNG: Thanks.

20 MS. BAKNER: The first one is  
21 Exhibit 149, it's a June 10th, 2004 letter to  
22 Susan Amron at New York City DEP from John



1 is an excerpt of the US EPA Construction Fact  
2 Sheet, Part 2, Federal Register Notice,  
3 Wednesday, September 9th, 1992.

4 The next exhibit, 151, is the DEC  
5 General SPEDES Permit for construction  
6 discharges, GP-93-06; and it was from August  
7 1st, '93 through August 1st, 1998.

8 152 is a resume of Guy A. Apicella.

9 153 is a resume of Steven G.  
10 Bilheimer.

11 154 is a resume of Scott A. Lowe.

12 155 is a resume of Thomas B.  
13 Vanderbeek.

14 156 are excerpts from the Source  
15 Loading and Management Model prepared by Pitt,  
16 Dr. Pitt and Mr. Voorhees, and it's dated  
17 2000. These are excerpts. These were the  
18 ones that your Honor requested when we went  
19 through that analysis.

20 Exhibit 157 are revised Total  
21 Phosphorous Loading Calculations and  
22 Comparisons, prepared by the LA Group dated

23 August 24th, 2004, which will be the topic of

24 testimony by Mr. Long.

25 Exhibit 158 is the Big Indian Access

1 Road Construction Phasing Plan. It's a plan  
2 drawing, PH-4, dated August 24th, 2004, and  
3 described in a memo from Mr. Long to  
4 Mr. Ciesluk dated August 25th, 2004. Either  
5 Mr. Long, Mr. Carr or Mr. Franke will present  
6 that.

7 Exhibit 159 is a Sheet Flow Analysis,  
8 which is a sensitivity analysis prepared by  
9 the LA Group dated August 25th, 2004. That  
10 will be presented by Mr. Carr.

11 Exhibit 160 is an addendum to the  
12 Stormwater Management Report, and a list of  
13 plans. There's SD-5, SD-6, SD-7, SG-1, SG-6,  
14 SG-7, SG-8, SG-9, SG-10 and SG-5. They've all  
15 been -- they all have revised dates on them.  
16 That will be presented by Mr. Carr, and that  
17 addresses the concerns raised regarding the  
18 Big Indian stormwater operation phase overland  
19 discharges.

20 Exhibit 161 is the Belleayre Resort  
21 Watershed Model performed by Lawler, Matusky &  
22 Skelly, the HSPF model, and it's dated August

23 25th, 2004, and Dr. Lowe is here to present

24 that.

25 Dave, if you want to take it away.



1 MR. CARR: As Terresa mentioned, first  
2 I'm going to focus on Exhibit 159, which is a  
3 sheet flow analysis that we compiled.

4 From our last get-together here at the  
5 Issues Conference when we were talking about  
6 stormwater, Mr. Damrath spoke of not  
7 introducing sheet flow into the HydroCAD  
8 model, that it would artificially raise the  
9 peaks and cause the ponds to be undersized.

10 Later in the proceedings,  
11 Mr. Ferracane also mentioned the concern of  
12 the lack of sheet flow, yet he stated that if  
13 it was looked at consistently between the  
14 pre-development and the post-development  
15 condition, that it's probably okay.

16 So I felt it was warranted to go back  
17 and pull a sub-watershed out of one of the  
18 models and introduce sheet flow to show  
19 exactly what it would do, and that's what this  
20 Exhibit 159 is. And I'll go through that with  
21 you.

22 Again, I want to reiterate, it's still

23 my contention that introducing sheet flow in  
24 this model is not correct because of the  
25 slopes and the conditions out there, that it

1 doesn't exist. Mostly it's utilized on plane  
2 surfaces, but for purposes of discussion, I  
3 wanted to introduce that sheet to see exactly  
4 what would happen.

5           If you turn to Exhibit 159, there  
6 are -- the third and fourth page are two  
7 figures. They're actually reductions of  
8 drawings SD-1 and SD-2 that indicate the study  
9 area I utilized. It's an approximately  
10 87-acre area in Wildacres. And SD-1 is the  
11 existing condition and SD-2 is proposed  
12 condition.

13           If you turn right to Table 1, which is  
14 on the first page of the analysis, basically  
15 what Table 1 indicates is that in the  
16 pre-development condition, there's one  
17 subcatchment; in the post-development  
18 condition, it's broken down into ten  
19 subcatchments.

20           Basically what we did, to be  
21 consistent, is we utilized a sheet flow  
22 segment in every subcatchment where it could

23 possibly happen. Obviously in an area that  
24 possibly starts with a channel and sheet flow  
25 doesn't exist, and it would be totally

1 incorrect to introduce it into that  
2 subcatchment, so we didn't do that.

3 And I don't think that happened in any  
4 one of these subcatchments, but the longest  
5 segment you can use is 150 feet. That  
6 requirement is in the Guidelines for Urban  
7 Erosion Control dated April 1997, and it's on  
8 page 10.19 which states that a sheet flow --  
9 after 150 feet, sheet flow then turns to  
10 shallow concentrated upland flow.

11 So obviously we never introduced a  
12 segment longer than 150 feet because that  
13 would not meet the required standards.

14 Basically Table 1 is a table of just  
15 the straight time of concentration. So by  
16 adding sheet flow into each of these  
17 subcatchments has increased the time of  
18 concentration in the pre-development and the  
19 post-development condition.

20 So in other words, in pre-development,  
21 subcatchment 4, the time of concentration went  
22 from 64.2 minutes to 70.2 minutes. So that

23 means from the farthest point in the  
24 watershed, that's the amount of time it takes  
25 for a drop of water to reach from one end of

1 the watershed to the other, to the design  
2 point. Without sheet flow, again, 64.2; with  
3 sheet flow, 70.2.

4 So again, yes, the peak rate did  
5 decrease, but then you have to look at the  
6 post-development condition. And in turn, as  
7 you can see, with the ten subcatchments, the  
8 peak also decreases there as far as length of  
9 time, and there are some stark differences. I  
10 want to show you what those differences mean.

11 If you turn to page 36 in the  
12 Wildacres Resort proposed HydroCAD model, and  
13 page 14, a duplicate one. What page 36 is, if  
14 you look at subcatchment 105, that is the  
15 modeled subcatchment as we've proposed it in  
16 our HydroCAD model. There is no sheet flow  
17 component in the time of concentration. The  
18 time of concentration is shown at the bottom  
19 of subcatchment 105. You'll see shallow  
20 concentrated upland flow, and if you look over  
21 to the right, it will give you a TC, which is  
22 time of concentration, in minutes.

23                    So the first segment is .7 minutes,  
24                    the second segment is 9.2 minutes, the third  
25                    segment is 5.2 minutes. Each segment depicts



1           either a change in cover type or a change in  
2           grade, so what you end up with is a total time  
3           of concentration, which in this case is 15.1.

4                     MR. RUZOW:  On Table 1, if you look  
5           under 105 on the side, you'll see that?

6                     ALJ WISSLER:  Right.

7                     MR. CARR:  If you turn to page 14,  
8           this is where we introduce sheet flow, which  
9           you would normally do on paved surfaces.  As  
10          you can see, the first 100 feet is modeled as  
11          sheet flow.  And the time of concentration, if  
12          you flip back, has actually doubled from .7  
13          minutes to 1.4 minutes.  So the actual time of  
14          concentration length, overall length is the  
15          same, 1,300 feet, but the time of  
16          concentration has risen that .7 minutes.  So  
17          what this indicates is for smooth surfaces,  
18          the changes aren't that great.

19                    But if you turn to page 37 and look at  
20          subcatchment 107 and page 15, which are the  
21          two following pages, subcatchment 107, the  
22          first segment is within a densely wooded area.

23           You can see in the proposed model, the first  
24           segment is 11.9 minutes. Just taking the  
25           first 150 feet out of that 400-foot segment,

1 which is shown on page 15, that rises to 34  
2 minutes.

3 So the differences are greater in  
4 wooded areas. So where the coefficient of  
5 friction, or the friction on the ground is  
6 greater, adding sheet flow more largely  
7 increases the time of concentration. On  
8 smooth surfaces, its very close, not much  
9 change; where there's a lot of friction, the  
10 increases are increased quite a bit.

11 But remember, you have to do this in  
12 the pre-development and post-development  
13 condition.

14 What this does is, if you go to  
15 Table 2, and thinking about that subcatchment  
16 107 where the time of concentration went --  
17 back to Table 1, and I'm sorry we are flipping  
18 back through tables, but the time of  
19 concentration went from 15.8 to 45.7 minutes,  
20 almost tripling.

21 If you go to Table 2, look at pond 7,  
22 which includes subcatchment 107, the required

23 storage actually dropped from .49 acre feet to  
24 .45 acre feet. So by flowing the water down,  
25 the ponds aren't artificially small, they're

1           actually a little bit artificially large -- by  
2           a small amount. But again, that shows you the  
3           difference what adding sheet flow does.

4                     It's correct. The statement that was  
5           made was that if you don't introduce sheet  
6           flow in the pre-development condition, your  
7           peaks are going to be artificially increased.  
8           I don't agree with the word "artificial," but  
9           it is increased. But again, you have to  
10          consistently do that in the post-development  
11          condition.

12                    What this indicates, if you take that  
13          sheet flow segment and use it consistently  
14          between pre-development and post-development,  
15          what happens is your ponds can actually become  
16          a little smaller in this scenario, because of  
17          the amount of wooded areas we have on this  
18          site.

19                    Basically what Table 3 is, is kind of  
20          a synopsis of all the flows running off the  
21          site. On Table 3, the differences overall  
22          between adding sheet flow and not having sheet

23 flow are very small.

24 I know that's a lot of information.

25 Do you have any questions on that?

1 ALJ WISSLER: No, I mastered it all.

2 MR. CARR: Basically the front is the  
3 narrative with the tables, and the back of  
4 this exhibit shows all the HydroCAD runs  
5 between what was submitted and the model where  
6 we added the sheet flow. So you could go back  
7 and at a later date compare each subcatchment.

8 MS. BAKNER: Dave, just to ask a few  
9 questions. You wanted to be responsive to  
10 criticism that we hadn't incorporated sheet  
11 flow in pre-development?

12 MR. CARR: Correct.

13 MS. BAKNER: And the goal of this --  
14 as you understand the principles of HydroCAD,  
15 if you use sheet flow in the pre-development  
16 and then you don't use sheet flow in the  
17 post-development, is that appropriate?

18 MR. CARR: If you do use it in the  
19 pre-development and don't use it in the  
20 post-development. What would happen would  
21 be -- your times of concentration in the  
22 post-development would increase and

23 pre-development would decrease. You would  
24 need to use it consistently through the model.  
25 If you use it in one case, you have to use it



1 in the other case.

2 But again, I want to reiterate that  
3 the existing -- in my opinion, the existing  
4 site conditions dictate that, you know, you  
5 wouldn't utilize that sheet flow because the  
6 description of sheet flow is water moving over  
7 plane surfaces, and those surfaces should be  
8 consistent. That's why -- you normally use  
9 sheet flow for parking areas.

10 ALJ WISSLER: You chose the study area  
11 here that you chose because it's the most  
12 level?

13 MR. CARR: Correct. It's probably the  
14 most level -- Big Indian in general is steeper  
15 than Wildacres, but correct.

16 MS. BAKNER: So you gave it a very  
17 fair shot. You picked the spot where it would  
18 make the most sense, even though you don't  
19 agree it makes sense or is appropriate to use  
20 the model in that way even at this location?

21 MR. CARR: Correct.

22 MS. BAKNER: Does anyone share your

23 opinion on that issue? Did you have anyone  
24 else peer review the issue of sheet flow, no  
25 sheet flow?

1                   MR. CARR: LMS looked at it -- I gave  
2                   them my explanation, and they totally agreed  
3                   with it. There is no directive that says  
4                   sheet flow -- all drainage starts with sheet  
5                   flow, it has to exist.

6                   Even in talking with Scott, Scott  
7                   Lowe, who you will hear from later, last  
8                   evening, he kind of looked over at me and  
9                   said: Why would you use sheet flow in this  
10                  model, considering the site conditions out  
11                  there; being wooded, being steep slopes, being  
12                  inconsistent?

13                  So you would just not utilize that in  
14                  that condition. It's more of an urban -- it's  
15                  more of an urban-type segment.

16                  MS. BAKNER: In addition to the  
17                  challenge of modeling this in terms of its  
18                  rural nature and it's unusual characteristic  
19                  over other typical developments, unusual in  
20                  the sense that, as Charlie said earlier, it's  
21                  so homogeneous, it's so wooded, is there  
22                  anything about the choice that you have made,

23            your professional judgment, that results in  
24            the analysis being less protective of the  
25            environment?

1 MR. CARR: Less protective -- no.

2 MS. BAKNER: In fact, if you use sheet  
3 flow, we most likely have, on average, smaller  
4 basins rather than larger basins?

5 MR. CARR: Probably. In this case,  
6 yes.

7 MS. BAKNER: And you don't know of any  
8 reason why it wouldn't, on average, be  
9 larger -- they wouldn't, on average, be  
10 smaller using sheet flow --

11 ALJ WISSELER: What does "probably"  
12 mean?

13 MR. CARR: Well, I didn't look at the  
14 entire model. I can only speak -- from what I  
15 analyzed the answer is yes, but I think you  
16 have to look at the entire model, and I  
17 haven't done that.

18 MS. BAKNER: Fair enough.

19 MR. RUZOW: We didn't ask you to. We  
20 asked for your judgment about what would be  
21 the most likely to yield the changes.

22 MS. BAKNER: Right. Does this get

23           affected at all by the fact that there's so  
24           much forested land that's going to remain  
25           unchanged pre- and post-development?

1 MR. CARR: For sheet flow?

2 MS. BAKNER: Yes.

3 MR. CARR: No. And I don't think it's  
4 the cover type that's the variable here. I  
5 think it's the undulations of the land and the  
6 quick changes in grade and those things.  
7 Sheet flow can happen in a wooded area or it  
8 can happen in a paved area, but I think it has  
9 more to do with grade and the actual condition  
10 of the site. It is unusual to have sheet flow  
11 within a wooded area, yes, but it could  
12 happen.

13 MS. BAKNER: Dan, did you have any  
14 other questions?

15 MR. RUZOW: No.

16 MS. BAKNER: Do you want to go ahead  
17 at this point and discuss 160, which is the  
18 changes to the Big Indian post-construction  
19 stormwater operation plans?

20 MR. CARR: Actually, before I get into  
21 that, I want to touch on one item that came to  
22 our attention that I don't believe was

23           discussed in the Issues Conference.

24                       MS. BAKNER: That is attached

25           however --



1 MR. CARR: That is attached to  
2 Exhibit 160, that's correct.

3 MS. BAKNER: Can you just say for the  
4 record what the designation is?

5 MR. CARR: Yes, drawing SG-1, which is  
6 a grading plan from Wildacres Resort. It came  
7 to our attention that the New York State  
8 Department of Health had a concern with a  
9 number of the ponds that are in close  
10 proximity to the Fleischmanns water supply.  
11 So they asked us to go back and look at ponds  
12 14, 16, 17, 19, 20 and 23, six ponds in total.

13 MS. BAKNER: Let me clarify that a  
14 little bit. They asked us specifically to  
15 line the ponds?

16 MR. CARR: Yes, line the ponds. So  
17 what we introduced to those six ponds is a  
18 clay liner, which would be -- what we're  
19 proposing at this point is a geosynthetic clay  
20 liner that can be placed. A foot of good soil  
21 can be placed over the top of it which would  
22 accept vegetation.

23                                Obviously these ponds are going to be  
24                                vegetated. Basically this did not change the  
25                                hydrology, nor the model because in this area,

1 the soils are fairly poor and we were not  
2 taking any credit for infiltration anyway so  
3 the model didn't change.

4 MS. BAKNER: So when you say poor, you  
5 mean they were essentially impervious?

6 MR. CARR: Essentially, but this  
7 guarantees that they're impervious.

8 MS. BAKNER: What do you estimate, if  
9 you know, the additional cost associated with  
10 that?

11 MR. CARR: I don't know.

12 MS. BAKNER: But it is certainly  
13 additional cost over the original proposal?

14 MR. CARR: Correct.

15 MR. RUZOW: That revised drawing is  
16 now found in Applicant's Exhibit 160?

17 MR. CARR: Yes.

18 Now what I would like to address is  
19 the concern that Pat Ferracane from New York  
20 State DEC voiced with respect to 10 ponds  
21 along the Big Indian Plateau, specifically  
22 concerned with the overland discharges

23           emanating from those ponds.

24                        If you remember, the ponds are at

25           Belleayre Highlands, pond 8, which was labeled

1 as a work level spreader here. You can go  
2 to -- SD-6 is what I'm pointing to. 8, 13,  
3 15, which is over on this side, 16, 17 and 21,  
4 those six ponds on the Belleayre side of the  
5 world and an SD-7, pond 25, which resided in  
6 this area, and ponds 36, 37 and 38. Those are  
7 indicated on sheet SD-7.

8 The concern was -- had to do with  
9 overland discharges mainly associated with the  
10 100-year storm emanating from these ponds  
11 turning to overland flow, down steep slopes  
12 and causing erosion.

13 What we did was we went back and  
14 looked at the model to see how we could deal  
15 with those overland flows. Basically what we  
16 have done is we have eliminated them all  
17 together in all cases. I will go through them  
18 in detail. The discharges from all these  
19 ponds now are either piped to other ponds, go  
20 to stone channels or are actually piped to  
21 discharge points. So there's no free-flowing  
22 discharge overland of these ponds, which was

23 the concern.

24 So what I would like to do is show you

25 how we have done that. And if you turn to

1 sheet SD-5. SD-5 is the pre-development model  
2 for Big Indian Plateau.

3 Basically by redesigning this, it  
4 caused us to change the model a little bit.  
5 What we have done is -- Design Point 3 moved  
6 to the south up Woodchuck Hollow Road, Design  
7 Point 4 has been eliminated altogether so we  
8 are sending no discharges to the Lost Clove  
9 Road side. Everything is going to the north  
10 now. The area to Design Point 2 has been  
11 reduced.

12 And in a separate matter, not having  
13 to do with this, we've added a pond at Design  
14 Point 7 and Design Point 8. And Design  
15 Point 7 is the employee parking area and  
16 Design Point 8 is the lower section of the  
17 entry road which were missed in the original  
18 HydroCAD model. So we added those additional  
19 design points. Those are not related to the  
20 concern with overland discharge.

21 So, what I would like to do is go to  
22 the SG drawings because that shows in detail

23            what we have done here.  SG-5, which is  
24            Belleayre Highlands and includes -- I don't  
25            know why I didn't color it -- but ponds 13,



1           16, 17, and the level spreader at 8.  
2           Basically in the last iteration for the  
3           100-year storm, basically there was a weir and  
4           they discharged over land down the slopes, and  
5           that's what precipitated the concern.

6                     What we have done is we have taken all  
7           of the ponds, including 13, 16, 17, and all  
8           the ponds to the south were upslope, basically  
9           are all interconnected via pipes or swales to  
10          ponds 16 and 17. So basically, it's almost  
11          like a funnel. They're routed through  
12          ponds -- which that happened in many cases  
13          before, but we actually tightened it up a  
14          little bit.

15                    Then when you get to pond 16, the  
16          discharge happens at a -- there's an existing  
17          swale which exists along a driveway which goes  
18          to the Brisbane mansion that exists on the  
19          mountain.

20                    So our proposal is to improve that  
21          swale and take all those discharges down that  
22          improved swale, across Woodchuck Hollow Road

23           with a culvert and have a direct discharge  
24           into Woodchuck Hollow. So instead of  
25           discharging down the slope, we were actually

1 taking it to a point to the water course, and  
2 controlling it all the way to the water  
3 course.

4 ALJ WISSLER: Everything you have  
5 covered in, the swale drainage routes are all  
6 on this; just not colored?

7 MR. CARR: Right. I could leave you  
8 the colored one.

9 ALJ WISSLER: It will be a whole lot  
10 easier. If you want to mark mine up, that  
11 would be fine.

12 MS. BAKNER: Dave, did you discuss how  
13 pond 8 was eliminated?

14 MR. CARR: What we're proposing to do  
15 with pond 8 -- originally when we left here  
16 the last time, we asked the highway engineers  
17 who designed this connecting road to see if we  
18 could move this low point, because it is in a  
19 fairly tough position. And when we found we  
20 couldn't do that, the only way not to  
21 discharge from that low point down the slope  
22 is to actually pipe the water to Giggle

23           Hollow.

24                        So that's what we're proposing to do

25           from both directions, is actually take the

1 water through a pipe directly to Giggle  
2 Hollow. So there's no overland discharge to  
3 get to that point. That's also colored on  
4 here so you can see that. (Indicating)

5 ALJ WISSLER: I'm going to ask that  
6 these charts that you're using become the  
7 charts that become part of this record.

8 MR. CARR: Fine. The only thing I  
9 have to do is put the dates on there.

10 ALJ WISSLER: Okay. And on a break or  
11 something, if folks need to mark their  
12 exhibits, we'll do that.

13 MR. CARR: Or I can do it for you.

14 SG-6 includes pond 15, and again,  
15 pond 15 -- this was one that was actually very  
16 easy to deal with. Pond 15 had an overland  
17 discharge, and basically we simply removed the  
18 overland discharge and took the discharge into  
19 pond 14, so there's more of a connection.  
20 Instead of flowing this way, it basically  
21 flows this way; it basically flows this way  
22 through a pipe and then along the road and

23 down. So it never goes over land, always goes

24 through a controlled structure.

25 Sheet SG-9 is really the one that

1 shows the most of -- it had the largest  
2 changes. As I mentioned, as shown on SD-5,  
3 there is no Design Point 4 anymore. And the  
4 reason for that is ponds 36, 37 and 38, which  
5 for lack of a better word are on the back side  
6 of the development, there's really no way to  
7 have a discharge from those ponds and take  
8 them down the mountainside without -- the only  
9 option would be to either pipe it down the  
10 mountain or cut a stone channel down the  
11 mountain, which you're probably creating more  
12 problems with doing that than solving this  
13 problem.

14 So basically what we did was we routed  
15 the discharges around to the north side --  
16 there's only about ten acres of land that  
17 we're even affecting that is within that area  
18 that flows to Lost Clove.

19 Basically the discharges are very  
20 minor. Basically what we're proposing to do  
21 is pipe the discharges from 36 to pond 38,  
22 because by grade we couldn't get to 37, and 37

23 is piped around it. So you see the red line,  
24 showing the discharge, instead of going this  
25 way, it's basically coming around the



1 mountain. That's basically what it's doing.

2 If the water were to make it, it's coming all  
3 the way from 36 all the way to the access  
4 road.

5 MS. BAKNER: You primarily did this to  
6 capture flows that would have been  
7 over-topping essentially during the 100-year  
8 storm.

9 ALJ WISSLER: Were there some kind of  
10 weir structures that they're overtop?

11 MR. CARR: That's what we had  
12 originally. So now what we have is an actual  
13 structure with pipe coming out of it.

14 ALJ WISSLER: What, just below the  
15 100-year level or something like that?

16 MR. CARR: Correct, so it's guaranteed  
17 not to top over the pond.

18 ALJ WISSLER: So for most  
19 precipitation events, it's not going to  
20 over-top? You'll never make the pipe. The  
21 pipe exists if, as and when it occurs?

22 MR. CARR: But each pond has a drain

23           also which goes through that pipe.  So if the  
24           maintenance person -- every once in a while  
25           the ponds have to be cleaned out.  There will

1 be a valve in there, sluice gate normally that  
2 you can actually open up -- it's important to  
3 remember that even if say pond 37 didn't have  
4 a discharge with 100-year storm, you designed  
5 your pond so it collected all the water and it  
6 just sat there, you still have to provide for  
7 maintenance, and draining these things is  
8 going to have a discharge. It may only be a  
9 four-inch pipe, but it's still a discharge.  
10 So you have to account for that.

11 Even though it's not modeled as  
12 dealing with a design storm, if this pond is  
13 starting to need maintenance, a person can go  
14 in there, they can drain the pond, they can  
15 replant vegetation, whatever they have to do  
16 to get it back on-line, so basically those  
17 discharges go through this system.

18 MS. BAKNER: Dave, just to put that in  
19 perspective, we build those systems?

20 MR. CARR: Yes, correct.

21 MS. BAKNER: Assuming nothing unusual,  
22 you would maintain them, what; once a year,

23 every other year?

24 MR. CARR: It depends. A year like

25 this year, you may have to maintain them a

1 little more.

2 MS. BAKNER: Just to give some sense  
3 of it.

4 MR. CARR: Right. So again, I mean  
5 the idea is to control all this water on the  
6 top, not -- for lack of a better word -- let  
7 anything go down the side. So pond 25, which  
8 existed in this location, has been removed  
9 completely.

10 Basically what we have done is we've  
11 removed pond 25 -- we didn't remove it, we  
12 relocated it between holes 6 and 7. So there  
13 was a concern that maybe we were introducing  
14 some stormwater where there were some existing  
15 drainage courses that -- those have been  
16 removed. We're not sending any drainage in  
17 any of those areas; it's all being controlled  
18 on top and routed to the access road  
19 basically. Nothing is falling over the side.

20 MS. BAKNER: So pond 25 was -- in  
21 terms of the site visit that we took, Dave,  
22 where was that?

23                           MR. CARR:  There was a ledge down here  
24                           off of Winding Mountain Road, above Winding  
25                           Mountain Road.

1                   MR. RUZOW: I think Joe led us to that  
2                   section when we were on the site visit.

3                   MR. CARR: And that has been removed  
4                   because really there was no way -- the reason  
5                   why I used it to begin with was it was a  
6                   fairly even spot we could deal with  
7                   stormwater, but the problem was there was no  
8                   way to get out of it safely and meet Pat's  
9                   concerns. So we had to pull it up into the  
10                  development and discharge it through the  
11                  development.

12                  MS. BAKNER: So Dave, the only way you  
13                  could have gotten the water out of there is by  
14                  pumping it artificially?

15                  MR. CARR: Yes.

16                  MS. BAKNER: Which we don't want to  
17                  do, which isn't a good idea.

18                  MR. CARR: Well, that was the question  
19                  that was raised -- pond 36, for example, is in  
20                  very close proximity to the irritation ponds  
21                  which is labeled as pond 1. You could pump  
22                  stormwater from 36 to 1. I've never designed

23 a system -- I've seen them -- where there is a  
24 pumped system of stormwater. Basically this  
25 pipe here, by gravity from 36 to 38, is



1           probably 2,000 to 3,000 feet, so it's going to  
2           be expensive to put in; but nobody has to  
3           manually move that water; it's just going to  
4           move by gravity. It's basically going to flow  
5           on its own.

6                         Pumps break down. They need to be  
7           maintained. Again, if something happened with  
8           that pump system, you would be back in the  
9           same situation where once you filled up, you  
10          would be going over the slope. So these are  
11          designed to function without any maintenance.

12                        ALJ WISSLER: The gravity system  
13          doesn't totally empty each of the ponds?

14                        MR. CARR: No, no.

15                        MS. BAKNER: They're designed  
16          micropool detention basins so they're wet  
17          ponds.

18                        MR. CARR: Right. But they can be, if  
19          desired. That's the key.

20                        MR. RUZOW: You need the ability to  
21          drain them when necessary for maintenance.

22                        ALJ WISSLER: Thank you, Mr. Carr.

23 MS. BAKNER: I missed pond 8.

24 MR. CARR: Pond 8 is not a pond,

25 that's what we called the level spreader.

1 It's not a pond.

2 MS. BAKNER: It's gone?

3 MR. CARR: It's gone. All the water  
4 quality requirements have been utilized in  
5 ponds above that so we're not sending any  
6 water to that area.

7 MS. BAKNER: Can you point out for the  
8 record the Lasher Road drainage basin and the  
9 one associated with the access road that you  
10 added?

11 MR. CARR: As I mentioned, there were  
12 two spots where I actually missed in the  
13 design, and one of them is the proposed  
14 employee parking area at Lasher Road, which is  
15 shown on SG-10. That has been included in the  
16 HydroCAD model that you have. It's a small  
17 area. It's separated from everything else,  
18 but it did obviously have to be dealt with.

19 There would be a direct discharge from  
20 that pond into the creek, which I have  
21 reviewed with Bill Mirabile from DEC. There's  
22 also -- the other additional pond is pond 104

23           which is actually --

24                       MR. RUZOW:  On SG-6.

25                       MR. CARR:  Yes, on SG-6.  That was

1 more of a separated area from the rest of the  
2 development. It existed below the railroad  
3 tracks. Again, you have the small pond to  
4 deal with the entry road. Again, with direct  
5 discharge to the creek. And that is also  
6 included in the HydroCAD model that you have  
7 as part of the exhibit.

8 MS. BAKNER: Dave, I notice we don't  
9 have any revised drawings for Wildacres other  
10 than the pond liners. Is that because we have  
11 no overland discharge at Wildacres?

12 MR. CARR: Right, down steep slopes we  
13 don't. We have a couple that cross the golf  
14 course. When the golf course is designed in  
15 its final design stages, those could actually  
16 be put through channels, but we have a couple  
17 where there's a discharge that would cross a  
18 fairway and end up on a pond on the other side  
19 of the fairway, but none going off-site.

20 MS. BAKNER: There's none going  
21 off-site and none going over forest floor?

22 MR. CARR: Right. I'll date these and

23           roll them up for you.

24                       ALJ WISSLER: We need them available

25           so other folks can mark their own.

1 MS. BAKNER: Dave, I believe the next  
2 plan we need you or Dean to go over is Exhibit  
3 158, which is the Big Indian Access Road  
4 Construction, which is facing that's --  
5 showing some more detail on how we're  
6 proposing to construct the road. This is to  
7 directly address Joe Damrath's concerns  
8 regarding the steepness of the slopes and --

9 MR. CARR: I believe Dean Long is  
10 going to speak to that.

11 MS. BAKNER: For the record, this is  
12 only part of Phase 1. As you will recall, we  
13 did focus on Phase 2 in evaluating soil  
14 erosion and sedimentation control phasing  
15 plans for construction, but we have just  
16 agreed to go ahead and look at Phase 1 to try  
17 and address the concerns about whether or not  
18 the steep slopes which we're building the  
19 access road on will cause trouble. We have  
20 not done all of Phase 1, we've only done the  
21 road. (Indicating)

22 MR. LONG: This is drawing PH-4, Big

23 Indian Plateau. It's a drawing that we just  
24 developed as far as to break out phases of the  
25 main access road construction. What we have



1 done here is to create seven segments of  
2 constructions broken down into 41 phases. The  
3 phasing for the access road construction is  
4 based on two criteria; one is slope, and then  
5 the second is being able to efficiently and  
6 quickly build temporary stormwater basins  
7 given the slope characteristics. So they are  
8 closely related.

9 Looking at Phase 1A right outside of  
10 the hotel, what you can see here is that the  
11 slopes are relatively gentle. So that phase  
12 is roughly about 700 to 750 feet long.

13 MR. RUZOW: And the width of the  
14 roadway?

15 MR. LONG: We assumed it all to be  
16 about 200 feet wide for the entire grading  
17 limits, which is a little wider than what  
18 actually is being planned. Normally we're  
19 down under 100, we're up towards 150. But for  
20 this phasing analysis, to make sure we have  
21 plenty of space, we were accounting for any of  
22 the outside disturbances. We just assumed our

23           grading limits would be 200 feet.  So we're  
24           talking about a corridor 200 feet wide,  
25           750 feet long.

1                   In this segment 1 which is on the  
2                   ridge of the plateau, each of the phases is  
3                   about 750 feet long. With the slopes and the  
4                   width of the clearing being at that 200 feet,  
5                   basically what we would need to do is to have  
6                   our temporary stormwater basins, which will  
7                   progress as well as be at terminal ends of  
8                   each of the phases, needs to be roughly  
9                   capable of storing an acre foot of stormwater.

10                   The other thing I have to point out,  
11                   and to keep this all in context is, as Teresa  
12                   was saying, all the concepts we presented for  
13                   Phase 2 being the pumpout of basins to the  
14                   dispersion pipes, the use of erosion control  
15                   mattings and all those types of techniques,  
16                   are fully anticipated to be incorporated and  
17                   implemented and tested as part of Phase 1.

18                   So in any case, with that as part of  
19                   the overall background, in Phase 1, they -- in  
20                   the segment 1, they all tend to be about  
21                   750 feet. If we proceed down the road and you  
22                   begin to look at 1F, what you see is that the

23 interval into the phased project -- the  
24 project phase of it shortens, and that's  
25 because of the amount of grading and the side

(STORMWATER ISSUE)

4560

1 slope cutting and et cetera. When we get down  
2 into those smaller projects, then we need  
3 between .4 an .6 acre feet of storage.

4 This project of constructing the road  
5 has the challenge of having to blend all these  
6 grades side to side. We have not shown you  
7 specific basins because the basins are always  
8 going to be moving as the road construction  
9 proceeds down the slopes, but there will  
10 always be at the interface between the various  
11 projects, 1D and 1E, there will always be a  
12 temporary stormwater basin there in order to  
13 protect any of the water that gets collected.

14 The same process is followed  
15 throughout down through the road as far as  
16 that goes. That's how we came up with  
17 segmenting the project so that we would have  
18 temporary stormwater basins that were small  
19 enough to be rapidly built, and keeping them  
20 in proximity to the actual construction  
21 activity.

22 MS. BAKNER: Dean, when you talk about



1 for containing 100 percent of the 10-year  
2 storm on bare soils. So that's the .6 to one  
3 acre feet of storage necessary to meet that  
4 requirement.

5 MS. BAKNER: To refresh everyone's  
6 recollection, that's roughly how many times  
7 larger than --

8 MR. LONG: 10 to 12 times larger than  
9 what the Blue Book requires.

10 ALJ WISSLER: How big a pond is that,  
11 structure is that?

12 MR. LONG: For one acre foot, that  
13 would have to be something that's going to be  
14 50 by 100 by about three feet deep. It's  
15 pretty sizeable in the context of its short  
16 duration; that's why when we got onto the  
17 steeper slopes, we collapsed the construction  
18 road interval. That's why on the steeper  
19 slopes, like 1F, there we're only looking at  
20 between four-tenths of an acre foot to  
21 six-tenths of an acre foot. So there, you  
22 would only be talking something that was 50 by

23           50, and two and a half, three feet deep in  
24           order to get that kind of storage.  
25                    The pond sizes also are all designed



1 and all will stay within the disturbance zone  
2 of that 200 feet. So that was another  
3 criteria as to how to break this thing up into  
4 small enough chunks so that we didn't have to  
5 create any outside additional disturbance in  
6 areas that weren't going to be involved in  
7 future construction for the project. That was  
8 our overall sizing criteria, to come up with  
9 how to break this project into each of these  
10 discrete phases.

11 ALJ WISSLER: Let's take a look at 1E  
12 and 1F. Right at the break line there, that's  
13 where a pond would go?

14 MR. LONG: Right at the break line  
15 from 1E to 1F, there would be -- would have to  
16 be a pond that's roughly capable of storing an  
17 acre foot.

18 ALJ WISSLER: That would be the first  
19 thing constructed.

20 MR. LONG: I can describe how we  
21 envision the construction phasing. Each of  
22 these segments -- after the trees get cut,

23           there will be a stump grubbing phase.  As the  
24           equipment proceeds down through the  
25           right-of-way and the stump grubbing phase --

(STORMWATER ISSUE)

4563

1 at the end of stump grubbing is when the ponds  
2 would be constructed.

3 Simultaneously, during stump grubbing,  
4 we're going to put in water bars as an  
5 intermediate temporary stormwater control  
6 because we're going to remove the trees, but  
7 the overall mass grades are going to be still  
8 forest floor, very undulating, not with any  
9 particular direction other than the very big  
10 picture downhill direction that the road is  
11 traversing.

12 So we'll have water bars as an  
13 intermediate protection, we'll have perimeter  
14 control installed as trees are cut. Then we  
15 will have the terminal ponds as the end-all  
16 piece of the stump grubbing phase as the final  
17 protective device.

18 What will happen once the stumps are  
19 grubbed is when we begin mass grading, and the  
20 grading to form the road valley and the side  
21 slopes, as well as excavate out the under  
22 materials in order to put in the road base and



1 bottom there. We're proceeding down the hill  
2 as the overall direction. As we proceed down  
3 the hill -- we'll talk about 1F here -- so it  
4 would be proceedings down the hill grading.  
5 Any of the side slopes would be stabilized  
6 with geomats and hydroseeded with a heavy  
7 matrix hydroseed materials.

8 So we would be utilizing both of those  
9 just in order to stabilize the upslopes, as  
10 well as stabilize all the slopes.

11 (Indicating)

12 Again, with the way we've got this  
13 phased, if during a heavy rainfall everything  
14 is going to collapse into the road and be  
15 contained within the construction site, it  
16 can't get down the slope into an undisturbed  
17 area because we have the terminal ponds on  
18 each of the phases.

19 MS. BAKNER: In addition to all the  
20 perimeter controls?

21 MR. LONG: In addition to the  
22 perimeter controls. All the grading is going

23 to start at the higher parts, and then fall

24 into the road.

25 MR. RUZOW: Dean, let me stop you for

1 a minute. When you think of a normal macadam  
2 road, the high point of the road is in the  
3 middle and the slopes down the slide, standard  
4 construction. In this case, you're suggesting  
5 at least in the early construction, that's  
6 different?

7 MR. LONG: Right. Plus, normally with  
8 roads, you tend to start at the bottom and cut  
9 back up. We're going to start at the higher  
10 edges and bringing it down so that we can  
11 stabilize the stuff that's adjacent to the  
12 forest early. That will assist us when we're  
13 trying to blend -- if you look at 3A 3B, 3C,  
14 the challenges here is trying to blend all the  
15 slopes between 3A and 3B, because you can see  
16 there's a lot of grading activity that's up  
17 near the forest edges. So by starting high  
18 and coming down on the side slopes, then we  
19 can -- if there's any large rainfall event,  
20 everything still ends up being self-contained.

21 Additionally, because we're not going  
22 to mass grub the thing, we have preserved the

23 forest soils, the root matrix and all that.

24 So we're attempting to minimize runoff

25 velocities and we're containing the -- any



1 runoff within the construction site so it  
2 doesn't get off-site.

3 MR. RUZOW: How long is the  
4 expectation for, I guess, an average segment?  
5 Some segments may take longer or shorter than  
6 others, but what is your estimate of the time  
7 that these basins would be open, in effect,  
8 before you ran into the next stage?

9 MR. LONG: Most of the basins will  
10 probably be on the order of seven to ten days,  
11 most of the segments.

12 MR. RUZOW: Workdays?

13 MR. LONG: Work is going to be  
14 continuous in order to construct everything  
15 within the limited season, which is one of the  
16 consents that we -- it's the same thing we  
17 said for the golf course. Everything just  
18 basically starts and then continuously is  
19 worked through the entire season.

20 MR. RUZOW: And how long overall is  
21 this construction phasing, your best estimate  
22 at this point?

23                   MR. LONG: We're trying to get this  
24                   phase in in a six-month window for the road  
25                   construction during the first year.

1 MS. BAKNER: During the road  
2 construction, you will have the pond  
3 excavation going on, the irrigation pond  
4 excavation?

5 MR. LONG: Right, the irrigation ponds  
6 will be excavated. The other thing that  
7 happens, as the construction matures and as we  
8 proceed down, you can see the various  
9 permanent ponds which will also be integrated  
10 into the temporary erosion control segments as  
11 we complete portions of the road.

12 The other place we're going to avail  
13 ourselves of some additional stormwater  
14 opportunities is going to be the employee  
15 parking lot. It acts as a midpoint, and it's  
16 immediately above the segment 4 area and the 5  
17 area that has a lot of grading in it. So  
18 we're going to be converting that over into  
19 also a temporary stormwater basin which then  
20 can be pumped out to the dispersion pipes.

21 We anticipate using all the same  
22 dispersion pipes other than dispersion pipe 1A

23           that's on CP-2.

24                        So again, the concepts that were put

25           forth in the phasing plan of the golf course

1 are essentially the same that are being  
2 utilized here as far as control and management  
3 of the stormwater discharges. So again, the  
4 midpoint parking lot will be converted as a  
5 large temporary stormwater basin as part of  
6 this to aid in the construction of the road in  
7 order to manage any of the water coming down  
8 through, through the upper parts of the site,  
9 so that we can minimize any water spillage  
10 onto this section that has some of the more  
11 difficult side slopes to deal with.

12 One of the timing issues is going to  
13 be the bridge crossing. The bottom -- most of  
14 the construction of course is going to go from  
15 the top down. At the bridge site, in part of  
16 this lower portion, we're going to build, as  
17 part of the bridge construction phases. So  
18 we'll be coming upslope for a short distance  
19 in this area, but because we're going to have  
20 permanent stormwater basins in this area,  
21 that's part of that management plan. So we'll  
22 be able to rely on those downslope permanent

23 facilities for that last 700 to a thousand  
24 feet.  
25 That's essentially big picture-wise

1 the way we believe we can construct the road,  
2 keep our site disturbances to a minimum, have  
3 temporary stormwater basins that are readily  
4 constructible that are small enough to be  
5 constructed rapidly.

6 MS. BAKNER: Dean, this is definitely  
7 at the stage where it's more conceptual than  
8 the drawings that were done for Phase 2?

9 MR. LONG: Correct.

10 MS. BAKNER: But in terms of details,  
11 all the proposed methodologies are set forth  
12 in Phase 2?

13 MR. LONG: That's correct.

14 MS. BAKNER: When you're finished with  
15 the segment, you put on the crushed rock to  
16 stabilize it, you do the side slopes with the  
17 fabric and the mulching. My question is:  
18 Where do you end up? Are you going to leave  
19 it graveled? Are you going to put on a binder  
20 coat? What is the plan?

21 MR. LONG: The preference is to try to  
22 get to a binder course wherever we can.

23           Certainly up in this flat section, because the  
24           pressure plant is going to be located up here,  
25           we're going to have ample crushed materials



1 utilized for that section.

2 So where the slopes are very minimal,  
3 putting down a binder course is certainly not  
4 necessary. We need to probably get the binder  
5 courses on 2B and 2C sections because that's  
6 where the trucks -- many of the trucks are  
7 going to be off-road trucks. We're probably  
8 going to need to get to binder course in those  
9 particular locations, as well as like 3C and  
10 3D.

11 So in general, it's most often going  
12 to be crushed stone. Whenever we can and  
13 wherever it's warranted, we want to get to a  
14 binder course of asphalt because it's going to  
15 be easier to manage.

16 MR. RUZOW: Obviously the plans that  
17 are eventually part of the SWPPP for this will  
18 be reviewed by the Department, presented to  
19 the Department in the greater detail than is  
20 required, and DEP as well -- prior to  
21 construction?

22 MR. LONG: Correct. I think the other

23            thing to note at this phase, what we're  
24            anticipating calling stabilization is once we  
25            have all the fabric down and all the stone

1 down along the roadway is the point at which  
2 we will say -- which we believe everything is  
3 stable so that we can begin to go into the  
4 next phase and start blending those edges.

5 MS. BAKNER: As far as the vegetation,  
6 the material that's left over, do you  
7 anticipate trucking that back up to the top  
8 for treatment -- for chipping, whatever?

9 MR. LONG: Yes, forest materials.

10 MS. BAKNER: Any questions?

11 ALJ WISSELER: No.

12 MS. BAKNER: At this point I think  
13 what we would like to go over is Exhibit 157,  
14 which is the revised total phosphorous, or as  
15 Dean refers to it, the direct loading  
16 calculations and comparisons.

17 ALJ WISSELER: Do we need to take five  
18 minutes?

19 MS. BAKNER: That would be great.

20 (11:41 - 12:07 P.M. - BRIEF RECESS

21 TAKEN.)

22 MS. BAKNER: What we're going to be

23           presenting on next is Applicant's Exhibit 157,  
24           and it's entitled, "Total Phosphorous Loading  
25           Calculations and Comparisons."

1                   If you will recall the last time we  
2                   were together on the issue of stormwater, we  
3                   presented a very similar exhibit. The  
4                   difference here is really twofold. One  
5                   difference is, we did not have the correct and  
6                   up-to-date copy of the DEC Stormwater Manual,  
7                   which was posted on the Department of State  
8                   website -- if I can just say in our defense.

9                   So it showed a 40 percent pollutant  
10                  removal credit for phosphorous from a  
11                  micropool detention basin and the old manual  
12                  had 50 percent. So that revision has been  
13                  made here now.

14                  The other revision that's been made  
15                  here is the approach with runoff coefficients.  
16                  Instead of using .9, we're using .64 and .6,  
17                  and I'll let Mr. Long explain that.

18                  MR. LONG: Okay. I'm not going to  
19                  read the whole thing. As Terresa said, this  
20                  is essentially an update of the entire  
21                  exhibit. It includes an executive summary  
22                  which explains -- which is what I'm going to

23           run through so that everybody understands --  
24           how we got started on this, and then I'll go  
25           through the first two tables which summarize

1 the results and shows the changes that are  
2 caused in the total annual load of phosphorous  
3 for Big Indian, Wildacres.

4 Going to the executive summary, the  
5 first paragraph summarizes the reasons why,  
6 and the explanation of the change in the  
7 R value, the runoff coefficient value from the  
8 .9, which was used uniformly throughout the  
9 prior analysis, changing it to .6 for the Big  
10 Indian Resort, which is in the Ashokan  
11 Reservoir, and .64 for Wildacres, which is in  
12 the Pepacton Reservoir.

13 These numbers were found in the  
14 General Watershed Loading Function Model  
15 Analysis for the TMDLs for the respective  
16 reservoirs, and the references for all that  
17 material is found at the back of this  
18 document. So that was the first change, first  
19 full revision in this.

20 The second one related to the R value,  
21 is that for the limited amounts of impervious  
22 surfaces that we have in each of the

23            respective projects, we changed the R value  
24            from .9 to .98, which is essentially derived  
25            from the TR-55 Soil Conservation Service, and



1           correspondingly also from TR-20, also from the  
2           Soil Conservation Service, the two predominant  
3           conceptual models for stormwater runoff  
4           modeling.

5                         With all that said, what we'll do  
6           is -- the next page is a summary of all the  
7           changes, and as the executive summary states,  
8           there are particular changes made on  
9           particular pages, and they're all summarized  
10          on this Table A, direct calculation, Giggle  
11          Hollow.

12                        It's all pretty straightforward here,  
13          and I think the most useful thing is to  
14          proceed to Table B because it tells the story  
15          of what becomes the sensitivity or what we can  
16          begin to discuss as a sensitivity for the  
17          total phosphorous load versus the changes in  
18          these various input parameters for the  
19          stormwater -- for the total phosphorous annual  
20          load.

21                        If you go to Table B, which is titled,  
22          "Giggle Hollow TP Loadings in Kilograms Per

23           Year," that again references that, again,  
24           we're going back to the Giggle Hollow numbers  
25           that I -- that we derived in the previous

1 exhibit which is -- what was the number of  
2 that one -- the June Exhibit?

3 MS. BAKNER: 46.

4 MR. LONG: 46, what we derived, and  
5 all those pages are repeated in this one.  
6 Where LA Group, myself, derived the 20 parts  
7 per billion natural forest runoff value. So  
8 that's why we keep on talking about this  
9 Giggle Hollow value.

10 So I'll run through this table in  
11 detail right now. So Big Indian, we have the  
12 pre-development loading. The first column,  
13 separate RV values for impervious and forest.  
14 Pre-development, everything is forested so the  
15 RV value for Big Indian would have been the .6  
16 that's utilized, so we end up with a total  
17 annual phosphorous load of 76.79.

18 (Indicating)

19 MS. BAKNER: Dean, can I just  
20 interrupt you for a second. The 0.6 you have  
21 down here in footnote 1 says from the 2001 DEP  
22 document?

23

MR. LONG: Right, the General

24

Watershed Loading Function Model document.

25

MS. BAKNER: And the General Watershed

1 Loading Function document was used to derive  
2 the TMDLs for the basins?

3 MR. LONG: Correct. So we're back up  
4 at the pre-development loading, 76.79. The  
5 next number over is the number that we  
6 presented in June, which is the  
7 115.19 kilograms per year for Big Indian  
8 pre-development. Again, that was based on  
9 the -- on the RV value of .9 for that value.  
10 It's repeated in the second -- (indicating)

11 MS. BAKNER: Let me interrupt one  
12 more. The .9 that you used before, that was  
13 because that was a DEC value, sort of a  
14 default value that they have in their manuals?

15 MR. LONG: Yes. The next column, I'll  
16 talk about as we move down through because  
17 that shows -- that will begin to show the  
18 differences between the various phosphorous  
19 removals. Then the final column,  
20 November 2003, the WinSLAMM data, which is  
21 shown as 149 for the pre-development loading.  
22 (Indicating)

23                   Next line of data -- again, all the  
24                   details of this are in the back of this  
25                   document -- post-development, pre-treatment

1 loading. So at this phase of the analysis,  
2 there's the development project so the -- the  
3 development project. So this number is  
4 composed of both the native forest RV value,  
5 plus the revised .98 RV value for the  
6 impervious surfaces. (Indicating)

7 MS. BAKNER: So you take the acreage  
8 that's going to be developed, that's going to  
9 be impervious, and you assign the RV value of  
10 .98 to it, and you take the forest and you  
11 assign .6?

12 MR. LONG: Correct. And also times --  
13 all the loading functions as far as for the  
14 impervious values, forest values -- because  
15 we've consistently always used the  
16 20 micrograms per liter to 20 parts per  
17 billion level that we presented in June. All  
18 those numbers have not been varied in this  
19 analysis.

20 All this analysis really gets down to  
21 is the impacts of changing the runoff  
22 coefficient, and then subsequently changing

23           the removals.

24                       So anyhow, the next column presents

25           the information of the 272, which was the



1 value that was established in June using the  
2 single RV value of .9. (Indicating)

3 Next column is the same, 272 again,  
4 because it's derived in the same fashion. The  
5 last column was the WinSLAMM value found in  
6 the DEIS. (Indicating)

7 The next block where it says,  
8 "40 percent TP removal," this is where we're  
9 incorporating the changes in total phosphorous  
10 removal that's required by the August Edition  
11 of the DEC manual. So underneath that line,  
12 in the line of data for  
13 post-development/post-treatment, you take out  
14 the 40 percent from the 250 -- 40 percent of  
15 the phosphorous is removed and it becomes  
16 172.75. (Indicating)

17 ALJ WISSLER: 172.55.

18 MR. LONG: .55, yes. Under the  
19 earlier analysis, if we did 40 percent removal  
20 of the June values, it becomes 197.35.  
21 (Indicating)

22 Then I repeat it, all the June values

23 as they were given -- all the values from the

24 June report that's similar to this.

25 Then finally, the last column is the

1 WinSLAMM analysis, which WinSLAMM predicted  
2 the phosphorous removal as functions of the  
3 model itself. That's why there's no percent  
4 removal shown for that because that was  
5 internal to the model. (Indicating)

6 MR. RUZOW: The level of efficiencies  
7 of removal are built into the model.

8 MR. LONG: Right. The next line is  
9 the wastewater treatment plant effluent  
10 discharges, so this is the point source  
11 discharges for Big Indian. So that's 60  
12 straight across for each of the lines of data  
13 or each of the columns that I've been  
14 describing. (Indicating)

15 The total post-treatment discharges,  
16 both non-point and point sources, is the next  
17 line of data.

18 So to derive that, you very simply  
19 take the post-development/post-treatment  
20 loadings and add the point source, the  
21 wastewater treatment, and becomes the total  
22 for the first line of 232.55 kilograms

23           annually. (Indicating)

24                       The next column becomes the 197.35

25           plus the 60, becomes 257.35. (Indicating)

1                   The next column is the repeat of the  
2                   June data; and the final column is the repeat  
3                   of the November 2003 DEIS WinSLAMM of adding  
4                   the 197 and 60, and becoming 257.  
5                   (Indicating)

6                   To get to the net loading, we take the  
7                   post-development -- post-treatment minus the  
8                   pre-development. So we take the benefit of  
9                   all the treatment and subtract the  
10                  pre-development loading. (Indicating)

11                  So to derive that number for the first  
12                  column is the 232.55 minus 76.79.  
13                  (Indicating)

14                  In the same way it's done for each of  
15                  the successive columns, remembering that the  
16                  next column over starts with the June data and  
17                  just does the 40 percent removal; with the  
18                  third column being the RVs -- consistent RVs,  
19                  which is the repeat of the June values, has a  
20                  net loading of 123. Then the WinSLAMM has a  
21                  net loading of 108. (Indicating)

22                  So what this analysis shows is the

23 sensitivity of the total annual phosphorous  
24 loads to the various changes in the RV values.  
25 What it shows is that by decreasing the RV

1 values, it decreases the pre-development  
2 loads, which then does increase our  
3 post-development total net changes as shown in  
4 the last line of data. (Indicating)

5 MR. RUZOW: Dean, Charles Olson used  
6 the term, "increment." He is referring to  
7 that same increment, that's the increment  
8 increase; is that correct?

9 MR. LONG: Right, that's the  
10 incremental increase, because again, the point  
11 sources have been consistent, and what we're  
12 varying here is the RV values, and we've kept  
13 consistent in this analysis all the previous  
14 runoff loading values.

15 MR. RUZOW: But this particular 155.76  
16 includes both the point source from the sewage  
17 treatment plant as well as the stormwater  
18 runoff components?

19 MR. LONG: Correct.

20 MR. RUZOW: So the increment -- using  
21 the math, the incremental increase is, if you  
22 start with 76.79 as the pre-development

23 loading and you end up with post-development,  
24 post-treatment of 172, you're less than  
25 100 kilograms per year as the increment



1 associated with the stormwater?

2 MR. LONG: Correct, for non-point  
3 sources.

4 MR. RUZOW: For Big Indian.

5 MS. BAKNER: Just remember, some of  
6 the stormwaters are considered point sources.  
7 So it's 100 roughly.

8 MR. RUZOW: But I want to separate out  
9 in our minds, following Charlie's logic, which  
10 I understand, is the increment that we are  
11 increasing as a contribution.

12 MS. BAKNER: Dean, now that you have  
13 gone through Big Indian, do you want to just  
14 run through the first column of Wildacres?

15 MR. LONG: Yes. Using all the same  
16 conventions that I described for Big Indian,  
17 the one change being that Wildacres is part of  
18 the Pepacton watersheds, and the RV value for  
19 that is .64 as indicated in footnote 4.

20 Again, I used the same conventions of  
21 using the .98 for the impervious surfaces.  
22 Again, all the prior loading values that were

23           utilized in June are also repeated here, are  
24           consistently utilized in this analysis.  
25           (Indicating)

1                   So, instead of going through all the  
2                   columns, we'll look here -- the  
3                   post-development/pre-treatment --  
4                   pre-development loading is 47.35. This is the  
5                   natural forest loading condition for the  
6                   Wildacres development -- Wildacres site on an  
7                   annual basis.

8                   Again, these are all on an annual  
9                   cycle for the entire water year.  
10                  Post-development/pre-treatment, we estimated  
11                  as 168.24. Again, using a 40 percent removal,  
12                  it becomes 113.50 as the non-point source as  
13                  the runoff component of the discharges.

14                  (Indicating)

15                  The wastewater treatment plant  
16                  discharges are estimated as 78 kilograms per  
17                  year. So the total post-treatment discharges  
18                  will be 191.5 kilograms per year.

19                  (Indicating)

20                  To get the net, or the increment as  
21                  it's being called today, we subtract the 47.35  
22                  from the 191.50, and it becomes 144.15.

23 (Indicating)

24 MR. RUZOW: Again, with respect to

25 focussing just on the stormwater component of



23 of go over the differences. We're not making  
24 any judgment about, you know, whether one  
25 difference is good or one difference is bad,

1 but just show the differences, if you can.

2 MR. LONG: The differences are we both  
3 segment it -- it's easier to tell you what --

4 MR. RUZOW: What you did the same.

5 MR. LONG: What we did the same,  
6 because to me, they're pretty close. As  
7 Charlie described, he segmented out the  
8 events. I did the same operation with the  
9 same year. What he was able to do, because he  
10 went through all the exercise of taking --  
11 deciding to make the conventions and deciding  
12 to make some relatively complex decisions, he  
13 decided on how to address the incremental --  
14 that 15-minute incremental cfs discharges, and  
15 then what value to select in order to multiply  
16 that in order to get to an average load of  
17 phosphorous. I simplified that by just  
18 looking at the total event number. So, in  
19 essence, it's -- the math concepts are the  
20 same, the math inputs are different.

21 MS. BAKNER: Did you have the data  
22 available to you to do the more complex

23 operation?

24 MR. LONG: The data was available

25 towards the end of the process. The hardest



1 part of all of the decision, which is when do  
2 you stop a storm. Charlie has stopped the  
3 storm at 48 hours, I believe, and he presented  
4 a rationalization of why he stopped it there;  
5 but that storm loading, if you push it out a  
6 little bit longer, would lessen the  
7 incremental changes that he's finding in his  
8 analysis. That's a judgment decision, that's  
9 something that takes some more study and some  
10 more examination.

11 MS. BAKNER: All right. We'll, of  
12 course, put together whatever we need to with  
13 respect to what Charlie presented, but just to  
14 give you a sense of where they were similar  
15 and where they were different. As far as  
16 using the Giggle Hollow data, Dean, why did  
17 you focus on the Giggle Hollow data?

18 MR. LONG: Giggle Hollow is contained  
19 basically within the Big Indian Resort, and  
20 the watershed is forested, and for whatever  
21 reason, as Charlie noted, the discharges tend  
22 to be a little higher, but -- by not looking

23 at the flows, by looking at the averages and  
24 by using, as I describe on page 536, more  
25 baseflow data, we have tried to minimize the

1 impacts of any of the higher flows and higher  
2 values. (Indicating)

3 MS. BAKNER: To even them out?

4 MR. LONG: To even them out.

5 MS. BAKNER: Giggle Hollow, as you  
6 say, is entirely within undeveloped property.  
7 Do the other hollows have any impervious  
8 surfaces or a few houses or not to speak of?

9 MR. LONG: Not to speak of.

10 MS. BAKNER: So you had a reason for  
11 choosing Giggle Hollow, and you felt it was  
12 appropriate?

13 MR. LONG: Yes.

14 MS. BAKNER: The other question I had  
15 for you is, again, the GWLF runoff  
16 coefficient, those are significant in terms of  
17 the overall basin-wide TMDLs that have been  
18 established. Can you describe why they're  
19 significant?

20 MR. LONG: Those runoff values are  
21 based on the General Watershed Loading  
22 Function model analysis of the entire

23 watershed.

24 In my executive summary, I explained

25 why I think they're valid for this, because

1 both watersheds are clearly dominated by  
2 forest and vegetation cover. There is very  
3 little development in each watershed, so  
4 that's why I felt that for this level of  
5 analysis, or for this next level of  
6 refinement, that they're applicable to the  
7 pre-development condition.

8 MS. BAKNER: These numbers are  
9 calculated for a year based on the 2002 data  
10 being available. Does that mean that that's  
11 the total annual phosphorous loading in every  
12 year?

13 MR. LONG: No, it's representative of  
14 that year. One of the other concepts we're  
15 putting forth here, or one of the other  
16 concepts we have to consider as we advance and  
17 move forward is that whatever value we end up  
18 selecting as a total annual load needs to have  
19 some sort of margin of safety factor on it.

20 You can see clearly from Table B the  
21 variation you get when you just change the  
22 single RV value; such as for Big Indian where

23           we change it from .6, and you get 232,  
24           whereas, you keep it at .9, you got 257. So  
25           changing a single value causes a 20-kilogram

1 annual loading variation.

2 MR. RUZOW: And Mr. Olson has yet  
3 another variation?

4 MR. LONG: Another variation on top of  
5 that, 20 percent in the other direction  
6 variation. So there needs to be incorporated  
7 into the final discussions and into any of the  
8 permits some sort of margin of safety, and the  
9 margin of safety that DEP and DEC have adopted  
10 for the TMDLs is 10 percent, which reflects  
11 the reality of the information. Whether or  
12 not that's the best one for project specific,  
13 it's difficult to settle 100 percent on  
14 whether it should be fixed at 10 or be  
15 slightly higher.

16 MS. BAKNER: So annual phosphorous  
17 loading numbers are always going to be  
18 estimates?

19 MR. LONG: Are always going to be  
20 estimates, and based on the particular year or  
21 the particular set of circumstances.

22 MS. BAKNER: And the post-development

23 runoff, as Mr. Olson mentioned, we can't go  
24 out and measure post-development runoff, so  
25 we're using convention for describing the



1 runoff coefficients after it's developed and  
2 what's going to happen, so those as well are  
3 estimates?

4 MR. LONG: Correct.

5 MS. BAKNER: Is there anything else  
6 you would like to add, Dean?

7 MR. LONG: No.

8 MS. BAKNER: Your Honor, any  
9 questions?

10 ALJ WISSLER: Nope.

11 MS. BAKNER: Then last, in terms of  
12 our witnesses for today, I would just like to  
13 introduce Dr. Scott Lowe.

14 If you could go over your  
15 qualifications in connection to the project  
16 and everything, that would be great.

17 DR. LOWE: Sure. I'm an Associate  
18 Professor of Civil and Environmental Engineer  
19 at Manhattan College, which is in the Bronx,  
20 and I'm a senior project manager for Lawler,  
21 Matusky & Skelly engineers based out of Pearl  
22 River, New York.

23                           You're looking for my qualifications

24                   on this model specifically?

25                   MS. BAKNER: Yes, or your

1 qualifications to run models to do the work.

2 DR. LOWE: I've been doing  
3 environmental modeling for about 15 years.  
4 I've taught courses for the American Society  
5 of Civil Engineers on basins, the EPA package  
6 basins, on HSPF watershed model, and also a  
7 separate course specifically on water quality  
8 modeling, and I teach course at Manhattan  
9 College on those areas as well, as well as on  
10 hydraulic design.

11 MR. RUZOW: Scott, what degrees do you  
12 hold?

13 DR. LOWE: Bachelor of Engineering  
14 Degree, and Ph.D.

15 MR. RUZOW: His resume is Applicant's  
16 154.

17 MS. BAKNER: If you could just  
18 describe what you were requested to do in  
19 connection with the project.

20 DR. LOWE: We were asked to put  
21 together an HSPF watershed model of the site,  
22 the proposed development site, and in order to

23 do that, we had to also model a lot of area  
24 that exceeds beyond the boundaries of the  
25 site.

1                   MR. RUZOW:  Could you describe what  
2                   the HSPF model is, EPA's model; what it seeks  
3                   to do?

4                   DR. LOWE:  It's a comprehensive  
5                   watershed model in the sense that it attempts  
6                   to capture all the physical processes involved  
7                   in rainfall runoff, including subsurface flow,  
8                   interflow, groundwater flow, deep groundwater  
9                   flow on the hydrology side; as well as it also  
10                  picks up the physical characteristics of the  
11                  reaches, reach length, slope, land slope, the  
12                  ground cover types that exist on the  
13                  surface -- the soil characteristics as well.  
14                  That's just to do the flow.

15                  Then in this model, we were asked also  
16                  to run it to predict TSS and total  
17                  phosphorous.  So there's a fairly detailed  
18                  series of calculations that's done on the --  
19                  to project solids coming off the water  
20                  surface.

21                  For example, scour calculations.  It  
22                  actually models the soil matrix, the binding

23 of how the solids are bound to the soil  
24 matrix, how they become released from the soil  
25 matrix. Then there's a separate sediment

1 transport component that's modeled in the  
2 waterways as well, in the water courses.

3 On the phosphorous side, it models  
4 absorbed phosphorous, phosphorous that's  
5 absorbed to the solids, and dissolved  
6 phosphorous. So basically with the absorbed  
7 phosphorous, as the solids move across the  
8 surface into the reaches and down the  
9 reaches -- as the solids move, so does the  
10 phosphorous load attached to them as well as  
11 dissolved phosphorous which is put into -- has  
12 a dissolved concentration in the groundwater  
13 and the interflow water, so we move both of  
14 them as well.

15 MS. BAKNER: You did the model and you  
16 also went through your process of calibration  
17 and verification?

18 DR. LOWE: Correct.

19 MS. BAKNER: Do you want to show that  
20 on the PowerPoint presentation?

21 DR. LOWE: Sure.

22 MS. BAKNER: We'll need a few minutes.

23

(12:39 - 12:57 P.M. - BRIEF RECESS

24

TAKEN.)

25

MS. BAKNER: We're going to be going



1 over Applicant's Exhibit 161, so if you have  
2 any trouble seeing the screen from where you  
3 are, you might want to move. If you have any  
4 trouble, you can follow along with the  
5 Applicant's Exhibit 161, although I'm warning  
6 you, there will be changes. There has been  
7 some change in the order. So he's going to  
8 let us know when that happens.

9 DR. LOWE: What I'd like to do is go  
10 through what we did in this model, and I want  
11 to focus on getting to the results rather than  
12 belabor too much the complexity of the model  
13 and everything that's inside or otherwise  
14 we'll be here forever going through it.

15 The objectives here are the same as  
16 most of the analysis that's probably been done  
17 on the subject. Assess post-construction  
18 impacts of the proposed project on water  
19 quality, and specifically on total suspended  
20 solids and total phosphorous, which is -- I'm  
21 sure everyone is aware by now -- intrinsically  
22 linked in that the solids carry most of the

23 phosphorous.

24 So the idea was to develop a

25 watershed-based approach that integrates all

1 the effects that are occurring across the  
2 entire system and where the development is  
3 going to occur. Then we can give some  
4 validity to what we're doing by using the DEP  
5 data that was collected within the site area,  
6 within the watershed.

7 So the program we used was HSPF,  
8 Hydrologic Simulation Program - Fortran, been  
9 around for a long time; has its origins back  
10 in the '60s in something called SWM, Stanford  
11 Water Model, and has developed since that time  
12 to become a very comprehensive model. It's  
13 supported by the EPA, also supported by USDA  
14 and Soil Conservation Service and USGS have  
15 all provided funding at different points in  
16 time for this model, for the purpose of  
17 developing it.

18 In terms of our application we were  
19 able to integrate a lot of GIS data that we  
20 had on the project area and bring that in and  
21 build the model around that GIS data. For  
22 example, land use characteristics, slope of

23 land, slope of reaches, reach lengths and so

24 on. (Indicating)

25 As I mentioned briefly before, this

1 model accounts for surface runoff, but also  
2 subsurface flow as well, a phenomenon called  
3 interflow which is flow between the ground  
4 surface and the actual groundwater -- as well  
5 as the interflow, it also accounts for  
6 movement of the groundwater itself.

7 So the flow comes down,  
8 precipitation -- precipitation drives  
9 everything on the watershed. And then that  
10 flow, that rain that comes down has its option  
11 of different pathways that it can go, surface,  
12 subsurface and so on. (Indicating)

13 The solids procedure is basically a  
14 wash-off off the surface where we have  
15 build-up of solids on the surface, and in  
16 terms of impervious surfaces, those solids are  
17 sometimes contained in a soil matrix,  
18 sometimes they're loose, above the soil matrix  
19 on top of the surface. Those processes I  
20 considered. (Indicating)

21 In terms of the impervious surfaces,  
22 they are -- the way that calculation is done,

23           it's actually done as a daily build-up of  
24           solids on the surface, and then when a rain  
25           event comes along, depending on how big an

1 event it is, you basically wash those solids  
2 off the surface. All those solids that move  
3 off the surface end up in the reaches of the  
4 model, and they can be transported downstream.

5 (Indicating)

6 Within the reaches, there's a whole  
7 transport process that goes on, so these  
8 solids can settle out to the bottom of the  
9 reach, they can scour off the bottom of the  
10 reach back up into the water column, and those  
11 processes are considered as well.

12 (Indicating)

13 We consider phosphorous in two parts,  
14 absorbed and dissolved. So basically absorbed  
15 is absorbed under solids, so when the solids  
16 move, you move phosphorous with you.

17 (Indicating)

18 The dissolved phosphorous, as I  
19 mentioned before, we consider that in the  
20 interflow and groundwater portions. We have  
21 dissolved phosphorous there that can move to  
22 the stream. Within the stream itself, we can

23 partition phosphorous between absorbed and  
24 dissolved states. The solids can go back and  
25 forth. That's based on partition, chemical



1 equilibrium theory. (Indicating)

2 We included what we knew about  
3 permitted point sources that were in our  
4 watershed area.

5 The extent of this model encompasses  
6 all the tributaries potentially affected by  
7 the proposed development.

8 This is what the entire domain that's  
9 affected by the development looks like. This  
10 is the -- this is on the Delaware side here.  
11 I call this "Delaware" in the model, you guys  
12 call it Wildacres. (Indicating)

13 MR. RUZOW: That's what we call the  
14 development.

15 ALJ WISSLER: For the sake of the  
16 record, you're referring to --

17 MS. BAKNER: We will introduce that as  
18 an exhibit. We don't have copies today.

19 You might want to get closer, your  
20 Honor, because it shows the tributaries. I  
21 don't know if you can see those or not.

22 ALJ WISSLER: Oh, yes.

23 DR. LOWE: What this map is basically  
24 showing, even though the development is in  
25 here, this is on the Delaware side, and this

1 is the Big Indian side, that in order to  
2 encompass that development, you end up having  
3 to capture these entire areas. These are all  
4 hydraulically connected. (Indicating)

5 Now, what we have is we actually made  
6 two models because the Delaware side and the  
7 Big Indian side are not hydraulically  
8 connected so we can't make one model.  
9 Essentially they're two separate models.  
10 (Indicating)

11 The next figure is just a close-up of  
12 the internal part of this figure. Basically  
13 what we did was just cut off these extending  
14 watersheds that go out just in the figure. So  
15 here is the development here and here.  
16 (Indicating)

17 Now, all the different colors here  
18 represent different sub-watersheds that we  
19 picked up, and those sub-watersheds were  
20 delineated based on the DEP stations that were  
21 set up.

22 If you look at these figures here, you

23           see BelleTod, Belle5 separately delineated.  
24           BelleGig, BelleLost are all broken out  
25           separately. That formed the basis of how we

1 segmented this model.

2 So instead -- the reason we don't just  
3 have one big segment for this side and one big  
4 segment for that side is we would have lost  
5 all the details of the DEP stations. If we  
6 lose the detail, then we can't calibrate it.  
7 In order to calibrate the model, we had to  
8 divide it up this way. And we wanted to use  
9 that data obviously. (Indicating)

10 This point, it says the downstream  
11 boundary of the model, also called the pour  
12 point in watershed jargon, is where all of the  
13 development, plus all the associated area  
14 drains into. (Indicating)

15 So in this Delaware side, for example,  
16 these reaches converge down this way from  
17 Emory Brook up from lower -- and on this side,  
18 they're draining upwards here, and they all  
19 converge at this downstream point here. This  
20 is the downstream point. (Indicating)

21 ALJ WISSLER: That you call the pour  
22 point?

23 DR. LOWE: Pour point.

24 This other side, the Big Indian side,

25 here is the development here, kind of right in

1 the middle. Remember from this figure, we cut  
2 this huge area with Big Indian Hollow. What  
3 you have here, you essentially have two main  
4 branches. You have this Birch Creek Branch  
5 draining down here, and then you have this Big  
6 Indian Hollow coming up from the other side,  
7 and they kind of converge to here.

8 (Indicating)

9 It takes a bit of figuring out and  
10 getting used to looking at these figures, the  
11 orientation of where things are actually  
12 flowing. When you first glance at these,  
13 unless you're used to looking at tributaries  
14 and watersheds all the time, it's not obvious  
15 exactly how the flows are converging and  
16 merging. (Indicating)

17 So as I said, we ended up with two  
18 completely separate HSPF watershed models, Big  
19 Indian and -- I see it is Wildacres -- I refer  
20 to it as Delaware because when I was first  
21 setting up the model, I didn't know the name  
22 of the development on that side and it was

23 part of the Delaware system.

24 Conceptually this is how the model --

25 this is how the linkages go together. This is



1 the Big Indian side. This is the pour point  
2 down here, and here is the branching system  
3 that we used. As I said, the branching  
4 system, the networking is set up so that we  
5 can isolate these DEP stations in the DEP  
6 watershed areas that they captured.

7 (Indicating)

8 ALJ WISSLER: The pour point seems to  
9 be at the confluence of Birch Creek and  
10 Esopus?

11 DR. LOWE: Right.

12 ALJ WISSLER: That is that one?

13 DR. LOWE: Yes. I call it a surface  
14 lower. Really what this is -- this is not so  
15 much a watershed as it is a junction. So it  
16 just kind of forms the joint between those  
17 two. The important thing is it captures the  
18 flow, what's coming off. (Indicating)

19 Here is the same thing for Wildacres,  
20 Delaware side. Again, this is a little  
21 simpler delineation. It was contained at  
22 getting to these data points up there. Again,

23           two systems converge at an outlet point down  
24           there.   (Indicating)  
25                    So we have DEP field data to work

1 with, we have some flow, we have some TSS and  
2 TP data to work with. In addition, on the Big  
3 Indian side, we have a USGS flow gauging  
4 stages which provides us -- we didn't have  
5 water quality data but we had flow that we can  
6 also calibrate against.

7 It was decided to use two periods  
8 where the most data was. So you have a period  
9 of 12 months, April 2001 to March 2002. We  
10 call that our calibration period. Then this  
11 verification period which is a little shorter,  
12 April 1, 2003 through the end of October 2002.

13 (Indicating)

14 Just to explain what these are, this  
15 is jargon that's used in modeling.  
16 Calibration is the way you adjust your  
17 coefficients in the model to match the  
18 observed data, and the verification is then  
19 where you take that calibrated model and you  
20 run it over a different period and see how it  
21 compares with other observed areas. So  
22 basically you set it up here and run it



1 of watershed analysis is the precipitation  
2 data. Everything that happens on the  
3 watershed is driven by precipitation. If you  
4 get precipitation wrong, then all the analysis  
5 that follows is wrong.

6 So we spent considerable time and  
7 effort -- much, much more than I would have  
8 originally thought -- in getting the  
9 precipitation as accurate as we reasonably  
10 could. Our main precipitation station is  
11 right on the mountain, Belleayre Mountain.  
12 It's a DEC station. We get hourly  
13 precipitation data from there, and that was  
14 the driving data set for this whole  
15 calculation. (Indicating)

16 This was not 100 percent complete.  
17 There were gaps in this data that we did have  
18 to -- we didn't fill in every gap but we  
19 compared to the NOAA station in Tannersville  
20 because it was fairly close by, also at a  
21 similar elevation. (Indicating)

22 As you're aware, elevation generates

23 large differences in precipitation data. So  
24 we actually filled in the periods of missing  
25 data with data from that Tannersville station.

1 We didn't fill in every day that was missing.  
2 We looked at the Tannersville station. If we  
3 saw there was a reasonable, a significant rain  
4 event in that time, then we filled it in, but  
5 we didn't try to fill in every day.

6 As I just mentioned, there's a large  
7 variation that occurs through elevation  
8 changes and we used this Prism Climate Mapping  
9 Program -- which is the baby of some guy out  
10 in Oregon who I can't remember because I  
11 didn't actually do this myself.

12 We used this Prism methodology to  
13 account for the differences in elevation on  
14 the sub-watersheds. What we ended up getting  
15 from that -- basically what we ended up doing  
16 was for every one of these sub-watersheds, we  
17 generated a new precipitation record that was  
18 adjusted using Prism to account for some sites  
19 that were higher or lower than others. Again,  
20 this was an attempt to get an accurate as  
21 possible precipitation data set to drive this  
22 model. (Indicating)

23                   What we're going to show here is some  
24                   pictures showing the graphical comparisons of  
25                   our model and the data.   (Indicating)



1 Same for the water quality.

2 (Indicating)

3 Having said -- all the manipulations  
4 we went through to get good precipitation  
5 data, we still have no way of knowing exactly  
6 what fell on a given watershed at a given  
7 time. We're not going to pick up every storm.

8 And it's very obvious to see when you  
9 don't big up storms. When you look at a  
10 tributary flow data and you see it spikes up  
11 and comes back down, that was a rain event.  
12 If we don't have that rain event driving our  
13 model, then we don't pick up that spot. It's  
14 as simple as that. And we're not going to  
15 pick up every spot. That's a given.

16 Once we have calibrated the model, and  
17 I'm going to show you some figures in a  
18 second, I have a separate file showing that,  
19 then we had to come up with design conditions  
20 for our model projections. This was using our  
21 calibration model.

22 We were going to do a one-year

23 simulation period, 1993. We're going to take  
24 that historical precipitation data, 1993. I  
25 assume it has been discussed a fair amount

1 over these few days of why that was chosen, so  
2 we're just going to use that.

3 We used the Tannersville station,  
4 again, fairly close, similar elevation. Then  
5 we adjusted that using our Prism methodology  
6 to basically generate precipitation of all  
7 these different watersheds that we believe to  
8 be fairly accurate.

9 These are just other things we put  
10 into the proposed development. We accounted  
11 for the new point sources that we were told  
12 about. Going through these -- wastewater  
13 treatment plants and this whole system where  
14 they would be discharged to irrigation ponds  
15 from May through the end of August.

16 (Indicating)

17 To put in the land use changes, it  
18 turns out that the actual land use change has  
19 affected a total of eight sub-watersheds  
20 between these two models. The extent of the  
21 development which is shown here -- and you  
22 probably been looking at the plans of this

23            development ad nauseum so you will be aware  
24            that a lot of the boundary of the  
25            development -- within that boundary, a lot of

1 that area isn't going to be changed at all.

2 There's only certain patches that are changed.

3 So areas that aren't changed don't show up in

4 our model. They remain the same.

5 (Indicating)

6 So the changes -- these changes here

7 only affected eight, and these were the

8 changed acres as they were put in the model.

9 So we had three categories; we had

10 landscaped, golf course -- these are both

11 changes to pervious surfaces. Then we had the

12 addition of impervious surface areas.

13 (Indicating)

14 You can see the order of these. This

15 Wildacres site is roughly, from memory, is

16 about 21,000 acres to the pour point. And you

17 can see the changes on that basis, a small

18 area. (Indicating)

19 Big Indian, again, an order of

20 250 acres here -- over 27,000 acres that goes

21 to the pour point of the model. (Indicating)

22 Then we ran -- we actually ran three

23 model scenarios, only two which I'm going to  
24 show because one is kind of an intermediate  
25 scenario. Obviously the existing conditions.

1                   We ran a scenario with the proposed  
2                   changes for development without any of the  
3                   BMPs put in. Then we ran the proposed  
4                   development changes with the effect of the  
5                   BMPs put in.

6                   That's the one I'm going to show you,  
7                   the first and the third one, because that's  
8                   the way the development is expected to  
9                   proceed, and that includes all the things that  
10                  we have already referred to, stormwater  
11                  detention ponds. (Indicating)

12                  HSPF actually has a BMP module to do  
13                  this. The way we do this is we took that  
14                  80 percent solids reduction number and  
15                  replaced that so we could curtail our solids  
16                  off those land uses that are going to have the  
17                  BMPs in them by 80 percent, and that's where  
18                  we got our phosphorous reduction.

19                  We don't put in an extra 40 percent  
20                  for the phosphorous, all we do is reduce the  
21                  solids, and then because we model phosphorous  
22                  absorbed to solids, those solids captured, we

23           could capture some phosphorous as well. We  
24           didn't want to go and put an extra 40 percent  
25           additional phosphorous reduction because we



1 thought that would be double counting  
2 phosphorous reduction. That's kind of the  
3 overview. (Indicating)

4 Let me talk about the calibration. At  
5 this point, this is going to diverge from the  
6 order that you have in your handouts.  
7 Basically the calibration verification plots  
8 are at the back of that file of handouts, and  
9 there's more in there than I'm going to show  
10 here. (Indicating)

11 The first thing we do in the  
12 calibration is to calibrate to the flow  
13 because it's solids and phosphorous are going  
14 to come in logical order after that. So these  
15 are just some, not all of the calibration, and  
16 these are both calibration and verification.  
17 I'm not going to split them out. Essentially  
18 you're going to be looking at the same thing.  
19 (Indicating)

20 This is the USGS flow data for Birch  
21 Creek, and the model is in blue and the data  
22 points are in red. (Indicating)

23                   Of course the thing that everyone  
24 notices right away is this -- this is the big  
25 snowmelt. This model does calculate snow. It

1 creates fallen snow and it forms a snowpack on  
2 the ground, it builds that up over the winter,  
3 and then when the temperatures rise, it melts  
4 it away. (Indicating)

5 ALJ WISSLER: These are actual flows  
6 down out of Birch Creek?

7 DR. LOWE: These red ones are actual  
8 daily measured.

9 ALJ WISSLER: And the precipitation is  
10 in inches?

11 DR. LOWE: Yes.

12 ALJ WISSLER: Where is that data  
13 obtained from?

14 DR. LOWE: This is the data that we  
15 used in our model. This is our -- basically  
16 Belleayre Mountain data, augmented by the  
17 missing days we filled in, and then all of  
18 that has gone through that whole Prism  
19 methodology to adjust it. (Indicating)

20 ALJ WISSLER: Which was Tannersville;  
21 was it?

22 DR. LOWE: Yes. We only included a



1 Belleayre Mountain data and we looked at  
2 Tannersville, we saw there was a fairly  
3 significant discrepancy of the total rainfall.  
4 Then we looked at data -- it was obvious there  
5 were chunks of time where there was just no  
6 data. Then we looked at Tannersville, and if  
7 we saw a big event that fell within that time,  
8 we put it in.

9 We ended up putting in seven or eight  
10 events over a period of a year. We didn't try  
11 to fill in every day, because I mean, filling  
12 in small days is going to just affect little  
13 bumps. (Indicating)

14 ALJ WISSLER: Just so that I'm clear.  
15 So that -- this is for the same January 2001  
16 through December 2002, that's for the same  
17 period?

18 DR. LOWE: Yes, this runs on the same  
19 time line.

20 ALJ WISSLER: But for instance, in  
21 April 2001, you have a increase in flow  
22 suggesting a precipitation event occurred

23           within that period?

24                         DR. LOWE: No, this is snowmelt.

25           That's an area of significant snowfall. This

1 is always the most dominant. (Indicating)

2 ALJ WISSLER: But then we have, like  
3 September here, a bit of an increase, and then  
4 corresponding to that precipitation --

5 DR. LOWE: A big event there.

6 ALJ WISSLER: Here in July/August, you  
7 have precipitation that's occurring but  
8 nothing corresponding in the flow of Birch  
9 Creek; do you understand what I'm saying?

10 DR. LOWE: Yes.

11 ALJ WISSLER: Why is that?

12 DR. LOWE: This is data that we just  
13 added recently. Two reasons for that. One is  
14 that the station might have gone off-line,  
15 they might actually be just zeros, there's a  
16 chance of that; or the other reason is in the  
17 summer, you lose a lot to evaporation. So now  
18 you're wetting the ground. The ground isn't  
19 frozen anymore. So you have all this rain and  
20 it's working its way through the ground. And  
21 as it goes through the ground, you lose it by  
22 evaporation.

23                    You can see the model picked that up  
24                    as well. It didn't get quite as low, but you  
25                    can see it's getting low, even though we had a



1 big chunk of rain. (Indicating)

2 Bear in mind that around these cold  
3 months, you don't lose anything to  
4 evaporation.

5 ALJ WISSLER: These points here, here,  
6 here. January and February? (Indicating)

7 DR. LOWE: Basically when the air  
8 temperature is below freezing, below 32 --  
9 probably anything from 40 degrees Farenheit on  
10 down, your evaporation loss is really starting  
11 to be curtailed. (Indicating)

12 You can see actually next year here,  
13 you have snowmelt but you have nowhere near  
14 the same intensity. So you might have either  
15 had less snow or you had the same amount of  
16 snow, it just melted over a longer period of  
17 time. This looks like it just warmed up and  
18 never went cold again. So you just basically,  
19 in a short period of time, washed off all the  
20 snow. (Indicating)

21 The other phenomenon -- this is where  
22 you generate large volumes of flow without

23 associated large amounts of solids or  
24 phosphorous because it's not scouring. It's  
25 not rain hitting and washing stuff off the

1 surface; it's a more controlled process. So  
2 you get relatively clean water coming off.

3 (Indicating)

4 Then you can see some weird things  
5 happen too once you pass this point. Once the  
6 snowcap is gone, you can expose a lot of  
7 solids there. So if you were to get -- it  
8 happened here. Once the snowcap goes, then  
9 you get a big rain event, you potentially have  
10 a huge spike in solids. (Indicating)

11 These are just snapshots of the other  
12 data. This is some of the BelleGig flow data  
13 for our calibration period. Again, the day  
14 this started, right around that time, you were  
15 seeing a fairly large snowmelt. (Indicating)

16 Here is the verification period of  
17 flow at BelleGig. (Indicating)

18 ALJ WISSLER: The difference between  
19 the blue and the -- this is the actual  
20 empirically observed --

21 DR. LOWE: Yes, this is the observed.  
22 The dots are --

23

ALJ WISSLER: And the blue is?

24

DR. LOWE: Blue is the model. So it's

25

continuous.

1                   The other thing I didn't mention, this  
2                   model runs in one-hour time slips, so it does  
3                   a calculation every hour. And these  
4                   observations -- the output files from the  
5                   model are actually daily, daily average  
6                   values, just to get down the amount of days  
7                   that you have. (Indicating)

8                   Similar stories. (Indicating)

9                   Again, this is what we do first. We  
10                  try to calibrate the flow. This is Birch  
11                  Creek. (Indicating)

12                 The one thing that I was trying to do,  
13                 is because we have a fairly homogeneous  
14                 watershed, is not to adjust parameters on a  
15                 watershed-by-watershed basis in order to match  
16                 the individual data that we're picking up.

17                 So basically all of these -- both of  
18                 these two models use essentially the same  
19                 coefficients, which is what you would expect  
20                 if you have fairly homogeneous watersheds in  
21                 terms of land use characteristics, so it  
22                 wouldn't make sense to have a wide range of

23 coefficients going across the sub-watersheds.

24 That would improve the calibration --

25 ALJ WISSLER: Let me ask you this:

1 The model suggests this increase in flow here,  
2 and that corresponds to the precipitation, yet  
3 the observed is kind of flat?

4 DR. LOWE: Yes.

5 ALJ WISSLER: What is that?

6 DR. LOWE: That's modeling. Who  
7 knows. As I said, we have no way of  
8 absolutely guaranteeing that our precipitation  
9 is actually what happened on the watershed,  
10 and this is -- you can see the correlation is  
11 direct. It rains, it spikes. Sometimes we're  
12 just not going to get the precipitation right.  
13 And sometimes in the real world, you see data  
14 that 9 percent of the time models seem to do  
15 it, other times it just doesn't.

16 One of the things that always catches  
17 people's eye is the spikes, but with watershed  
18 models, this -- this is one day, one day live  
19 values, and the same with the data. Sometimes  
20 you get those spikes. (Indicating)

21 When we have what we think is a  
22 reasonable flow calibration, then we move on

23           and we do the solids.  And the reason we do  
24           the solids after the flow is obvious -- if we  
25           get the flow wrong, then we don't have a



1 chance of getting the solids right.

2 Solids are a difficult proposition to  
3 model for a lot of reasons. One of the  
4 reasons is that a lot of the data is just a  
5 single grab sample. Somebody goes out and  
6 collects a grab and takes it back. If you  
7 have one sample at one point in time, that  
8 sample, even over the course of a day or  
9 24 hours, the solids in the stream are going  
10 up and down.

11 So you may not have a great  
12 representation of that day, let alone what  
13 we're trying to do, which is project this over  
14 the course of a year.

15 So the best we hope to do with solids  
16 is to try to put the model in the same range  
17 as the observed data. The more data that we  
18 have, the better we can generally adjust the  
19 model to fit the data. (Indicating)

20 This is Belle5. For example, Belle5,  
21 looks like -- at least in this period -- every  
22 time they went out and sampled, it was not

23           during an event, judging by these incredibly  
24           low numbers that they're picking up, which you  
25           wouldn't expect if you went and sampled during

1 a storm event. (Indicating)

2 ALJ WISSLER: You would expect more  
3 turbidity, and you would expect solids to be  
4 in the water?

5 DR. LOWE: Yes. If you look at these  
6 numbers, these numbers are in the one to two  
7 range. It would be hard to believe that that  
8 was during an event. But of course --

9 ALJ WISSLER: Notwithstanding the fact  
10 that the model suggests that there was an  
11 event.

12 DR. LOWE: Well, the model picks up  
13 the events and correspondingly spikes up the  
14 solids. These days kind of fall a lot.  
15 (Indicating)

16 The other trick in this game is to  
17 look at the scales. The scale changes. You  
18 can see the scale only goes up to 25. So it's  
19 only up to 20, 25. (Indicating)

20 This is just more of the same. Again,  
21 you can see -- probably no storm events in  
22 here. At least you're seeing good consistency

23 in the data. One spike there. (Indicating)

24 ALJ WISSLER: For instance, in this

25 case, even though the chart -- the model is

1 for this one-year period, you only have  
2 observed data through the 1st of August?

3 DR. LOWE: Right, that's all the data  
4 there was. If they collected it, we plotted  
5 it.

6 ALJ WISSLER: Just as an aside, you  
7 have this enormous spike here and you have a  
8 precipitation event that is relatively low.  
9 Over here, you have a spike and you have a  
10 precipitation event that appears to be twice  
11 as long?

12 DR. LOWE: Yes. That's exactly the  
13 nature of calculation. For example, the  
14 highest spikes that you'll see in solids don't  
15 always correlate to the biggest events. The  
16 worse case is if you had a very long dry  
17 period with no precipitation and then you get  
18 a rain event, even a moderately sized rain  
19 event, you get a tremendous amount of solids  
20 washes off, huge spike, because it has  
21 accumulated basically.

22 Then if you were to get a bunch of

23           minor rain events but consistently occurring  
24           and then you got a huge rain event, you  
25           wouldn't see a corresponding huge amount of

1 solids because basically the previous however  
2 many days before you kind of scoured off the  
3 loose stuff and already moved it. So it's not  
4 a linear process by any means.

5 In this case you can see that we had  
6 nothing for a time period of two weeks before,  
7 and then this relatively modest storm comes  
8 along, it builds up and gets washed down.

9 (Indicating)

10 So in general, you see spikes in  
11 solids where you see spikes in precipitation,  
12 but they're not always linear-related. In  
13 fact, in general, they never are. And if you  
14 get a period of persistent rainfall, then you  
15 may not see a spike.

16 This is actually three years plotted  
17 on one plot. This is phosphorous. After we  
18 were okay with what we were doing with solids,  
19 then we went on and we looked at phosphorous.  
20 Phosphorous is, again, in general it's less  
21 data than the solids data, and it tends to be  
22 much more volatile. In this case -- this is a

23 verification, the modeling starts here. This  
24 model is really only working up here.  
25 (Indicating)



1                   Again, we have very limited data.  
2                   We're picking up -- looks like one day a month  
3                   here -- so we don't have a tremendous amount  
4                   of data so that the -- because the model is  
5                   run every hour, it's going to show much, much  
6                   more variation. (Indicating)

7                   Again, we see this large variation,  
8                   large numbers that pop up occasionally, and  
9                   your model may never get all those spots.  
10                  Sometimes it will, but sometimes it won't.  
11                  (Indicating)

12                  What I look for in this sort of plot  
13                  is that a lot of times we're hovering around  
14                  where a lot of the data was, and then we have  
15                  a bit of a range that is somewhat approaching  
16                  that high number, but it doesn't always  
17                  happen. It doesn't get all the way up to the  
18                  top of that range, and we probably would not  
19                  expect it to. (Indicating)

20                  This was BelleGig verification showing  
21                  there was only two points during this time.  
22                  So in this case we have the two points, and

23           when you only have two points like this, such  
24           limited data, the most we could expect the  
25           model to do is to kind of drift around the

1 same range.

2 ALJ WISSLER: You're pointing to here  
3 and here? (Indicating)

4 DR. LOWE: Yes. This is just the  
5 legend, telling what's going on. This is just  
6 a plotting error. For some reason, it picked  
7 up some negative numbers in the fall and tried  
8 to plot them. That's just spurious noise from  
9 the plotting. (Indicating)

10 Again, not a lot of data, model more  
11 or less gone through the middle of the data.  
12 (Indicating)

13 Here is a little more data. Some  
14 larger events at the end of the period that we  
15 pick up. Part of that -- we didn't  
16 particularly have a lot of rain that we were  
17 driving the model with so we may not have seen  
18 old precipitation that actually came down.  
19 (Indicating)

20 Same thing for a different site.  
21 (Indicating).

22 So our conclusion is that we don't

23           have a perfect model obviously, and we're  
24           never going to have a perfect model. It's  
25           just the nature of sporadic data, and trying

1 to capture that exactly would be an  
2 impossibility, but what we think we have is a  
3 model that more or less represents what's  
4 going on. We tend to get things in the same  
5 range and we think on that basis we have a  
6 model that is as calibrated as we think we're  
7 going to get, without spending a tremendous  
8 amount more time. We'll probably getting  
9 little benefit from going there.

10 So we think we have a model that's  
11 consistent. We have parameters that are  
12 consistent across the watershed. This isn't a  
13 model that's been tweaked for every one of  
14 those small watersheds individually -- which  
15 we could do. If we do that, we'll get the  
16 model to go through the data. But we didn't  
17 do that. We have a model that if you looked  
18 at all of the data together, we have a model  
19 that does a fair job of representing where all  
20 the data is at.

21 Then on that basis, we went ahead and  
22 ran these projection runs. This is 1993 year.

23 I'm only going to show solids and phosphorous.  
24 Flow didn't change. Our model is on too large  
25 a scale to pick up the individual flow

1 changes. We're using data at times that  
2 you're never going to see any differences in  
3 flow. So what we're looking for is  
4 differences in solids and phosphorous.

5 (Indicating)

6 I'm only going to plot the watersheds  
7 that changed. The watershed that had no  
8 change, obviously their before and after are  
9 exactly the same. What I'm going to show is  
10 from the top of the watershed working down --  
11 so Emory Upper is our uppermost portion of  
12 this watershed. What you should see is the  
13 watersheds that have the biggest percentage  
14 change in them should show the biggest  
15 differences. (Indicating)

16 So the blue line here, BMP -- this is  
17 the proposed conditions with the BMP, and the  
18 green line is the existing conditions.  
19 Unfortunately the blue and the green are going  
20 to flip back and forth because I have no  
21 control over this plotting program whatsoever.  
22 This is an HSPF add-on utility, and it seems

23 to have a mind of its own in how it produces

24 the colors. (Indicating)

25 So on the upper portion of the



1 watershed right at the top here, we see that  
2 the changed conditions listing the solids, the  
3 spikes are larger most of the time than the  
4 existing condition. (Indicating)

5 ALJ WISSLER: Why is that?

6 DR. LOWE: We're projecting more TSS,  
7 aquatic TSS loadings. In some cases, where  
8 you see one line, it's not obvious where this  
9 peak ends, one obliterates the other.

10 (Indicating)

11 That's what we would expect to see up  
12 in the upper reaches of the watershed where  
13 the effect is going to be most felt. So a  
14 result like this gives us some confidence that  
15 our model is actually doing something. If we  
16 didn't see any change here, then the  
17 conclusion would be: Well, the model isn't  
18 doing anything, it's not working. The fact  
19 that we do see differences, which you expect,  
20 is good.

21 This is the same watershed, Emory  
22 Upper right at the top of that system. Again,

23 the blue line indicating an increase after  
24 development as compared to existing  
25 conditions. (Indicating)

1                   As you work your way down this Emory  
2                   Brook system, the next piece you get to is the  
3                   Belle5 Watershed. Here the colors are flipped  
4                   around. In this case, what you see is that,  
5                   in general, the proposed conditions are lower.  
6                   In some cases, it's hard to tell. They may be  
7                   the same or slightly larger, but overall the  
8                   blue poking through here is the existing  
9                   condition. So it's actually showing you a  
10                  reduction in projected solids. (Indicating)

11                  This is the phosphorous for that same  
12                  site, still higher than the existing  
13                  conditions. Again, probably somewhat what you  
14                  would expect on these real small watershed  
15                  that's the same land use change. That's going  
16                  to be most affected. (Indicating)

17                  Below those systems is what we call  
18                  Emory Lower, so we're working our way down  
19                  through the system now. What happens as you  
20                  work your way down, you're accumulating larger  
21                  and larger drainage areas. This individual  
22                  watershed that we parceled out may not be all

23           that large, but it's also receiving  
24           contributing flow from everything above it.  
25           So the acres that drain into this are going up

1 and up and up as you go down. (Indicating)

2 What you see here is a bit -- in some  
3 places, the blue line here is the projected.  
4 Some cases it's lower. The high points are  
5 lower. And over the summer, it was projected  
6 to be higher. (Indicating)

7 So on average, about the same for  
8 phosphorous, but made up of sometimes being  
9 higher, sometimes being lower.

10 This is the corresponding TSS plot to  
11 this Emory Lower Watershed. As you can see,  
12 they're pretty much on top of each other at  
13 this point. What you're seeing is what we  
14 expect to see. As you go down the system and  
15 add area, you see a dampening effect. And  
16 that's exactly what we're seeing through the  
17 model. (Indicating)

18 This is just the outlook point, looks  
19 kind of like Emory -- the lower one before it,  
20 it's directly downstream. Essentially the  
21 same. That's like the previous part.  
22 (Indicating)

23                    Then for completeness, show BelleTod,  
24           BelleTod kind of comes in right at the pour  
25           point down there. It sits on its own little

1 system off to the side there, and you can see  
2 they're pretty close. Again, you can see the  
3 numbers rising towards the end of the spring  
4 melt. You see that big spot. (Indicating)

5 Solids, BelleTod, pretty much on top  
6 of each other. (Indicating)

7 Finally, the last thing I have to show  
8 you is exactly the same sequence on Big  
9 Indian. Working from the upper reaches of the  
10 watershed, this Birch Creek Upper working down  
11 towards the pour point. (Indicating)

12 You'll see this in all the plots on  
13 this Big Indian. The phosphorous plots are  
14 dominated by this one day when this huge  
15 number came off. I'm not exactly sure what  
16 propagated that huge number but I suspect --  
17 if I had to guess -- that we had snowmelt in  
18 here. This is probably the point where the  
19 snowpack disappeared, and now the ground is  
20 laid bare, and then we have a precipitation  
21 event and washed all the solids off with that.  
22 So you're going to see that spot showing up

23 right there again. (Indicating)

24 Again, this is a large solids load

25 coming off of it. (Indicating)



1                   This particular portion, the upper  
2                   point of the watershed, there wasn't a lot of  
3                   land use changes, that's why we don't see a  
4                   lot of difference there. (Indicating)

5                   As we work our way down, BelleGig is  
6                   down here, working the way down the system;  
7                   smaller watershed, more changes, so you see --  
8                   again, the big number, but you can see that  
9                   we're predicting, for much of the year,  
10                  increases in TP from the changed conditions.  
11                  (Indicating)

12                  Solids, I'm not actually sure this  
13                  plot is right. I think this plot may be two  
14                  different days that got mixed up.  
15                  (Indicating)

16                  ALJ WISSLER: How so?

17                  DR. LOWE: They look so different.  
18                  This thing looks completely flat here so I am  
19                  not sure. You saw all the others. There was  
20                  a correlation between the before and after,  
21                  and this one, there's no correlation at all,  
22                  so I wouldn't read too much into that. It may

23           be likely that we plotted two different dates.

24           (Indicating)

25                       BirchMid, not any noticeable

1 difference between before and after there.

2 Some slight differences in the solids on the  
3 peaks, not a lot -- looks like the  
4 post-development peaks are slightly higher  
5 later on in the year. (Indicating)

6 During this snowmelt period, they look  
7 like they're pretty much tracking the same.  
8 That may well be the case because when the  
9 ground is covered with snow, these changes  
10 kind of get nullified and snow is snow, and  
11 the land use that's under it is obviously  
12 covered. (Indicating)

13 Again, no noticeable changes there.  
14 Although, if you were to re-plot this and take  
15 out this peak and everything moved up, you may  
16 see some more discrepancies. (Indicating)

17 A similar story here for the solids.  
18 (Indicating)

19 This is just the outlet, this is the  
20 combined. Basically what happens is all this  
21 huge Big Indian Hollow Watershed gets added  
22 into the calculation, so all of the numbers

23           are flowing and everything continues to jump.

24           (Indicating)

25                       This is the last plot. This is the

1 TSS for the outlet point on that.

2 (Indicating)

3 MR. RUZOW: Your read of that, Scott,  
4 is that they're matching up basically between  
5 pre- and post?

6 DR. LOWE: That's what, for the most  
7 part, the plots are showing --

8 MR. RUZOW: By the time they're  
9 reaching the outlet points, the pour points as  
10 you suggested for the basins themselves, the  
11 watershed areas that are affected, they're  
12 running very parallel between pre- and post?

13 DR. LOWE: Yes. This side, much  
14 more -- I mean you can't even tell the  
15 difference -- but this is a big watershed.  
16 This is like 27,000 acres. You're trying to  
17 look at the difference of 250 acres of change  
18 over 27,000 to get a total capture. You would  
19 expect that you're just going to dampen  
20 everything out. (Indicating)

21 The other side was a little more  
22 interesting, the Delaware side, because the

23 averages looked the same but you could  
24 actually see the discrepancies. That was the  
25 one where you saw the post-development peaks

1           were lower, but it tended to carry a larger  
2           concentration over the summer. That's it.

3                   MS. BAKNER: This, for us, is pretty  
4           much close to the first time we have seen this  
5           information. So what we would plan to do is  
6           submit a report to go along with it so that  
7           it's clear when you're looking at it back in  
8           the office what the slides mean. It will also  
9           give us a chance to look at the BelleGig 1993  
10          slide to see if there was an error with that.

11                   MR. RUZOW: The plotting with that.  
12          But let me ask Scott. You have seen the data  
13          that the LA Group put together in terms of  
14          predicting phosphorous levels in this area.  
15          You have done your own modeling for purposes  
16          of that.

17                   Are the changes -- Keith Porter from  
18          the Water Resources Institute at Cornell  
19          characterized the changes that these various  
20          models and estimations were predicting, I  
21          believe the word was trifling in the  
22          watersheds in which this project is located.

23           Would that be your view as well?

24                         DR. LOWE: I think my view is kind of

25           the story that I represented. When you go up



1 to the upper reaches where you are at the real  
2 small watershed, then you see a change. The  
3 plots show that, you saw the change. But then  
4 as you go down, the change is very hard to  
5 detect. It's getting lost in just the volume  
6 of material that's coming from elsewhere. So,  
7 yeah, the changes look small.

8 MS. BAKNER: That's it. That's all we  
9 have with respect to that.

10 ALJ WISSELER: Are you finished?

11 MS. BAKNER: Not completely finished  
12 but I can do this quickly. I just wanted to  
13 point out that we have the resume of Guy  
14 Apicella in the packet. He assisted Scott in  
15 doing the model. Steven Bilheimer and Thomas  
16 Vanderbeek reviewed the HydroCAD analysis that  
17 LA Group did, and we'll be entering a letter  
18 into the record at a later date sharing their  
19 views on the HydroCAD analysis. As you can  
20 see, we just had one part done relatively  
21 recently, so we wanted to make sure we had  
22 everything in there.

23                   The other thing we have introduced  
24                   into the record is the three exhibits, 149,  
25                   150 and 151. 150 and 151 have to do with the

1 old SPEDES General Permit. We thought it was  
2 important to put that in there because Pat,  
3 during his presentation, talked about how we  
4 applied under the old permit, and then of  
5 course there were changes later under the new  
6 permit. So we just wanted to make sure we had  
7 a complete record on that.

8 Similarly, with respect to the DEP  
9 letter concerning Phase 1 and Phase 2 of the  
10 stormwater program, we just wanted to make  
11 sure that we had everything regarding those  
12 programs that we could find in the record.  
13 That's all.

14 MR. ALTIERI: Can we have a minute,  
15 your Honor?

16 ALJ WISSLER: Certainly can. You can  
17 have five of them if you want.

18 (2:06 - 2:20 P.M. - BRIEF RECESS  
19 TAKEN.)

20 ALJ WISSLER: Mr. Goldstein.

21 MR. GOLDSTEIN: A quick process point  
22 on today's going-on, if I may. Maybe I'm

23 missing something here, but there's a concern  
24 that we have -- the project Applicant and the  
25 sponsor prepared the Draft Environmental

1           Impact Statement and all the supplementary  
2           materials. The City, CPC, the State came in,  
3           presented their issues for adjudication. We  
4           have had rebuttals on all sides again, but  
5           today, particularly on the stormwater issue,  
6           the Applicant, in addition to presenting  
7           rebuttals, is presenting revisions to plans.

8                     Those revisions may address some  
9           issues, may create other problems. I'm  
10          wondering how the City, the State and CPC will  
11          be able to address those. Obviously, in an  
12          adjudicatory hearing, we would be happy to  
13          discuss those in more detail, but short of  
14          that, it's unclear to me, I mean, this could  
15          be a never-ending process.

16                    ALJ WISSLER: I think if Mr. Gerstman  
17          was here, he would say something like: Your  
18          Honor, we reserve the right to respond in  
19          writing to the submissions that were made  
20          today.

21                    MR. GOLDSTEIN: Well, that would  
22          certainly be one thing that we would ask.

23 ALJ WISSLER: And I think that's, at  
24 this point, just about understood for  
25 virtually everything we have done.

1 MR. GOLDSTEIN: We'll continue that  
2 process then.

3 MS. MELTZER: Your Honor, to pick up  
4 on that question which we share, I guess --  
5 the question of whether or not issues have  
6 been -- ultimately that you'll be looking at  
7 whether or not adjudicable issues have been  
8 raised -- will be based on -- not on responses  
9 to the initial submissions by the Applicant to  
10 the DEIS and the plans as of May, but it will  
11 be based on remaining or new issues raised by  
12 the potential intervening parties concerning  
13 submissions as of August, or concerning  
14 submissions as of October?

15 It's not clear -- I would like some  
16 clarification on what we're looking at. What  
17 issues are you considering in terms of  
18 determining whether they're adjudicable?

19 ALJ WISSLER: I'm not sure I'm clear  
20 on what you want from me. Clearly, there are  
21 responses that need to be made in the nature  
22 of sur-rebuttal or sur-reply of some kind.

23                   To the extent that you believe that  
24                   new issues have been raised, then -- and to  
25                   the extent that -- let me just understand --



1 to the extent that new issues have been raised  
2 and those issues you don't feel are covered in  
3 your petition, are you asking me about whether  
4 or not to amend --

5 MS. MELTZER: I assume you'll let us  
6 respond to the submissions that have been made  
7 today and raise issues based on those, even if  
8 they are not identical to issues that we  
9 raised initially?

10 ALJ WISSLER: Of course, sure.

11 MS. MELTZER: To use a specific  
12 concrete example, one of the issues that we  
13 raised had to do with whether or not the --  
14 some of the stormwater ponds would create  
15 point source discharges.

16 At this point that issue has shifted  
17 because the Applicant has -- subject to our  
18 review of the new plans of course, which we  
19 haven't had a chance to review -- but based on  
20 their presentation today, it looks like that  
21 issue has shifted.

22 They have proposed an alternative way

23 of dealing with these potential point sources,  
24 actually creating actual point sources. So  
25 the issue that we originally raised has been

1           either addressed or modified, but that issue  
2           is no longer really before you.  So I'm trying  
3           to clarify what is the status of that issue,  
4           what is the status of new issues.

5                     ALJ WISSLER:  You mean an issue that  
6           may have been raised may be rendered mute as a  
7           result of changes?

8                     MS. MELTZER:  Yes.

9                     ALJ WISSLER:  Well, it just seems to  
10          me, using that original issue as a starting  
11          point and seeing where we have now ended up,  
12          if the issue has morphed into a different  
13          issue --

14                    MS. MELTZER:  The question then is  
15          whether or not, based on the new plans, there  
16          is an adjudicable issue.

17                    ALJ WISSLER:  Right.  I mean you  
18          should feel free to raise that.  I'm not going  
19          to stop you from raising that.

20                    MS. MELTZER:  Thank you.

21                    ALJ WISSLER:  Is that helpful to you,  
22          Mr. Goldstein?

23 MR. GOLDSTEIN: Yes, your Honor.  
24 ALJ WISSLER: Mr. Altieri.  
25 MR. ALTIERI: Thank you, your Honor.

1 Introducing Pat Ferracane, he was introduced  
2 before.

3 As to the prior discussion of the  
4 stormwater issues, you articulated a certain  
5 concern regarding stormwater runoff from  
6 ponds; correct?

7 MR. FERRACANE: Correct.

8 MR. ALTIERI: Briefly what was that  
9 concern?

10 MR. FERRACANE: The concern was  
11 related to the discharge of overland flow to  
12 steep slopes and the potential for creating  
13 erosive flows down the slopes and erosion on  
14 the slope.

15 MR. ALTIERI: Today, from the  
16 Applicant we saw a presentation and some plans  
17 that seemed to address that concern; is that  
18 correct?

19 MR. FERRACANE: Yes.

20 MR. ALTIERI: In your opinion, does  
21 the modified -- these modified plans, does  
22 that address your initial concern?

23                   MR. FERRACANE: They appear to based  
24                   on the presentation that the LA Group has  
25                   given on the modifications. It seems that it

1 has addressed the flow by removing it from  
2 part of the plan, but we do need the  
3 opportunity to take a closer look to see that  
4 indeed it has, and that in doing so, it hasn't  
5 created some another problem.

6 MR. ALTIERI: In that regard, we're  
7 simply reserving the right to review more  
8 closely the written submissions and whatnot.

9 ALJ WISSLER: So noted.

10 MR. ALTIERI: And this general  
11 reservation, I guess, would also apply  
12 regarding the modeling we just saw, and any  
13 written materials that will be forthcoming in  
14 that record, and having staff have adequate  
15 time to review these plans and the modeling.

16 Pat, you had one more concern  
17 regarding --

18 MR. FERRACANE: More a point of  
19 clarification. Ms. Bakner made the statement  
20 that the New York State Stormwater Management  
21 Design Manual changed and altered the  
22 pollutant load reduction for phosphorous from

23           50 percent to 40 percent; when in fact,  
24           chapter 5 of the manual, which has not changed  
25           since its original introduction in 2001 --



1 chapter 5 being the performance standards of  
2 the manual -- state that 80 percent and  
3 40 percent -- 80 percent total suspended  
4 solids and 40 percent phosphorous removal are  
5 the removal rates associated with all of the  
6 practices in the design manual.

7 The change that occurred from one  
8 version of the manual -- from the 2001 version  
9 of the manual to the 2003 version was the  
10 elimination of an appendices that addressed a  
11 pollutant load model that had a different  
12 pollutant load removal efficiency associated  
13 with the micropool extended detention ponds,  
14 and that was 50 percent.

15 But that was never intended to be a  
16 performance standard or be considered a  
17 performance standard. The only performance  
18 standard is in chapter 5, and that always was,  
19 and still is, 80 percent TSS and 40 percent  
20 phosphorous removal.

21 MS. BAKNER: So can I ask you a  
22 question: Did we use the right number?

23                   MR. FERRACANE:  If you used  
24                   80 percent, 40 percent, yes, you used the  
25                   right number.  It was more of a clarification.

1 MR. YOUNG: Was there a performance  
2 standard in the Phase 1?

3 MR. FERRACANE: Explain what you mean  
4 by Phase 1. You mean initial permit, GP 9306,  
5 was there a performance standard?

6 MR. YOUNG: Yes.

7 MR. FERRACANE: There was a guideline  
8 in one of the appendices that stated that the  
9 post-development pollutant load should be  
10 attenuated to pre-development conditions; but  
11 it was not in the body of the permit. It was  
12 in one of the appendices and I can't recall  
13 offhand which one it was.

14 MR. YOUNG: What does that mean?

15 MR. FERRACANE: We never interpreted  
16 it as a standard, as a requirement. Let me  
17 qualify that by saying, we never interpreted  
18 it in DEC Region 3 area as an absolute, that  
19 you had to attenuate post-development  
20 pollutant loads to pre-development levels.

21 MR. ALTIERI: Unless your Honor has  
22 any questions --

23 ALJ WISSLER: Two things for you. One

24 is DEC 11.

25 MR. ALTIERI: Correct, left that on

1           there this morning.

2                     ALJ WISSLER:  Are we introducing this?

3                     MR. ALTIERI:  I believe it was already  
4           admitted but it had to be copied.  And I  
5           distributed copies and you have the original.

6                     ALJ WISSLER:  Dr. Lowe in his  
7           presentation made reference to Belleayre  
8           Mountain DEC Air Monitoring Station hourly  
9           precipitation data used in his modeling.  I  
10          want that.

11                    MR. ALTIERI:  Your wish is my command.

12                    ALJ WISSLER:  With that, Mr. Young.

13                    MR. YOUNG:  Your Honor, the reason  
14          that the Coalition is here, and today I'm  
15          speaking on behalf of all the watershed  
16          communities, is what we see in this proceeding  
17          terrifies us that we'll never have another  
18          project.  Particularly on this issue of  
19          stormwater, that we're still at an Issues  
20          Conference and we're adjudicating whether or  
21          not something to -- well, we're investigating  
22          whether or not there's something to

23           adjudicate.

24                       I have to estimate this Applicant has

25           spent 500, \$600,000 by now. He must be

1 spending \$10,000 a day on just having all  
2 these technical people here.

3 The point is that if you weren't in  
4 the New York City Watershed the way we are, we  
5 have a stormwater program, and the stormwater  
6 program, up until two years ago, said you had  
7 to disturb five acres before you triggered the  
8 stormwater program. Now it's two acres or one  
9 acre. Now it's one acre.

10 In a normal watershed, you have an  
11 engineer who prepares your plan. That plan  
12 has an erosion control component to it, and it  
13 has a component as to how you're going to  
14 handle post-development stormwater. The focus  
15 of the plan, as I understand it, is the  
16 selection of the technology that is going to  
17 collect the water and achieve the 80 percent  
18 or 40 percent reduction. That's what they  
19 focus on.

20 A person outside the watershed has an  
21 engineer, develops a plan, they submit a  
22 notice of intent with some description of the

23 plan and how they comply with the -- they  
24 don't need to submit the plan but from the  
25 description, that they comply with the general



(STORMWATER ISSUE)

4646

1 permit, wait five days and they can go ahead.

2 In the watershed, because we're in a  
3 TMDL -- regardless of whether we're stressed  
4 for phosphorous -- every water body has a TMDL  
5 for phosphorous, and if we're going to admit  
6 phosphorous, then we have to do a 60-day  
7 notice period.

8 In addition, we have in the watershed,  
9 we have an individual permit that we have to  
10 get from DEP. Just as Mr. Ferracane  
11 indicated -- well, different than what he  
12 indicated -- DEP interprets their regulation  
13 absolutely as saying that you can have no net  
14 increase. That's what we're fighting about.  
15 They interpret that there's a performance  
16 standard; you can't admit more  
17 post-development than you admitted  
18 pre-development.

19 This Applicant, when he is done with  
20 all this, still has to go and get that  
21 individual permit from DEP. So all these  
22 calculations that we're doing for purposes of

23           this Issues Conference are going to be done  
24           again for purposes of that to the satisfaction  
25           of DEP, and he is going to have to prove to

1 DEP, as part of the individual permitting,  
2 that his discharges are no greater now than  
3 they were pre-development.

4 So what are we going to adjudicate at  
5 the adjudicatory hearing if the Applicant, if  
6 the standard that the Applicant has to meet --  
7 you might as well say this: The baseline is  
8 also the DEC draft permit.

9 In this particular case, unlike every  
10 other case I have been involved in, instead of  
11 just relying on a general permit, DEC issued  
12 an individual -- proposes to issue an  
13 individual permit.

14 An individual permit with monitoring  
15 the effluent, monitoring the stormwater basins  
16 to conform that it's all kosher, that the  
17 Applicant does what he says he's going to do,  
18 and as part of that individual permit, they  
19 have to submit detail design plans on their  
20 stormwater collection system and on their  
21 stormwater treatment system and have them  
22 approved by DEC, in addition to having them

23 approved by DEP.

24 We're worried about, I take it, two

25 primary pollutants, phosphorous and TSS. We

1 have sort of demonstrated -- or the City will  
2 concede -- that this is de minimus from a  
3 phosphorous point of view, that the amount of  
4 phosphorous that this particular project,  
5 under -- no mater whose estimates you're going  
6 to review -- is de minimus. It's not going to  
7 have an impact on the overall water quality of  
8 the Pepacton or the Ashokan.

9 And on TSS, I think, you know -- I  
10 can't -- there is a problem. We had -- was it  
11 Mr. War -- who was the fly fisherman who came  
12 in the other day?

13 ALJ WISSLER: Darrow.

14 MR. YOUNG: We had Mr. Darrow who  
15 came the other day who was talking --  
16 basically it was an eloquent presentation --  
17 on the impact that's happened in the Esopus  
18 since 1996. Mr. Darrow also gave an eloquent  
19 presentation in the United States District  
20 Court when Trout Unlimited sued New York City  
21 over the Shandaken Tunnel. He made the same  
22 presentation.

23                           The problem with turbidity in the  
24                           Esopus has nothing to do with what we in these  
25                           communities has done; it has hundreds to do

1 with the Shandaken Tunnel, and the City's  
2 basically taking water from the Schoharie and  
3 sending it to the Shandaken Tunnel.

4 And I guess we would like to introduce  
5 the court decision in the Shandaken Tunnel  
6 case together with -- the court required the  
7 City to submit a permit application to the DEC  
8 for a SPEDES permit for the Shandaken Tunnel.  
9 DEC issued in February a draft permit. The  
10 City provided comments on the draft permit and  
11 the DEC recently issued a new draft permit in  
12 August.

13 So we would like to introduce the  
14 court's decision and the City's comments on  
15 the draft permit. Because to us, it  
16 demonstrates that the TSS that we're worried  
17 about from a project like this, although it  
18 may be a big project, again is de minimus  
19 relative to what is the TSS problem with the  
20 Esopus or the Ashokan Reservoir.

21 One of the things in the draft permit  
22 that the DEC asks for is that if there is an

23           exceedance of turbidity, that the City do an  
24           investigation and address the source and  
25           remediate the source, but the City's position



1 is that -- the draft permit states that:  
2 "Once the sources of the exceedances are  
3 identified, the identified sources shall be  
4 used to prioritize compliance actions to be  
5 taken in a schedule of compliance, thus DEC  
6 relies on the underlying assumption that the  
7 program set forth on page 9, Stream  
8 Restoration Critical Area Seeding,  
9 Conservation Easements will actually reduce  
10 turbidity in the Schoharie Watershed.

11 This underlying assumption has not  
12 been established. We believe that these  
13 programs provide water quality benefits by,  
14 among other things, forestalling new potential  
15 sources of turbidity in the watershed by  
16 virtue of its geology and topography,  
17 referring to erosion; however, while the  
18 programs may lead to localized turbidity  
19 reductions during low-flow conditions, we do  
20 not believe that they will significantly  
21 reduce turbidity exceedances under the permit,  
22 which are more likely directly related to

23 severe wet weather events. These high-flow  
24 storm events are likely to have significant  
25 increases in turbidity in the Schoharie

1 Reservoir and in the Shandaken Tunnel."

2 Later on they say that from these  
3 measures that we are taking now in the  
4 Schoharie, stream bank stabilization,  
5 seeding -- they say you are not going to be  
6 able to measure -- you can't measure that  
7 impact in the quality of the water in the  
8 Ashokan.

9 So it seems to us that if these major  
10 things can't be measured, and here we're  
11 spending literally tens of thousands of  
12 dollars to determine it in a very detailed,  
13 absolute manner what the phosphorous uploads  
14 are pre- and post and what the TSS loads are  
15 pre- and post, it will prevent any other  
16 project from going forward, and is not  
17 necessary.

18 There is enough information in this  
19 record for DEC to issue its final permit, and  
20 for DEC to review the design plans that they  
21 are going to have to submit on that final  
22 permit. And there's enough information in

23           this record for DEP to issue its individual

24           permit.

25                       I don't know what we're going to

1           adjudicate. Are you going to adjudicate  
2           whether .05 kilograms per hectare acre is the  
3           right phosphorous exporting load?

4                    I just wanted to -- you know, when  
5           DEC -- when DEP did the TMDL for the Ashokan  
6           Reservoir, they did all the background work.  
7           They identified the amount of acreage that is  
8           deciduous forest, and they identified what the  
9           loads were from those units. When I calculate  
10          out -- when I divide the loads by the acreage,  
11          the lowest I get is .16 kilograms per hectare  
12          acre, which is not higher than the .05.

13                   When -- DEP issued -- DEP has issued a  
14          guidance document for Phosphorous Offset Pilot  
15          Programs. This is the procedure, if I am  
16          going to put a new discharge in a  
17          phosphorous-restricted basin, I have to get an  
18          offset 301 for the phosphorous loads. This  
19          document describes the procedure I have to use  
20          to calculate the pre-phosphorous load and the  
21          post-phosphorous load from the entire project,  
22          from the stormwater, from the point sources.



1           That procedure relies on something  
2           called a simple method. It tells you to use a  
3           rainfall of 50 inches a year in the Ashokan  
4           Reservoir. It tells you to use the runoff  
5           coefficients from -- runoff coefficients using  
6           the National Urban Runoff Program Database.

7           In other words, it has a procedure in  
8           it as to how to calculate the post/pre-, and  
9           is different than what's being asked of this  
10          Applicant here, and much, much simpler than  
11          what's being asked of this Applicant.

12          So our feeling is that -- we're  
13          concerned that the process in itself is too  
14          much for any developer to overcome, and we  
15          urge you not to find that this is an  
16          adjudicable issue.

17          ALJ WISSLER: Do you want the court  
18          decision and comments to be entered as  
19          exhibits?

20          MR. YOUNG: Yes, and also the pilot  
21          offset.

22          ALJ WISSLER: I'm sorry?

23 MR. YOUNG: Also the Guidance for  
24 Phosphorous Pilot Offset Programs.

25 ALJ WISLER: So you're giving me



1 three items?

2 MR. YOUNG: Yes.

3 ALJ WISSLER: We actually have no  
4 Exhibit 6. Would you like to make one of  
5 those Exhibit 6?

6 MR. YOUNG: I'll make the New York  
7 City Department of Environmental Protection  
8 Guidance for Phosphorous Offset Pilot Program  
9 as Exhibit 6.

10 Then I'll make the court decision  
11 whatever the next exhibit is.

12 ALJ WISSLER: It will be 17.

13 MR. YOUNG: And the City's comments  
14 will be 18.

15 ALJ WISSLER: Fine.

16 ("NYC DEPARTMENT OF ENVIRONMENTAL  
17 PROTECTION GUIDANCE FOR PHOSPHORUS OFFSET  
18 PILOT PROGRAMS" RECEIVED AND MARKED AS  
19 WATERSHED COMMUNITIES EXHIBIT NO. 6, THIS  
20 DATE.)

21 (COURT DECISION IN CATSKILL MOUNTAINS  
22 CHAPTER OF TROUT UNLIMITED V. CITY OF NEW YORK

23 RECEIVED AND MARKED AS WATERSHED COMMUNITIES  
24 EXHIBIT NO. 17, THIS DATE.)  
25 ("SHANDAKEN TUNNEL SPDES PERMIT -

1 CITY OF NEW YORK DEP" RECEIVED AND MARKED AS  
2 WATERSHED COMMUNITIES EXHIBIT NO. 18, THIS  
3 DATE.)

4 ALJ WISSLER: Anything else from  
5 anybody?

6 MR. RUZOW: Since Marc isn't here, I  
7 need to --

8 ALJ WISSLER: The last word.

9 MR. RUZOW: With respect to Kevin  
10 Young's point, the watershed communities'  
11 points about the phosphorous issue -- these  
12 issues, the stormwater issues that are the  
13 subject of the permit and these limits, I do  
14 want to echo his point in that we have  
15 demonstrated -- there has been  
16 acknowledgment -- that these numbers, the  
17 variations of the numbers, are not  
18 significant, and that their contribution, at  
19 the end of the day, to the receiving waters is  
20 not significant. Not unimportant, I stressed  
21 that before.

22 The reason that we all addressed these

23 issues, the reason we have come back with  
24 additional analysis both at the request of the  
25 City, as well as DEC, is that we understand

(CLOSING REMARKS)

4656

1           that there needs to be a measurement.  But we  
2           believe there's enough -- we'll supplement the  
3           record and clarify it to the extent we can --  
4           there's enough information in this  
5           Administrative record for the Department to  
6           reach a judgment with regard to -- and at the  
7           end of the day, it may be the Department staff  
8           that makes that determination as it is  
9           appropriate -- to make a judgment about an  
10          appropriate number to be used in this TMDL  
11          amendment and in the SPEDES permits that we  
12          can hopefully achieve in a consistent fashion,  
13          assuming the project is built.

14                 We think there is no real issue here  
15          to be adjudicated.  The record needs to be  
16          clarified.  It needs to be simplified with  
17          respect to how to come up with that point.  We  
18          believe, to a certain extent, that whatever  
19          number is arrived at by the Department, it  
20          will probably have to be re-noticed from a  
21          procedural point of view for the purpose of  
22          SPEDES; but nevertheless, that's the process

23           that we're in.

24                         This process of Issues Conference,

25           that may or may not lead to an adjudicatory

(CLOSING REMARKS)

4657

1 hearing, is supposed to be an iterative  
2 process. It is not a process by which armed  
3 camps come to battle and it's decided, period,  
4 and everybody goes home.

5 The obligation of an Applicant, as has  
6 been expressed by Mr. Gerstman and others, is  
7 to meet the burden of meeting the statutory  
8 standards and regulatory criteria, both under  
9 the ECL, as well as other laws, including  
10 SEQRA, and we take that obligation quite  
11 seriously.

12 When we hear from one or more of the  
13 parties that there is something that we need  
14 to address that we need to think about  
15 differently, we need to analyze differently,  
16 we take that seriously and respond.

17 So the supplementation of the record,  
18 with additional plans, with refinements, et  
19 cetera is something that is an ongoing  
20 process, and indeed, when we get responses --  
21 we expect to get additional responses. If we  
22 feel that is necessary we will provide an

23 additional response. And if it requires a  
24 little more time for people to respond, we  
25 will provide for that. We have done that all



(CLOSING REMARKS)

4658

1 along here. But we see that as our  
2 obligation, and that is the nature of this  
3 process. It is indeed integral to it.

4 The role of the ALJ, the role of the  
5 Commissioner is to come out with a decision  
6 that makes sense under the ECL, not act on a  
7 certain set of prescribed submissions and walk  
8 away from it. That's not anybody's  
9 obligation, and least of all the Applicant's.  
10 We think that's an ongoing element.

11 I think we've heard extensively that  
12 this issue is not -- at least regarding  
13 phosphorous and these numbers -- is not  
14 capable of the kind of precision that indeed  
15 adjudication was thought about as a process to  
16 help resolve.

17 We are at the earliest stages of the  
18 methodological development of testing, et  
19 cetera. We have heard of the good efforts by  
20 DEP. They have advanced these issues  
21 enormously in the last ten years. They will  
22 continue to be advanced, but they're not yet

23           at a point, a standard setting for precision.  
24           And in that light, there's not much we can do  
25           about it.

(CLOSING REMARKS)

4659

1                   Lastly, and I feel bad that  
2                   Mr. Gerstman isn't here, but there has been a  
3                   tendency to describe the project itself and  
4                   cast it as a mega project, a big box -- things  
5                   that, at least in the land use business, that  
6                   connote things that are viewed as land uses  
7                   and activities that are aesthetically  
8                   unacceptable or ordinary or have a character  
9                   that connotes a high negative. It's done,  
10                  perhaps in part, for press purposes or perhaps  
11                  to place an image.

12                  I need to be very clear, that the  
13                  design of this project by dozens of  
14                  professionals, with incredibly talented  
15                  credentials and experience, has been directed  
16                  towards designing, fitting this into a  
17                  sensitive environment, recognizing that it's  
18                  sensitive; recognizing that the design of the  
19                  buildings, the design of the course, what is  
20                  left up in terms of trees and buffer areas and  
21                  all the rest, to the best extent we can,  
22                  harmonize and balance an important economic

23           opportunity for the region, as well as  
24           protecting the environment to the extent we  
25           can.

(CLOSING REMARKS)

4660

1           The design of the buildings -- to call  
2           these buildings a "big box" -- and our firm  
3           knows from some big box development because we  
4           represent a number of developers who, in the  
5           appropriate place, seek to place these types  
6           of land uses -- to call this project a big box  
7           is an unfair characterization.

8           It is my hope, and I think over the  
9           last several weeks of this effort, counsel for  
10          all the parties have done a good job at  
11          avoiding, to the extent we can, rhetoric as  
12          opposed to trying to focus on science, and  
13          argue an important issue for your Honor,  
14          because at the end of the day, you are blessed  
15          with the obligation to sift through all of  
16          this stuff.

17          Our hope is that as we proceed with  
18          this, and we have had opportunities's today --  
19          and we appreciate DEP's taking on that  
20          responsibility and asking Mr. Olson to go back  
21          to look at his analysis. That is something  
22          that is not an obligation by DEP to do in the

23 ordinary course of DEP's commenting, but I  
24 think it helped the record and I think it will  
25 help us and help your Honor in terms of

(CLOSING REMARKS)

4661

1 fashioning a judgment about how to proceed.

2 It is with that vein that we look to  
3 all the parties in terms of the development of  
4 ideas or conditions, or indeed concerns they  
5 still have, to share those with the Applicant,  
6 in whatever format that they choose to, and we  
7 will respond. We do not dismiss anybody's  
8 comments about anything on this project.

9 And with that, I will close. Thank  
10 you.

11 ALJ WISSLER: Anybody else?

12 MR. GOLDSTEIN: There are many things  
13 I could say at this point. Of course my  
14 colleague, Marc Gerstman, could say them no  
15 doubt with more authority better than I. So  
16 I'll just say that we'll respond -- we had  
17 said that there were not going to be closing  
18 statements, and we're not intending to make  
19 any now, so why don't we just close on a  
20 positive note.

21 I think we all ought to congratulate  
22 Theresa, our intrepid court reporter, for

23           doing a very, very good job under tough  
24           circumstances; and on behalf of the CPC, we  
25           would also like to thank you, your Honor, for



(CLOSING REMARKS)

4662

1 the patience and respect you have shown  
2 throughout this proceeding. You have ruled  
3 against us on more than one occasion, but we  
4 appreciate the way in which you conducted the  
5 proceedings anyway.

6 ALJ WISSLER: Thank you,  
7 Mr. Goldstein. I would like to indicate for  
8 the record that I really appreciate and  
9 commend all counsel for their very  
10 professional and very zealous representation  
11 of their respective parties and constituents.  
12 I'm particularly thankful for the spirit of  
13 cooperation that has been the hallmark, I  
14 think, of this rather long Issues Conference  
15 which ain't over yet.

16 Again, I echo Mr. Goldstein's  
17 sentiments in thanking Theresa, who of all of  
18 us, has been the only person who has actually  
19 had to listen to everything we have had to say  
20 over these many days. With that, we will  
21 conclude. Thank you.

22 (2:57 P.M. - WHEREUPON, THE ABOVE

23

ISSUES CONFERENCE CONCLUDED.)

24

25

1

2

3

4

C E R T I F I C A T I O N

5

6

I, THERESA C. VINING, hereby certify

7

and say that I am a Shorthand Reporter and a Notary

8

Public within and for the State of New York; that I

9

acted as the reporter at the Issues Conference

10

proceedings herein, and that the transcript to which

11

this certification is annexed is a true, accurate

12

and complete record of the minutes of the

13

proceedings to the best of my knowledge and belief.

14

15

16

THERESA C. VINING

17

18

19

DATED: September 16, 2004

20

21

22

23

24

25

